

THE INQUIRY INTO HYPONATRAEMIA-RELATED DEATHS

MEETING WITH MEDICAL EXPERTS

ON

THURSDAY, 9th MARCH 2012

Transcript prepared from audio recording by Stenography Services UK

1 MS ANYADIKE-DANES: Hello Professor Gross, welcome back and thank you very much
2 for agreeing to participate in this. We have everybody here who was present last
3 time. They are all in the room, Professor Kirkham, Dr Squier, Dr Haynes and Dr
4 Coulthard and then there is three members of the inquiry team myself, Monye
5 Anyadike-Danes, Jill Comerton and David Reid. Just before we start I wonder if I
6 can just clarify if you received certain documents from us. Did you get an agenda?

7 PROFESSOR GROSS: I did.

8 MS ANYADIKE-DANES: It is slightly revised and I will go through it in a second, and did
9 you also get a rather large coloured up document titled "*Timeline of main events -*
10 *Adam 1991 to 1995*"?

11 PROFESSOR GROSS: Yes, I got that and it caused me some problems because it doesn't
12 seem to fit well onto my computer screen and if I reduce it in size I can't read it and
13 if I try to print out it prints out only part of it, but that is my problem I will try and
14 get that resolved next week.

15 MS ANYADIKE-DANES: Don't worry professor, we will send it to you in hard copy so
16 that you have got it and try to find a different way of sending it to you so that you
17 can use it on your computer.

18 PROFESSOR GROSS: Do we need that timeline today?

19 MS ANYADIKE-DANES: No, we don't need it today.

20 PROFESSOR GROSS: We don't?

21 MS ANYADIKE-DANES: But the reason we produced it and it is still a draft as we are
22 working through it, is that it seeks to capture over the period of his life some of the
23 things that people had said last time could potentially be either risk factors or
24 relevant things to take into consideration like for example, whether he had periods of
25 anaemia, whether he had periods of dehydration, the incidents of administration of
26 erythropoietin and so forth, so it captures those as well as steep rates of fall of serum
27 sodium levels and generally low levels and hyponatraemia. So it is all there and it is
28 nothing that we will be able to discuss today, but it was a response to some of that
29 and hopefully could be used as a background document. All those instances are

1 referred to so if you just wanted to check what the reference to anaemia means then
2 it has got its reference number and you can look at that and see whether you consider
3 that a significant or not, for anything you wanted to say.

4 PROFESSOR GROSS: Yes, thank you for that help.

5 MS ANYADIKE-DANES: We have also produced, which will be coming to you, those in
6 the room here have it, some charts of Adam's vital statistics during the period of his
7 operation, well slightly longer than that actually, from 7.00 until noon and we will be
8 sending those to you. All these documents are draft, so the Inquiry's working
9 documents to try and see if we can crystallise some of the matters being discussed
10 and we will send that to you as well because it might help to see in chart form what
11 was happening say, for example, to his blood pressure levels or his oxygen saturation
12 or something of that sort. Okay?

13 PROFESSOR GROSS: Thank you.

14 MS ANYADIKE-DANES: Right now, just in terms of what the agenda looks like today, we
15 are a little shorter of time and it is also a little complicated because you Dr Haynes
16 and Dr Squier all have to step out at different times for other professional
17 engagements and so it makes it difficult to make sure that we can maximise the time
18 that it is helpful to have you altogether. We are therefore going to start of with a
19 slightly shorter discussion on what was the agenda item 3, which is the evidence of
20 what happened during Adam's surgery and how that should be interpreted, and then
21 we are going to go into the discussion of the role of dilutional hyponatraemia in
22 cerebral oedema and we would like to be going into that discussion probably within
23 the next half hour and carry on, and it maybe that that discussion will carry on even
24 after you have to leave us at about 11.30, but we hope to have got a substantial way
25 through it by the time that happens.

26 On your return we hope to pick up with item 2, which is part of what was discussed
27 last time but you had to leave us and so did Dr Squier and we didn't have the benefit
28 of both of you discussing PRES. So that might be helpful to have your views on that
29 and then we will conclude with what happens now, what we would like to have from

1 you and when it's possible to have that. Okay.

2 So if we can then go into the evidence of what actually happened during Adam's
3 surgery in terms of significant events and how one should interpret the results and
4 measurements that is were being received or the actions that were being taken in
5 terms of understanding what was happening to Adam. I wonder, if we just go round
6 the room but maybe we could start with Dr Haynes on that point.

7 DR HAYNES: Yes. How do you want to begin?

8 MS ANYADIKE-DANES: Just like that, how do you interpret it?

9 DR HAYNES: The overall interpretation, I will perhaps give a summary of my
10 understanding of events and then you might be able to pick up any detail from that.

11 My interpretation of events is based largely on the anaesthetic chart and the witness
12 statements from the Inquiry Office that I have been provided with. My interpretation
13 of events is that first of all Adam was admitted to the hospital the night before
14 surgery. There was some discussion as to when the best timing of the transplant
15 operation should take place. He was admitted, as far as I can make out as well as he
16 ever was. He had some of his normal overnight dialysis. He received some enteral
17 fluid as a post-intravenous fluid. There was an intention that he should have his
18 serum electrolytes checked early in the morning prior to being taken to the operating
19 theatre, this was not done, which was not unreasonable given that he was probably
20 scared and it might have been difficult to get a blood sample from him.

21 He was taken -- sorry, well one more thing, one very important thing, is that it would
22 have been customary for the anaesthetist to have introduced himself, appraised
23 himself of the relevant information pertinent to Adam and his operation the evening
24 before surgery. Dr Taylor, for whatever reason, whether he was busy somewhere
25 else or felt it not necessary, did not make this visit to the hospital. I understand that
26 he had a discussion with Dr Savage relating to Adam's pathophysiology. I'm not
27 sure of what details were passed across during that discussion.

28 My impression is that the operation then proceeded in the morning under
29 considerable pressure of time. That as far as induction of ^anaesthesia of Adam, I

1 am happy that that proceeded in an uneventful manner using conventional
2 anaesthetic drugs in a conventional way. The trainee anaesthetist assisting Adam has
3 said in his statement that he really had been out, that his work leading up to that time
4 had been very much research, he hadn't done much in the way of pediatric
5 anaesthesia at that point, so in practice he was there as a relatively skilled pair of
6 hands and as a learning exercise. There is an issue about the number and quality of
7 operating theatre staff present.

8 Proceeding on from that, there was then a difficulty in inserting a central venous
9 catheter which in itself is not an issue, it happens from time to time but it could have
10 been predicted given Adam's previous history. Adam had quite appropriately an
11 epidural anaesthetic. He was intubated, ventilated using conventional anaesthetic
12 drugs. I don't think there is any issue at all about the choice of anaesthetic agents.

13 The operation then proceeded and it is the initial part of the anaesthetic and operation
14 that I think the Inquiry will wish to focus on, in particular, the volume and choice of
15 intravenous fluids administered.

16 Another issue which I would like to be documented at this point is it would have
17 been helpful if a urinary catheter had been inserted as soon as Adam was
18 anaesthetised to give an index of urine volume that was being produced. If it wasn't
19 done for a good reason, a brief comment in the medical notes should have been made
20 in my opinion.

21 The operation then proceeded and in my opinion the surgical part, as far as I can
22 ascertain, proceeded in a manner which I would have expected a transplant of this
23 type to have done. The details of where the transplanted kidney where anastomosed
24 are outwith my specialist remit and I think John Forsythe will give you a better
25 answer to that for any issue arising from there.

26 I think the main issue now comes down to the details of looking at the choice and
27 type of intravenous fluids administered and the measures taken or not taken to
28 monitor the serum electrolyte concentration in Adam as the operation proceeded. I
29 don't know if you wish to pause to digress there Monye.

1 MS ANYADIKE-DANES: No, I suppose what I am inviting you to comment on, because it
2 maybe an area where your colleagues will either agree or disagree on, is if you deal
3 with the amount, nature and rate of the administration of the fluids over the period of
4 his surgery, certainly up until the first serum level, which was taken at 9.32. If you
5 deal with that and if you can perhaps comment on what the measurements or the
6 readings from the various equipment that was there to monitor Adam's vital signs, if
7 I can put it that way, what they should have been saying about his state as he
8 progressed through that surgery and therefore, what one might interpret as the effect,
9 if any, of the volume, rate and nature of fluid. I think that's the sort of area that we
10 maybe in because that maybe an area where some agree on some parts of that and
11 some disagree on other parts of that.

12 DR HAYNES: Okay. I will deal with some things that I think are so straightforward they
13 can be mentioned once and then dismissed. I am perfectly happy that Adam did not
14 sustain any hypoxic injury generally, his lungs were oxygenated throughout the
15 whole procedure. There is no question of any mishap according to the anaesthetic
16 chart in terms of failure of oxygenation.

17 MS ANYADIKE-DANES: What would you have expected to see if that was happening?

18 DR HAYNES: If you look at the anaesthetic charge page 058.003.005, you will see about
19 two thirds of the way down there is a line which says "SP02", now that is the oxygen
20 saturation as measured by a pulse oximeter which will be attached to an extremity.
21 And throughout it reads, there is never a reading less than 97 and even that might be
22 a poorly written 99. And by that I interpret that as meaning there was satisfactory
23 oxygenation throughout the whole procedure and that there was a detectable
24 peripheral pulse which could be recorded by a pulse oximeter. So I think we can
25 remove hypoxia during the operation as something that needs to be addressed.
26 Beneath that there is line which says "ETC02" and that is end-tidal carbon dioxide.
27 When you breathe in, when we all breathe in the amount of carbon dioxide breathed
28 in is negligible, gas exchange occurs in the lungs and when you breathe out it
29 contains carbon dioxide. The level of carbon dioxide or the concentration of carbon

1 dioxide measured in the end tidal measurement reflect in all older patients perhaps a
2 degree of severity of respiratory illness, which I don't think occurred in Adam. It
3 also reflects the way in which he was ventilated.

4 MS ANYADIKE-DANES: Yes.

5 DR HAYNES: In Adam's case the readings are those that you would expect as measured in
6 millimetres of mercury, there is a partial pressure, and they vary from 38 to 43.
7 Those are readings that I would expect to be perfectly acceptable, perfectly
8 reasonable in a child ventilated for a major surgical procedure through an
9 endotracheal tube.

10 MS ANYADIKE-DANES: Are you able to help as to what causes the variations and where
11 you are likely to see them? There is a chart that plots them and you can see where
12 they rise and where they fall.

13 DR HAYNES: The numbers recorded are discreet numbers and the display is a continuous
14 wave form throughout the whole procedure. If you want to prioritise the value of
15 this information I think perhaps the most important thing is to say that there does not
16 appear to have been a loss of continuity of this reading, which means that there was
17 no time during the operation when Adam was inadvertently not ventilated. Okay.
18 If you ventilate someone more, like if you were to artificially breathe fast yourself,
19 you will reduce the amount of carbon dioxide in your blood therefore you will
20 reduce the amount or the concentration measured as you exhale. This does have
21 some merit to dwell on in Adam's case, because one of the variables which effects
22 cerebral blood flow and cerebral vascular resistance, is a partial pressure of carbon
23 dioxide in the blood. Carbon dioxide is a potent cerebral vasodilator. So if you give
24 someone a sedative drug and they breathe less, the concentration or partial pressure,
25 to describe it more accurately, will increase in the blood causing a decrease in
26 cerebral vascular resistance allowing more blood to flow to the brain. If this had
27 been allowed to happen, if there was an abnormally high reading...

28 MS ANYADIKE-DANES: Which would be?

29 DR HAYNES: Using these units I would unhappy with anything greater than perhaps 50,

1 52, and it never reached that high. Their hypoventilation, that is under ventilation,
2 would have caused an increase in intracranial pressure because of the increased flow
3 of blood to the brain and I would refer you to the Monro Kellie diagram quoted by...

4 MS ANYADIKE-DANES: I wonder if I can just invite you to pause there, is there anybody
5 around the room of Professor Gross disagreeing with that? Professor Gross?

6 PROFESSOR GROSS: I didn't understand very well which parameter we are discussing, is
7 that the CVP?

8 DR HAYNES: No, end tidal carbon dioxide.

9 PROFESSOR GROSS: Again, end tidal...

10 DR HAYNES: CO₂, carbon dioxide.

11 PROFESSOR GROSS: No comment from my side.

12 MS ANYADIKE-DANES: So that parameter was within normal bounds?

13 DR HAYNES: Within normal limits and it was nothing, he was ventilated in a manner that
14 would not have caused an increase in cerebral blood flow and intracranial pressure.

15 MS ANYADIKE-DANES: Of the other signs that would have been received how do you
16 interpret those?

17 DR HAYNES: Those I would say that we can dismiss any problem with ventilation or
18 under-ventilation.

19 If I may dwell just one more point briefly on carbon dioxide, if you are febrile your
20 metabolic rate or an individual's metabolic rate increases and carbon dioxide
21 production increases as well. So if you have a child who has a fever they will
22 breathe fast to eliminate the increased carbon dioxide that they are producing. If you
23 run, if you are active you generate more carbon dioxide you are breathless. And
24 whilst we are on that point I would look at the temperature recordings on the
25 anaesthetic chart, the first one is made at 0745 hours.

26 MS ANYADIKE-DANES: How do you interpret that as a starting reading?

27 DR HAYNES: That looks as though as if it is about 35 degrees centigrade which is a little
28 low but it depends where on the body it was measured.

29 MS ANYADIKE-DANES: Sorry, could I just ask you so we are clear on the significance of

1 these things, it is not always that apparent. What is the significance if it is low?

2 DR HAYNES: The significance if it is low is that the anaesthetist and those assisting him
3 have allowed either accidentally or intentionally the patient's temperature to
4 decrease.

5 MS ANYADIKE-DANES: Yes, but what is the significance that, what does it matter if he
6 starts off with a low temperature?

7 DR HAYNES: It means at the end of the operation you have a cold patient who will be
8 vasoconstricted, it is not good for you basically. When you anaesthetise a child,
9 particularly for an operation where a body cavity is open, unless there is reason
10 otherwise it is good practice to take measures to A, monitor the temperature and B,
11 maintain it as close as possible to normal.

12 MS ANYADIKE-DANES: Just pausing there is there anybody in disagreement with any of
13 that?

14 DR SQUIER: One question is whether this protects the brain if you have a relatively low
15 temperature.

16 DR HAYNES: If you have a situation as we do frequently, where children have cardiac
17 surgery and there maybe a period of time when the blood flow to the brain is either
18 precarious or knowingly diminished, it is well accepted that cooling will result in
19 cerebral protection by lowing the cerebral metabolic rate.

20 MS ANYADIKE-DANES: Was it low enough to have had that effect here?

21 DR HAYNES: No, but one would not expect it to be for a renal transplant operation.

22 MS ANYADIKE-DANES: So is there any significance to the fact that he appears to have
23 started off slightly cool, if I can put it that way?

24 DR HAYNES: No, I would expect any child of his size at the start of an operation when he
25 might have been exposed not covered up, the first recording for it to have been 35 to
26 36 degrees and subsequently as the operation progresses it gradually increases to 36
27 degrees which I think is perfectly acceptable, perfectly normal.

28 MS ANYADIKE-DANES: Is anybody in any disagreement with that that there is no
29 particular significance to his low temperature start? Okay.

1 DR HAYNES: If I can put it in complete context, I anaesthetised five children yesterday
2 and they all had temperatures between 34.6 and 35.8 when it was first recorded.

3 MS ANYADIKE-DANES: Okay.

4 DR HAYNES: So I am perfectly happy with...

5 MS ANYADIKE-DANES: So before you actually get to the levels of the fluid, the other
6 measurements that were recorded were his heart rate and blood pressure. Are you
7 able to assist with what they might be saying or how one should construe them?

8 DR HAYNES: Yes. I am, assuming that what is written on this chart is as close to
9 representation as to what actually happened on the morning of his surgery. If you
10 deal with the heart rate to begin with, the first recorded heart rate is in the region of
11 140 beats per minute. It gradually comes down to, the lowest level recorded is
12 probably 82, it is represented graphically on the anaesthetic chart about, what time is
13 this, just before 10am, almost three hours later. Then it rises a little bit to about 100
14 and then decreases a little bit. That is pretty much what one would expect for this
15 kind of operation with this kind of anaesthetic.

16 There are two main reasons why. The heart rate of 140 is large for a child of four,
17 but Adam would have come along very anxious if not overtly scared. That is
18 perfectly understandable, perfectly normal.

19 MS ANYADIKE-DANES: Can I just be clear on this, you said the heart rate of 140 was a
20 little high for a child of his age, was it a little high for a child just about to undergo
21 surgery?

22 DR HAYNES: No, it is what you would expect.

23 MS ANYADIKE-DANES: What is the significance of its gradual fall down to about 9.30
24 on the chart that I am looking at or graph I am looking at and then its slight rise after
25 that, what is the significance that of so far as you can help us?

26 DR HAYNES: There is probably three major comments that I think we can sum this up
27 with, the gradual decrease is following induction of anaesthesia, the various drips
28 and lines and attempts at lines he had put in would be noxious stimuli associated
29 with the further surge in endogenous catecholamines, adrenalin, which would keep

1 his heart rate elevated. The epidural was placed as far as I can make out without
2 difficulty or incident and that gradual diminution of heart rate is what one would
3 expect as the anaesthetic agent or local anaesthetic agents injected in the epidural
4 began to have an increasing effect. Local anaesthetics given into an epidural begin
5 to have their effect in 10 to 15 minutes and will last for several hours.

6 MS ANYADIKE-DANES: Thereafter the rise?

7 DR HAYNES: The rise, I would imagine that there would be a change in surgical stimulus
8 or one could argue that it is around about this time that there may have been an
9 associated surge in catecholamines associated with brain stem death but that is not
10 black and white, that is for further discussion I think.

11 PROFESSOR KIRKHAM: What time are you saying you think that might have occurred?

12 DR HAYNES: It is very hard to say.

13 PROFESSOR KIRKHAM: Yes, sure because I am just wondering what point you are
14 saying the catecholamines surge...

15 DR HAYNES: If you look, it is very hard to say because the sympathetic response would
16 have been blocked by the epidural anaesthetic largely, so I am saying that there may
17 have been a response in association to the process of brain stem death.

18 PROFESSOR KIRKHAM: Okay.

19 DR HAYNES: Associated catecholamic surge.

20 DR SQUIER: Can I just ask, which part of the sympathetic response would be blocked by
21 the epidural?

22 DR HAYNES: From the sympathetic ganglia, it would be the lower part of the body, the
23 spread of local anaesthetic from a lumbar epidural would probably rise to about T6
24 to T4.

25 DR SQUIER: So would that effect cardiac response to brain stem functions activity?

26 DR HAYNES: Yes, in a limited way but you would still have sympathetic, you would still
27 have adrenal outpouring catecholamines.

28 DR SQUIER: If the brain stem is responding to something, if the brain stem is...

29 DR HAYNES: Crying for help.

1 DR SQUIER: And you get these waves of blood pressure responses, would those be
2 affected by a spinal block, wouldn't they all be going on somewhat higher?

3 DR HAYNES: One could argue yes. I have to say I have never personally been involved in
4 a child with an epidural or spinal block who has undergone brain stem death, so
5 having to think here.

6 DR SQUIER: It is just something that we do recognise, you may have swings in blood
7 pressure when the brain stem is actually finally closing down and those presumably
8 would be reflected in what we would see in these charts because the spinal block
9 may not have been actually high enough to interfere with those.

10 DR HAYNES: You could argue that, I think that is a reasonable comment I am not sure...

11 MS ANYADIKE-DANES: Do you want to reflect on that to when you produce your final
12 report? Does anyone else want to contribute to that part of the discussion? Professor
13 Gross?

14 PROFESSOR GROSS: No I don't want to contribute to that.

15 MS ANYADIKE-DANES: Professor Kirkham?

16 PROFESSOR KIRKHAM: No I think what we are talking about is cushing responses, it is
17 not where you get an increase in blood pressure in response to waves of intracranial
18 pressure or do you...

19 DR HAYNES: Well there is a cushing response in response to intracranial pressure and
20 then there is the time of brain stem death when there is a catecholamines surge, you
21 get sub-myocardial ischaemia and that sort of thing. There are two discreet things,
22 there is the cushing response will precede brain stem death...

23 MS ANYADIKE-DANES: There is actually a measure of his pressures but I wonder before
24 we got into that bit of it if we could pick up your exchange with Dr Squier. Dr
25 Coulthard, would you like to comment?

26 DR COULTHARD: No.

27 MS ANYADIKE-DANES: Now that you have actually raised the issue of his blood
28 pressures and what they might be doing, if you would -- sorry pulse rate, I beg your
29 pardon, I wonder if you would help us with what the pulse rate was doing in relation

1 to -- sorry, I beg your pardon. What I am inviting a comment on is, we have his
2 heart rate, his beats per minute and then I am wondering if there is anything to be
3 gained by looking at what those figures were doing in relation to looking at what his
4 blood pressure was doing or is there no relationship between those things?

5 DR HAYNES: Yes, well there is but I think it is very hard to be black and white looking at
6 the raw data available.

7 MS ANYADIKE-DANES: Yes, but is there any significance at all to be gained by the
8 relative patterns of rises and falls in those things?

9 DR HAYNES: Well one thing that strikes me looking at the anaesthetic charge, is that it is
10 very much damped down and that is a natural tendency when you do record events.

11 MS ANYADIKE-DANES: Sorry, what do you mean by that?

12 DR HAYNES: I would suspect that if there was minute attention to detail when recording
13 these there would have been perhaps a more alpine appearance to the graph as
14 opposed to a very gentle rounded, the extremes would have been excluded.

15 MS ANYADIKE-DANES: Are you saying that graph doesn't appear to you to have the
16 shape that you might have expected?

17 DR HAYNES: It looks a little bit smooth, there is no obvious points when the surgical
18 incision was made. When you prepare a patient for surgery even with an epidural
19 there is usually a detectable response in heart rate and blood pressure to the initial
20 surgical stimulus. But equally, you could find in patients where the epidural is so
21 effective that that response is completely obtunded.

22 MS ANYADIKE-DANES: Just so that everybody can understand I think what you are
23 saying, when you talk about the effectiveness of the epidural is that because patients
24 have individual responses to the same degree of anaesthesia being administered?

25 DR HAYNES: Yes.

26 MS ANYADIKE-DANES: So you could be been within normal bounds of administration
27 anaesthesia and one patient, to use a layman's expression, be more heavily or deeply
28 sedated than others, is that what you are really saying?

29 DR HAYNES: Yes. Likewise an epidural anaesthetic will, the same epidural catheter

1 position insertion, same drug administration for the same body habitus can produce
2 differing degrees of efficiency in different individuals for no apparent reason.

3 MS ANYADIKE-DANES: But in any event moving on from the rounded effect of the
4 graph, is there anything to be understood from the pattern of the heart rate and the
5 pattern of the blood pressure chart?

6 DR HAYNES: The heart rate gradually comes down and I am reasonably confident but not
7 one hundred percent confident to say that from 7 o'clock in the morning to 10 o'clock
8 when the heart rate is at its lowest, that that reflects the increasing efficiency uptake
9 if you like of the epidural drugs which were given by an infusion I think. One
10 assumes that at 10 o'clock either there was a change in surgical stimulus or in that it
11 had moved from a different site, from a different area of the body to an area that
12 might be supplied by a different, a different nerve coming from the spinal cord or a
13 change in the intensity of the surgical stimulus to account for the increase in heart
14 rate and the gradual increase in blood pressure towards the end of the procedure. But
15 I think it is very hard to draw conclusions as to what may have been happening in
16 terms of increased intracranial pressure possibly followed by brain stem death during
17 the anaesthetic, though it is my opinion that these processes probably had occurred
18 during this time.

19 MS ANYADIKE-DANES: Yes, we have tried to plot out the actual figures on a chart
20 which is on a chart which you have been provided for and I see that you are reading
21 of the anaesthetic record which is where these figures are taken from. It maybe that
22 if you want to reflect on what may or may not have happened in relation to certain
23 specific times, either to consider the chart or plot yourself a chart so that you perhaps
24 can see whether things were happening at 10 or around 10 or before then and it
25 might help you guide us as to what you consider the significance. But I think we
26 have understood what you are saying and I wonder if others would like to comment
27 on what can be understood from the monitor of his heart rate and blood pressures.

28 DR HAYNES: Could I have one final comment within that.

29 MS ANYADIKE-DANES: Yes of course.

1 DR HAYNES: If this anaesthetic chart represented a similar operation in a similar child
2 who had a satisfactory neurological outcome I would put it to you that they would be
3 very, very similar. I personally am not happy to draw any firm conclusions from the
4 haemodynamic data here as to when a neurological insult may or may not have
5 happened. There are other things included in the process which make one suspicious
6 but from the haemodynamic data I am not happy to draw any firm conclusions as to
7 the timings of events.

8 MS ANYADIKE-DANES: I presume in the way that you discussed before the risk factors
9 having a cumulative, I presume that you don't look just at things in isolation, you
10 look at the whole range of information that you are receiving to try and identify for
11 yourself what you think is happening. But just on where you were with the heart rate
12 and blood pressures is there anybody who wants to contribute to that or express a
13 view? Professor Kirkham?

14 PROFESSOR KIRKHAM: Can I just ask you whether you can make any comment about
15 cardiac output from the heart rate and blood pressure or not?

16 DR HAYNES: No, one assumes that his cardiac function was normal beforehand and there
17 is, I am told no chest x-ray available and there will be no indication to assess cardiac
18 function unless it is symptomatic from that point of view prior to his transplant. But
19 one cannot directly draw any conclusions about cardiac function purely from this
20 information here.

21 MS ANYADIKE-DANES: Anybody else, Dr Squier?

22 DR SQUIER: I think all I would want to do is go back to that point, from an outsider's point
23 of view as a neuro-pathologist, I have been interested in the secondary changes you
24 may get when brain stem death occur because sometimes we see fresh bleeding into
25 the various parts of the nervous system that looks as if they must have happened at
26 that time because there is no other explanation. So I am interested to know if surges
27 in blood pressure occurring during brain stem death would be something that could
28 help us in understanding when it took place in this case. And from what you have
29 said I think that the recordings are too crude in that you would need a continuous

1 monitor to see these very rapid fluctuations and we are not going to get that
2 information. I think from what you have just said you are probably telling me that
3 this chart is not sufficiently abnormal for us to be able to say well, things started to
4 change at about 10 o'clock and the blood pressure went up and the heart rate went up
5 again and this is obviously when something happened to the brain stem.

6 DR HAYNES: I agree.

7 MS ANYADIKE-DANES: I think there was a continuous monitor it is just that we don't
8 have the print out of it.

9 PROFESSOR KIRKHAM: The continuous monitor of the C02 and the saturation or blood
10 pressure?

11 DR HAYNES: No, we have got one here, that's heart rate, that's systolic, diastolic and mean
12 blood pressure. So there are some little features you can see.

13 MS ANYADIKE-DANES: Perhaps sorry Dr Haynes, perhaps could you give out the
14 reference number for people to keep track of it.

15 DR HAYNES: 094.037.211.

16 MS ANYADIKE-DANES: That's a compressed print out of course, there would have been
17 a continuous one as the operation was proceeding.

18 PROFESSOR KIRKHAM: I did wonder about those small peaks, they are smaller than a
19 typical cushioning response but there is a huge variability in cushioning responses actually
20 in my experience, I have seen a lot of children in this situation.

21 MS ANYADIKE-DANES: What does that mean Professor Kirkham, that there can be a
22 huge variability, are you saying that you can have not very great differences and a
23 cushioning response nonetheless not to be excluded?

24 PROFESSOR KIRKHAM: Well whether you get a cushioning response probably depends on
25 factors such as what your blood pressure is at the time whether you can actually
26 mount one, whether the heart is able to push the blood pressure up and on whether
27 you get a sympathetic surge and I have certainly seen situations where a child has, I
28 did a study on brain death which was published in 1987 using transcranial ^Doppler
29 technique where you can see the flow reversing on the Doppler on the head, so that I

1 knew precisely when the flow had stopped and you don't always -- I mean I can go
2 back and look at that data which I still have. I certainly saw that happen in situations
3 particularly after cardiac arrest where there was not a massive cushing response, I am
4 not that surprised that there is not a massive cushing response, I have seen that
5 before. But I do wonder whether those small fluctuations might have been, there are
6 more fluctuation there than there is earlier but I am certainly not going to say that I
7 definitely think those are cushing responses and I don't think you are either.

8 DR HAYNES: No I am not, you can speculate they might be.

9 PROFESSOR KIRKHAM: Yes, you could, but not with any degree of certainty.

10 DR HAYNES: The other point that I would like to make at this juncture is that the
11 development of the sympathetic nervous system in children, Adam was probably at
12 an age where his would be beginning to mature but you don't get the same visible
13 obtundation of blood pressure and sometimes heart rate that you do in an adult when
14 you anaesthetise the sympathetic chain with an epidural anaesthetic. The
15 sympathetic systems are not as mature in a four year old child as it is in a teenager or
16 an adult.

17 MS ANYADIKE-DANES: Okay. Then just because I am conscious that we need to move
18 on to the next agenda item, I wonder then if you can deal with the question of fluids.

19 DR HAYNES: Can I deal with the question of CVP?

20 PROFESSOR KIRKHAM: Sorry, just because we are talking about the sympathetic
21 system, do you think the degree of anaemia would make any difference to whether
22 you get a sympathetic response or not?

23 DR HAYNES: If he was anaesthetised and, are you talking about his pre-existing
24 haemoglobin of 10.5?

25 PROFESSOR KIRKHAM: Yes.

26 DR HAYNES: No. If you are talking about the measure chromatic rate of 18% then you
27 may well acutely see a change. A child with a sudden decrease in haemoglobin
28 concentration to that level may well have a drive towards a fast heart rate.

29 PROFESSOR KIRKHAM: So since the haemoglobin is at its lowest at 9.30, do you think

1 there is any significance in changes of heart rate and blood pressure then or not or do
2 you think it is all part it doesn't change much type scenario?

3 DR HAYNES: I think any changes may well have been obtunded by the anaesthetic.

4 PROFESSOR KIRKHAM: And epidural?

5 DR HAYNES: Again I think it is something which I don't think, you can speculate there
6 maybe a connection but I wouldn't want to reach a firm conclusion from that.

7 MS ANYADIKE-DANES: Okay. Does anybody else want to contribute to this part of the
8 discussion as to whether they agree disagree? Okay. Fluids then, no you wanted to
9 go on to CVP, I beg your pardon.

10 DR HAYNES: Yes. I have stated in my various reports that the central venous line
11 inserted, not surprisingly, with some difficulty given the fact that he had had at least
12 four previous central lines. Difficult insertion isn't an issue, it happens. It doesn't
13 mean to say that Dr Taylor was any less skilled than anyone else. I simply do not
14 accept that his real central venous pressure is as high as it was recorded. At the
15 beginning of my involvement with this Inquiry I was sent some photographs of
16 Adam in health and after death. If you have a child with a central venous pressure of
17 22 their face, his or her face will be distended, puffy, oedematous. Also Adam had
18 been dialysed, albeit not completely, overnight and I think following that it is my
19 understanding that he would have been...

20 MS ANYADIKE-DANES: Sorry, just to be clear, when you talk about being sent
21 photographs of Adam, the photographs that were sent of Adam prior to his operation
22 were not of the evening of his operation or even the day before, just so we are clear
23 on that.

24 DR HAYNES: Yes, yes.

25 MS ANYADIKE-DANES: So that we understand what you are saying.

26 DR HAYNES: If he genuinely had a central venous pressure in the region of 20mm of
27 mercury or 20cm of water he would have been a child with a puffy face, visibly
28 swollen.

29 MS ANYADIKE-DANES: Is that something you think would have been recorded?

1 DR HAYNES: I think people would have commented on it before now. I do not accept that
2 the numbers documented of the central venous pressure throughout his operation are
3 a true reflection of his central venous pressure at all for whatever reason. I would
4 stand by this because when he was moved, when his position was moved, when he
5 was transferred to Intensive Care afterwards the central venous pressure recording
6 was normal or even a little bit high, it is about 11 or 12 at that point.

7 MS ANYADIKE-DANES: Was it?

8 DR HAYNES: Yes. If you look at...

9 MS ANYADIKE-DANES: Sorry, when you say when he was moved when he was moved
10 in relation to what?

11 DR HAYNES: At the end of the operation and was taken to the Intensive Care Unit.

12 MS ANYADIKE-DANES: Okay. So that we are clear, are you saying then that throughout
13 the operation period he was in, what are you saying about his CVP?

14 DR HAYNES: The values documented were not representative of his true central venous
15 pressure and that they were of no real guidance and it should have been recognised
16 that they could not possibly have been correct in the circumstance.

17 MS ANYADIKE-DANES: What do you say to them when he is moved to PICU?

18 DR HAYNES: I am inclined to believe those as much more compatible with the situation.

19 MS ANYADIKE-DANES: What do you say then is the reason why, so that everybody can
20 see whether they agree or disagree with that, what is the explanation for them being
21 unreliable during the period of his surgery but more likely to be reliable when he
22 goes to PICU?

23 DR HAYNES: A, the numbers are high.

24 MS ANYADIKE-DANES: No, no, the explanation for it.

25 DR HAYNES: The reason for that is that the hole, the channel, the lumen through which
26 the pressure is being monitored was lying or abutting against a vein wall. The
27 catheter they were being measured from went in the subclavian vein and then it
28 turned towards Adam's head instead of towards his heart and it was in the long way.

29 MS ANYADIKE-DANES: Yes, so we are clear what position was it in when he went to

1 PICU?

2 DR HAYNES: It was still in the same position but the fact that he may, that Adam's body
3 position and the position of his head in relation to his chest and neck may have
4 moved, the tip of that catheter may now on moving have been lying freely in the
5 middle of a vein, because for such a dramatic decrease...

6 MS ANYADIKE-DANES: Sorry Professor.

7 PROFESSOR KIRKHAM: Can I just ask, Dr Taylor thought it was in the wrong place and
8 was misreading and then used it as a trend monitor, what do you think of that?

9 DR HAYNES: I think if he thought it was in the wrong place and it was giving misleading
10 information because the end was obstructed, it is still going to give you misleading
11 information.

12 MS ANYADIKE-DANES: You are saying it could be reliably used as a trend monitor?

13 DR HAYNES: No, I think during the operation the position was such that it was of no
14 benefit at all other than the route of giving drugs.

15 MS ANYADIKE-DANES: Is there any significance to the fact of whether there was or was
16 not a wave form?

17 DR HAYNES: If there had been a printed out wave form, the normal venous wave form, I
18 would have said that is in the correct position but they are, as one would not expect
19 there to be, it is not customary to print out wave forms under these circumstances.

20 MS ANYADIKE-DANES: Just be clear, are you saying that if there was a wave form then
21 you think it would have been in a correct position appropriately measuring it and
22 then it is just extremely high? Is that what you are saying?

23 DR HAYNES: If there was a wave form and I remain to be convinced that there was a
24 proper venous wave form, then that would have been acceptable. It is my opinion
25 after considering this now for several months, that there never was a proper venous
26 wave form during the operation obtained through that central venous line.

27 MS ANYADIKE-DANES: Dr Coulthard?

28 DR COULTHARD: We don't know if there was a wave form because it wasn't printed out,
29 but it was stated by Dr Taylor that there was both respiratory and cardiac waves. If

1 that is true then you have to conclude that the tip of the catheter was in continuity
2 with the blood in the chest. If that is true...

3 MS ANYADIKE-DANES: Can I ask you to pause there, Dr Haynes what is your view on
4 what Dr Coulthard has just said?

5 DR HAYNES: Exactly what Dr Coulthard said, if that was true there was continuity
6 between the tip of the catheter and blood in the chest.

7 DR COULTHARD: The second point, the difference of Adam's position when in theatre
8 and afterwards, I don't think it is likely to be significant but if it were I think it would
9 work in the opposite way to what Simon is suggesting because this lad was head
10 down during surgery, which if the line is fixed in his chest or in his neck would mean
11 that it would be relatively less far in with his head stretched, neck stretched, so I
12 don't think that can explain that difference.

13 To me the most likely explanation is that if we accept that, the only evidence we
14 have is to the wave forms or not is that we are told there were, if that was true then
15 and I agree entirely with Simon's speculation that CVP as high as Adam had at the
16 onset of surgery, or had recorded at the onset of surgery, is not at all compatible with
17 what we think his physical state was at the time. To me it seems that the most likely
18 -- I think that there is a problem, there is an error. To me the most likely error is one
19 of zeroing, that is to say during the process of measuring a CVP the setting of the
20 zero mark on the zero position involves the nurse or doctor deciding which level on
21 the child's body zero should be adjusted to and then opening it to the atmosphere and
22 zeroing it at that point. If that had been done incorrectly then it could be that, if you
23 do that incorrectly all the readings will be out, will be incorrect by the same amount.
24 So for example, let's say his true CVP on arrival had been 7 say and it was adjusted
25 in position 10cm wrong, that could have been measured at 17 and all the way
26 through the changes that we see might have related to that and then when he goes to
27 PICU, (I don't know that this happened, I am speculating), I have seen many many
28 children have transplants and what happens when you move them is and you
29 reposition them somewhere is you inevitably have to re-zero the device. So my

1 suggestion is that the value at the end of 10 or 11 in a child that know by that time is
2 fluid overloaded, is compatible, makes clinical sense. I suggest that what happens
3 between that line and the separate dot is that his CVP zero was probably correctly
4 zeroed. I can't explain it in any other way. I don't think any of the explanations that
5 we have heard from anybody explain everything. To me that is the lost most likely
6 single error to explain it.

7 MS ANYADIKE-DANES: I wonder if you could help with this, firstly, if the evidence
8 indicates that actually the monitor was or transducer was re-zeroed a number of
9 times, does that make any difference to the likelihood of the hypothesis that you have
10 just put? And secondly, leaving aside that, if it was a wave form correctly in touch
11 with whatever it had to be in touch with and therefore correctly measuring his CVP,
12 what would be the explanation or what are the implications for it being as high as the
13 monitor was recording it?

14 DR COULTHARD: The first question, if it had been repeatedly zeroed that would eliminate
15 my suggestion, if the zeroing error was a random error. If somebody just did it
16 wrong because they weren't concentrating on it. If somebody, if whoever was
17 zeroing it was making a systematic error because they had chosen the wrong site on
18 the child's body or didn't know quite how to do it, then they may have made that
19 systematic error repeatedly and then when it was re-zeroed by a different set of staff
20 in PICU, it may have been done by a different operator. So I think we are just
21 speculating. The second part of your question I think is, if it was that high what
22 could it mean?

23 MS ANYADIKE-DANES: Yes.

24 DR COULTHARD: I agree with Simon that it is completely confounding because the
25 evidence that we have about Adam who came in in good health for him. I have
26 discussed at length elsewhere the dialysis, I think there is good evidence that he went
27 to theatre in approximately normal fluid balance for him and therefore this CVP level
28 was too high. It is not compatible with his physiological status. That seems to have
29 been Dr Taylor's conclusion. But his response to that I find complex, difficult to

1 kind of comprehend really because on the one hand he is saying there is a wave
2 form, that is to my mind tantamount to saying that it is in communication and
3 therefore it is measuring the pressure and at the same time is saying it is too high to
4 believe.

5 MS ANYADIKE-DANES: But if one leaves that aside, what would be the significance or
6 the implications of his CVP being that high?

7 DR COULTHARD: A CVP being that high suggests that his venous, the blood volume in
8 his venous system is too high. That implies that he is fluid overloaded. To get a
9 VCP that high would involve a child having a large extra volume of fluid in their
10 blood system, in their blood circulation.

11 MS ANYADIKE-DANES: What contribution or how significant might that be to the
12 overall development of his condition, that's I think what we are trying to get at?

13 DR COULTHARD: What I am saying is that I don't think a CVP that high is compatible
14 with the condition that he was in for -- all the other evidence suggests that he was...

15 MS ANYADIKE-DANES: I meant his ultimate condition, what might be the significance
16 of a CVP at that level if that was a correct reading, what is its significance, what does
17 that...

18 DR COULTHARD: The significance of it ultimately would be the significance of the cause
19 of it. In other words, if genuinely it had been that high because he was fluid
20 overloaded already, then obviously further fluid overload would be more likely to
21 precipitate him into a difficult clinical state. But on the other hand what I am saying
22 is all the evidence, if you put all the evidence together as to what condition he was in
23 when he went to theatre, everything else points to him being in a relatively good
24 condition and this would be very abnormal.

25 MS ANYADIKE-DANES: I am wonder Professor Gross, I wonder if I can just ask you on
26 that point about the CVP and can you contribute as to what you think its significance
27 might be?

28 PROFESSOR GROSS: From what I was able to understand here concerning what the
29 consultants, I think Dr Haynes and Dr Coulthard were mainly saying, is the CVP

1 reading of 17 showing wave forms I think Dr Taylor has said respiratory and cardiac
2 wave forms implying that it was in the vein and it was measuring a pressure that was
3 there, however, this being incompatible with Adam's supposed blood volume after
4 the dialysis makes sense to me, even though I considered the 17 as being a real
5 measure. I discussed this with my anaesthesiologist here, Professor Regala, who is
6 mentioned in my report with his CV and so on and so forth. At that time we were
7 still considering that Adam's left internal jugular vein had been tied off and was
8 occluded. The anaesthesiologist considered that if it was a triple lumen rather large
9 catheter and if for some reason the right internal jugular vein had some narrowing
10 perhaps from previous attempts to catheterise it, we thought or he thought it might be
11 possible that there was partial obstruction to the right internal jugular vein by this
12 catheter going up one or two centimetres away from the heart into the right jugular
13 vein, and it therefore still showing cardiac and respiratory patterns. But the reading
14 coming about in response to the supposed partial stenosis at that point in time which
15 might mean that the venous, the pressure from the distal from the heart up the
16 internal jugular vein towards the brain should have been even higher than the 17.
17 So I was considering that the 17 did not necessarily represent Adam's volume status
18 in the right atrium as I believe Dr Haynes and Dr Coulthard have been saying as
19 being an unusually high number and being incompatible with Adam's previous fluid
20 regimen. I was considering that the 17 being a real measurement represented a
21 measurement that was taken distal, a partial obstruction of the internal jugular vein
22 being caused by this rather large, possibly rather large catheter travelling up the
23 wrong way.

24 MS ANYADIKE-DANES: And do you think it's level tells us anything at all about Adam's
25 deteriorating condition?

26 PROFESSOR GROSS: If this was a real measurement and if the causes for this
27 measurement might have been what I considered, then this factor together with, as
28 was just mentioned also Adam's head was in a head down position during the
29 abdominal transplant procedure possibly meaning that it was 5 or 7cms lower than,

1 the head would usually be in a perfectly horizontal position, then this could add
2 together to increasing Adam's venous pressure even beyond 17mm of mercury
3 perhaps even beyond 20. That in my mind could be relevant to the proposal that Dr
4 Leslie Dyer had been making where he talked about Adam's haemodynamic cerebral
5 situation being such that there is a borderline perfusion pressure present in the brain
6 which could be relevant to eventually Adam's brain oedema.

7 MS ANYADIKE-DANES: Thank you very much Professor. Actually you have led on into
8 where we are moving next which is the discussion on the fluids and what people
9 think was the contribution of the dilutional hyponatraemia to the development of his
10 gross cerebral oedema and ultimate death. I think that is probably where we are next
11 going.

12 Since Dr Haynes you have been leading with what the measurements are, I wonder if
13 you just want to pick up on the fluids because that might lead into that discussion on
14 dilutional hyponatraemia.

15 DR HAYNES: Okay. You asked me to look at the articles of Poe and Seiko.

16 MS ANYADIKE-DANES: You very kindly identified them for us.

17 DR HAYNES: And I looked up a bit more of what these guys had written. If you will bear
18 with me, let me just get them in front of me. I also have the advantage of being able
19 to speak French so.

20 MS ANYADIKE-DANES: Sorry, if you are want to go get into that maybe somebody else
21 wants to talk about fluids whilst you search for the articles.

22 DR HAYNES: I would quite like to have them right in front of me.

23 DR COULTHARD: I have got them here.

24 MS ANYADIKE-DANES: Professor Gross, since you had led us into the debate on fluids I
25 wonder if you would like to comment, I think it is the three factors that Dr Coulthard
26 has previously mentioned which is the nature of the fluids administered, the rate at
27 which they were administered and perhaps also the volume of them.

28 PROFESSOR GROSS: I am getting all the documentation, if I can do that.

29 MS ANYADIKE-DANES: All right, while you are doing that maybe Dr Coulthard on

1 fluids.

2 DR COULTHARD: Thank you. You have Monye, very kindly presented a chart for us
3 today which goes through the input and output of fluids administered and lost, in a
4 very helpful manner. What I have also previously done is to produce some tables
5 and some graphs. It is now in a report entitled, which I have just given Monye,
6 which is actually a supplementary brief but it was originally in a report which was
7 labelled in response to the document by Dr Taylor because that was a large chunk of
8 it.

9 MS ANYADIKE-DANES: Let me help with the reference of that. That is a report that Dr
10 Coulthard provided in response to a recent statement from Dr Taylor. Dr Coulthard's
11 report is dated 16th February 2012. It doesn't at the moment have its unique Inquiry
12 number but we will give it that and identify it in that way when the transcript is
13 provided so that everybody can locate the document.

14 DR COULTHARD: Thank you. The difference in the analysis that I have made and the
15 very helpful chart that I have got in front of me is that what I have tried to do is tease
16 out the fluids that have been administered or lost that are approximately isotonic, that
17 is to say have a sodium concentration the same as or very close to that of plasma and
18 the fluids that have been gained or lost that are very different in concentration to that
19 because it is actually those which alter the sodium concentration. So for example, if
20 we look at the chart that you provided, the pink and the red filled bars and the red
21 outline bars are plasma cell Hartmann's solution. These all have sodium
22 concentrations either the same as or very close to blood. Therefore effectively the
23 balance of those, how much is given and how much is lost will alter the volume of
24 fluid within Adam but won't alter it's sodium concentration. I am just stopping for a
25 minute to...

26 MS ANYADIKE-DANES: Sorry Professor Kirkham just had to step out for a second, we
27 will maybe just pause for a few minutes.

28 *(Short break).*

29 *On resuming:*

1 MS ANYADIKE-DANES: Thank you, we can now resume. If I may just explain, for the
2 purpose of those who are listening to the tape, from time to time any one of the
3 clinicians who are in this room may have to step outside to take a call to do with
4 their professional duties. Insofar as they are directly involved in the discussion we
5 will pause the tape so that they don't miss anything. If it is something which they are
6 not particularly engaged in we will try and continue so as to maximise the time.
7 Sorry, Dr Coulthard.

8 DR COULTHARD: Thank you. So looking at the bar chart that has been provided where
9 there is a zero line and everything that has been given to Adam is plotted above it
10 and everything that has been lost from Adam is plotted below it, and you can then
11 look at the overall volume, that's fine and helpful, but what really matters here is how
12 much water, free water, has been accumulated by Adam. By free water, I have said
13 this before but just to clarify it, if you intake or lose a fluid which contains a sodium
14 concentration lower than that of plasma you have to conceptualise it as being two
15 volumes of fluid, one volume equal that would have the same concentration as
16 plasma, and another volume which would be equivalent of just water. So, for
17 example, if a child passes, if somebody passes a litre of urine in a day which has a
18 sodium concentration the same as plasma, they have neither gained nor lost free
19 water. If they pass a litre of urine a day which contains almost no sodium they have
20 lost a litre of water, okay, that's the kind of concept of free water.

21 On the graph that is presented here, all the blue bits on the top are Solution
22 18, and you have to consider that 80% of the height of each of those blue bars is
23 water being added in the absence of salt, because 80% of normal saline is equivalent
24 to water and 20% is equivalent to saline. Therefore it becomes very clear, just
25 glancing at that, that at the beginning part of the chart there are two tall bars and then
26 a couple more, three more smaller ones which are the points when large amounts of
27 free water are added.

28 The second point to make is that what matters is not necessarily how much
29 free water is gained or lost by an individual, but in addition to that how quickly that

1 happens. That's why I have preferred to - I have presented these same data in some
2 charts which I will come to in a second - but what I have done is used graphic
3 representation to demonstrate the changes in time. If everybody is happy with how
4 that is actually calculated then if I can take you to Figure 1, this is a graph.

5 MS ANYADIKE-DANES: I will just check that Professor Gross has it available to him.
6 Professor Gross, do you have available to you the report that Dr Coulthard prepared
7 dated 16th February?

8 PROFESSOR GROSS: I have Figure 1 right here before me.

9 DR COULTHARD: That's it. On page 17 of that report.

10 PROFESSOR GROSS: Yes, page 17.

11 DR COULTHARD: Great, okay. On that graph, along the bottom is the timeline, it starts at
12 10.00pm on his admission to the ward, then the first grey line is his admission to the
13 ward and being dialysed. And you can see along the bottom 7.00am is the kind of
14 crucial point where the bar chart starts. Now at that point in the bar chart where the
15 blue lines go upwards, what I have plotted there is the calculated total accumulation
16 of free water as taken from the numbers provided by each of the people involved. So
17 you will see that the one with open circles is my estimate of what happened to his
18 free water intake. There is one from Simon Haynes, there is one from yourself,
19 Professor Gross. Yours I have only taken up to between 7.00 and 8.00am because I
20 didn't have the rest of the details after that.

21 PROFESSOR GROSS: Could I speak to that right now?

22 DR COULTHARD: Yes, please do.

23 PROFESSOR GROSS: The report, my report of January 15 to the Committee contains
24 information that apparently has not been given to you. In the report it says that in the
25 middle of period 3 I calculated a positive water balance of between 550-600cc's
26 depending on whether he was making urine or not. It is almost identical to the data
27 point by Dr Haynes in period 3. And for period 4 my report of January 15 said that I
28 calculated a positive water balance between 920 to 970 cc's, again very close to the
29 peak point that Dr Haynes or that you entered for Dr Haynes' calculation in there.

1 DR COULTHARD: Okay.

2 PROFESSOR GROSS: After that, during periods 5, 6 and 7, my calculation remains at
3 between 920 to 970cc's. It is in the report.

4 DR COULTHARD: Okay, I'm sorry, I didn't see that. So it goes up to about 920 to 970
5 then it stays about horizontal, is that what you are saying?

6 PROFESSOR GROSS: It stays about the same.

7 DR COULTHARD: Okay, that's very helpful, thank you.

8 PROFESSOR GROSS: For period 7.

9 DR COULTHARD: Okay, thank you very much. What I have also added in here, in the
10 darker line with stars, is the estimates, the calculations that I have made using the
11 figures that Dr Taylor is now providing for us - I will come back to his original
12 figures in the end - but he has now estimated the urine output to be much lower than
13 he originally did. Using those figures I have added his, so Figure 1 gives the free
14 fluid balance for all of those. The most important point that I want to draw attention
15 to is the universal agreement for all four people that during that time there is over a
16 short period of time, one hour, there is a dramatic rise in the amount of water, the
17 equivalent of something around half a litre of water. Each person depending, you
18 know, mine goes from 200 to about 700, Dr Taylor's goes from lower than that to
19 about 500, so approximately 500mls of free water, all the ins and outs and that we
20 have added in, when you shake them out we all agree that over that period there is
21 about 500mls of free water added, okay? So that's graph one.

22 Could I then take you to graph two?

23 DR HAYNES: Could I ask a question about that?

24 DR COULTHARD: Yes, of course.

25 DR HAYNES: Am I correct in assuming that the difference in excess free water that you
26 describe and I describe in graph one is because you have used a different urinary loss
27 of sodium in your calculations to the historical one that I used in mine?

28 DR COULTHARD: Slightly. There are two contributing factors. You will see that we
29 diverge. I diverge from everybody else up until 5.00am because I have a slightly

1 different estimate, and I have to say that this element of it is very much a guesstimate
2 of the amount of fluid that may have been removed by dialysis during that period.
3 So we all know, from looking at the diaries, how much his PD fluid dialysis removed
4 during the previous periods, it varied very widely and I have written a report on that.
5 That area has to be a guess from all of us and so effectively the main difference
6 between you and me --

7 MS ANYADIKE-DANES: Does that mean your starting points are different?

8 DR COULTHARD: Our starting point at 5.00am is different. If I were to adjust those all to
9 the same point, as would look almost identical, in fact all of them would look
10 identical really. The difference in assessment of urine output between all of us now
11 is very trivial. The point about graphing it like this is that all those things shake out,
12 and Dr Taylor considers it to be about 82mls, I think it is, an hour and I consider it to
13 be about 62mls an hour. The point about this graph is that it demonstrates that those
14 differences are pretty trivial and it makes very little difference to what happens here.
15 The main difference between us at that beginning point is how much he is dialysed
16 over that period of time.

17 MS ANYADIKE-DANES: Just to assist, there were some comparison tables, in fact you all
18 reduced to tabular form your calculations of the fluids. Those various tables were
19 put into a single comparative table which you should all have and that will allow you
20 to see where you're starting points may have been different or your assumptions may
21 have been different.

22 DR COULTHARD: It may be helpful to -- what I have done, in the same report on pages 23
23 to 28, is that I have copied all of those, I put them into Excel and I have copied them
24 into an identical format, so they are even more kind of tabulated. If you look you
25 can see directly where those differences lie, but essentially the major difference
26 between all of us on this graph, up until the end of the third period, is that I have
27 made slightly different assumptions about how much would be removed by
28 peritoneal dialysis. Over and above that, essentially we are all saying that between
29 5.00am and 7.00am there is a slight loss in total free water, a little bit, but from

1 7.00am to 8.00am there is approximately equivalent of half a litre of water added
2 within an hour to the little boy with a weight of about 20 kilos. And I just remind
3 you that the blood volume of a kid with 20 kilos is under two, quite a bit under two
4 litres, and we are adding 500mls effectively into that volume. Now obviously it will
5 be removed from the blood into the rest of his system over time, but there is a very
6 dramatic ingestion of water. So that takes me to Table 1. Do you want me to stop
7 there or go to explain what Tables 2 and 3 are, sorry, graphs 2 and 3 are?

8 MS ANYADIKE-DANES: Yes, except for what I think we are trying to get to is what is the
9 effect that people think that had, the administration of that type of fluid, that volume
10 of it over that period of time had in terms of his ultimate demise; that's where I think
11 this is going.

12 DR COULTHARD: If you wouldn't mind actually, do you mind if I just do take us to the
13 next one?

14 MS ANYADIKE-DANES: No, of course not.

15 DR COULTHARD: Because I think it actually is, it probably is helpful. The first figure, as
16 I say, is what we all thought. I realised, when I looked back at all these figures, that I
17 have made the assumption, as we all have, we have all of us come up with a figure
18 for what we think his usual hourly urine flow rate is and we have, all of us in our
19 calculations, have just added that to each hour that we're studying. In fact, I don't
20 think that that volume persisted throughout the surgery. The reason I don't think that
21 volume persisted throughout the surgery is that we have a measurement of how much
22 urine he produced during surgery from the beginning, when he came out to PICU
23 which was - I can't remember, it was either 47 or 49ml's.

24 MS ANYADIKE-DANES: 49.

25 DR COULTHARD: Now you might say well that's a bit unexpected, we can't believe that.
26 Well it's not at all unexpected, it is very, very, it is very much the sort of concern that
27 as a nephrologist, paediatric nephrologist, you would have about a child going to
28 theatre who does produce a standard amount of urine on a regular basis. The fact is
29 that children with the degree of renal failure that they are dependent on dialysis

1 support, their kidneys are functioning on a real knife edge and anything, almost
2 anything that happens to that child is capable of just switching their kidneys off
3 because they are so dependent and just not robust at all. Giving a child an
4 anaesthetic very commonly makes them oliguric, make them pass very, very little
5 urine for a while, then it often picks up afterwards, that is a very common event. I
6 therefore find it extremely plausible that the only recorded volume that we have of
7 47ml's is true because that's the sort of volume that you would expect commonly to
8 happen. For that reason I have recalculated what the figures would be if we all make
9 the assumption that actually from the beginning of the anaesthetic to the end, when
10 he had 49 ml's of the urine measured, he actually produced 49 ml's of urine.

11 MS ANYADIKE-DANES: Could I ask you, Dr Coulthard, just to pause there for a minute
12 so I think that we understand how you are proceeding with this? I think what you
13 were saying is that if you give a child an anaesthetic you can depress the urine output
14 and therefore when you have a urine output measured in paediatric intensive care and
15 that produces 49, that is the sort of thing that might actually have been happening
16 over the period of his surgery. What I wanted to ask you is given the events around
17 9.30, or that were measured around 9.30 (not necessarily that the events happened
18 then, what was measured) whatever produced those, can one assume that there was a
19 steady response in terms of his urine output or does one have to think rather
20 differently about what his urine output might be? Is it appropriate to assume that you
21 can average out 49 ml's or something similar?

22 DR COULTHARD: No, what I am speculating is very likely to have happened, what we
23 see happening in these sort of situations is somebody whose kidney function is so
24 tenuous, as his was, is that as soon as you stress them in one way or another they just
25 stop producing urine. I would imagine that those 49ml's of urine were produced
26 between whenever he last voided and him having an event. So, in other words, he
27 was waiting in the anaesthetic room, he normally produces 60 odd ml's an hour
28 roughly, I suspect that from about 6.00/7.00 he probably stopped producing urine.
29 And I think that he just didn't produce any urine after that first 20 minutes/half an

1 hour/hour of surgery, that's my guess. That would be extremely likely. That's the
2 sort of picture that you see.

3 MS ANYADIKE-DANES: Is that something that would be recorded if that happened?

4 DR COULTHARD: No, no, no. Well it would be recorded if - I will come back to that in a
5 minute - he wasn't catheterised.

6 MS ANYADIKE-DANES: No, no, no, sorry, the fact that there was no observable urine
7 output at all, is that something that would be recorded?

8 DR COULTHARD: It would be if he had been catheterised, but he wasn't, its all -- what
9 happens is he had a wee before he went to theatre - let's get down to brass tacks - he
10 had a wee before he went to theatre, and then nobody looked at how much urine he
11 had produced until he had come out of the operation, couldn't be woken up and he
12 had 49 ml's of urine there. What I am saying is that you might speculate that
13 somebody has failed to measure the right volume or whatever. It seems such an odd
14 thing that a child that pees about 60 ml's an hour only produces 49 ml's of urine over
15 that time. No, it is not an unusual or unexpected thing, it would be what you might
16 well expect if you have a child with a very tenuous kidney function who then has an
17 event such as an anaesthetic. Any of these events could just stop a child's own
18 kidneys from working. We see it after all sorts of ordinary, much more minor events
19 than a transplant.

20 MS ANYADIKE-DANES: In a way, Dr Coulthard, I am just trying to get sort of basic facts
21 of what you are saying and then throw it open to the others when you finish your
22 discussion to discuss that. But when you talk about the 49ml's you are talking about
23 that is captured from when he was catheterised?

24 DR COULTHARD: Yes.

25 MS ANYADIKE-DANES: So he wasn't actually catheterised at the beginning?

26 DR COULTHARD: He wasn't catheterised.

27 MS ANYADIKE-DANES: So that I am clear, what you are saying is that if he had wee'd
28 however much nobody was noticing that that was happening, or the fact that he
29 wasn't weeing at all nobody was noticing or recording that that wasn't happening?

1 DR COULTHARD: Well he was anaesthetised, he wasn't passing urine, there is no record
2 that he passed urine during the operation. You wouldn't expect him to pass urine
3 during the operation, he was anaesthetized.

4 MS ANYADIKE-DANES: Would that stop the production of urine?

5 DR COULTHARD: Yeah. I mean, yeah, children don't pass urine whilst anaesthetized. I
6 think we have to say --

7 MS ANYADIKE-DANES: Okay.

8 DR COULTHARD: -- that this child, the question of whether he should have been
9 catheterised is another issue.

10 MS ANYADIKE-DANES: I appreciate that.

11 DR COULTHARD: I think we have to make the assumption that since children don't
12 normally pass urine under anaesthetic, since no-one recorded that he had passed
13 urine and since he was then catheterised at the end and found to have 49ml's of urine
14 there, that that is likely to be how much he produced. What I am saying is that if you
15 have somebody who has got normal kidneys and you were told that you expected
16 them to produce a large volume of urine and they only pass 49ml's you might
17 scabble around to find some other bizarre explanation for it. You don't have to do
18 this here because this is what happens to children who have tenuous kidney function.
19 I believe that he passed 49ml's of urine. My error in ever producing the figures that I
20 first did was not to take that into account the first time. So my Figure 2 is what I
21 think happened actually is that we will assume that at some point in the first 2/3
22 hours after surgery, after the onset of surgery, he stopped passing urine.

23 MS ANYADIKE-DANES: Okay.

24 DR COULTHARD: If that is true then the new fluid balance takes into account that he was
25 also not losing water, free water, which is why on Figure 2 the upstroke, the
26 continuing upstroke on the rise and the total amount of free water continues to rise
27 more dramatically than they do in Figure 1.

28 MS ANYADIKE-DANES: I understand.

29 DR COULTHARD: So I think Figure 2 is my most up-to-date view of what actually

1 happened. And what would that do to his sodium? It would dilute it very
2 dramatically. I could come up with figures for that in a minute if you like.

3 MS ANYADIKE-DANES: No, I just want to press on.

4 Dr Haynes, I wonder if I could come to you on that point about the loss of
5 urine during the course of the operation?

6 DR HAYNES: I am going to agree with Malcolm that it wasn't measured.

7 MS ANYADIKE-DANES: I am asking a slightly different point. I am not actually asking
8 whether it was measured or not, I am asking about the hypothesis about the loss of
9 urine.

10 DR HAYNES: That there was less during the operation because --

11 MS ANYADIKE-DANES: Well that there isn't any while a child is anaesthetized, is that --

12 DR HAYNES: Yes. Even in health, if you anaesthetized a well child and the blood pressure
13 is maintained and cardiac output is maintained at levels satisfactory to nourish the
14 brain and other vital organs, the body may compensate by interpreting the slight
15 diminution in blood pressure as a loss of volume and the kidneys will stop generating
16 urine.

17 MS ANYADIKE-DANES: Yes. Adam was not a well child.

18 DR HAYNES: So it is going to be multiplied.

19 MS ANYADIKE-DANES: What does that mean?

20 DR HAYNES: It is going to be a more significant effect than if he was --

21 MS ANYADIKE-DANES: What would that mean, sorry?

22 DR HAYNES: Right.

23 MS ANYADIKE-DANES: Adam is not a well child. So far as all of you have explained,
24 Adam is not, in that respect, a well child, his kidneys don't respond in the way that a
25 well child's kidneys would respond, so I am trying to make sure that you articulate
26 your view on this so that people can see whether they agree or disagree.

27 DR HAYNES: Say you it took a normal child for a laparotomy of some sort with normal
28 renal function.

29 MS ANYADIKE-DANES: Uh-huh.

1 DR HAYNES: Say, for the sake of argument and illustrative purposes, that child normally
2 produced an average of 50ml's of urine per hour throughout the day in peaks and
3 troughs. Say you anaesthetized that previously well child in a perfectly satisfactory
4 manner, but the blood pressure is maintained, because he is anaesthetized, at a little
5 less than his normal value. And say that you don't give an excess of fluid during that
6 operation, then that child may only produce 5/10/20ml's of urine per hour during the
7 operation. If you then take an individual with Adam's seriously impaired renal
8 function, do the same thing, he may produce instead of the 5/10 or 20ml's of urine,
9 he may produce no urine.

10 MS ANYADIKE-DANES: Why is that?

11 DR HAYNES: Because his kidneys, or a normal child's kidneys can interpret the
12 physiological signals the body sends to it normally and can accommodate and
13 fluctuate the response in time according to the information sent to them or perceived.
14 I am making kidneys animate if don't mind.

15 MS ANYADIKE-DANES: No.

16 DR HAYNES: A child, my understanding that a child with seriously impaired renal function
17 in the fashion of Adam, where all that his kidneys can do is filter, if I can take an
18 analogy of a wet sponge?

19 MS ANYADIKE-DANES: Right.

20 DR HAYNES: If you squeeze a wet sponge with your hand and the degree with which you
21 squeeze correlates to the child's blood pressure, if you squeeze it hard a lot of water
22 comes out, and if you squeeze it gently not much or no water comes out. That is the
23 level at which my understanding is that Adam's kidneys functioned.

24 DR COULTHARD: Could I just? I think what we are saying is if you have a child with
25 normal kidneys, and I think we should use not blood pressure or pulse rate, we are
26 talking about blood flow which is also dependent on vasoconstriction, i.e. how tight
27 the blood vessels go, a child undergoing surgery who has got normal kidneys and
28 having his appendix out or something, may well have less blood being shunted,
29 pumped, to his kidneys during the operation. Because his kidneys are fantastically

1 flexible complex organs they are able to notice that and respond to that by making
2 physiological changes in the way they work, for example, the blood vessels within
3 the kidney will open up, specifically the tiny little arterials in front of the filters will
4 open up, the ones after the filters will close, that will generate the same filtration
5 pressure through the kidney as if his blood pressure had been maintained normal.
6 That's a complex flexible thing that kidneys do instantly. The situation that you
7 reach when you have end stage kidneys, kidneys where you can't even support your
8 own life without machinery or a new kidney, is that those filters are just passive,
9 passive bits of tissue which don't have any or virtually no regulatory control. If there
10 is enough blood flow going to the kidney they will filter, if there isn't they will stop
11 filtering. With another child if the blood pressure or blood flow available to the
12 kidney goes down there are very complex regulatory factors which compensate for
13 that and allow a normal person's kidney to operate at far less than optimal conditions,
14 they may still produce less urine, but they will compensate usually, whereas if you
15 are on a knife edge with your kidney function and your filters actually work all the
16 time there is blood going through, if you slow down the amount of blood going
17 through they just stop because they have no way of compensating for it, that is the
18 situation you are in. This isn't kind of airy-fairy stuff, this is actually what we are
19 faced with every day when you deal with children with serious kidney disease, and in
20 every aspect of managing them you have to assume that the kidneys have no
21 flexibility or capacity to compensate and you have to do the compensating for them.

22 MS ANYADIKE-DANES: Okay, I wonder if I could ask Professor Gross for his view? Just
23 so that I sum up I think where we are, what we are really talking about is Adam's
24 fluid output to try and get a perspective on his fluid balance or balances over the
25 period of his surgery so that people can see what effect they think that positive
26 balance had, particularly in the initial stages on his condition and ultimately the
27 development of his cerebral oedema and his demise. So that's, so far as I can
28 understand it, that is where this particular part of the argument fits. But I wonder,
29 Professor Gross, if you would like to comment on what is being discussed here about

1 the urine output for Adam?

2 PROFESSOR GROSS: In my calculations I have looked at the clinical record, and at the
3 line recording urine output they are no entries between 7.00am and the time he
4 arrived in PICU. If someone doesn't make urine the nurses here enter zero or they
5 make an 0 on this line which is not present in the available records. So I assumed
6 that maybe Adam was incontinent and making portions of urine once in a while
7 which however, for an unknown reason, were not recorded or quantified, no note
8 was made about them. I performed my calculations on the basis of Adam's urine
9 output possibly continuing unaltered during the operation. It was however clear to
10 me that most patients during operations have a decreased urine output, and therefore
11 I put a footnote under all my calculations saying this number is given in the
12 assumption that Adam's urine output was maintained. And there is an addendum to
13 the table by me saying it is possible that the fluid line in the record and Adam's
14 behaviour during operation imply that actually his urine output was decreased. And
15 I provided an alternative calculation in my table of the total water retained
16 considering that second possibility that Adam was making little or no urine at all.
17 My clinical assumption is that Adam did not stop making urine altogether but he
18 may have reduced it perhaps by 50%, but in the absence of a measurement I can only
19 speculate.

20 MS ANYADIKE-DANES: Thank you very much indeed.

21 DR COULTHARD: Could I just, sorry, after you.

22 MS ANYADIKE-DANES: Doctor Squier?

23 DR SQUIER: I just wanted to ask a very naive pathologist's question. At some point in this
24 procedure a kidney would have been removed and - no? They were both retained?
25 So we haven't got an extra urine volume in a kidney that is not being accounted for
26 here? No, okay, fine, thank you.

27 DR HAYNES: Could I make the point that the operation lasted more or less four hours and
28 that the difference in possible accumulation of free water is going to be at most four
29 hours times the average free water loss.

1 MS ANYADIKE-DANES: Understood.

2 DR HAYNES: So the bottom line is there is a significant accumulation of free water in
3 Adam at the end of his operation, the only dispute is quite how much it was.

4 MS ANYADIKE-DANES: Fine. Subject to anything that you may want to say, Dr
5 Coulthard, in relation to that, because I am thinking about the time, if we can press
6 on with the discussion and see what difference people think that amount of volume
7 of free water in Adam made to the development of a cerebral oedema, having regard
8 to how it was accumulated, then I think that would be helpful because that's
9 ultimately where we want to go. I think Dr Kirkham had indicated something at that
10 stage.

11 PROFESSOR KIRKHAM: Yes, I just wanted to ask two references really, one is do we
12 have data that that is what happens during operations, is there a paper you can refer
13 me to that I can see that urine stops during operations? The second question is I have
14 looked again at the question of the speed at which the sodium comes down and I
15 have looked at the paper that Professor Gross suggested to me and I have been
16 through several of that author's papers, I still can't find any clear evidence that it is
17 the speed with which the sodium comes down, there is a sort of circular argument
18 but very little data.

19 DR HAYNES: In answer to your first question about wanting evidence in the literature
20 about the urine production during surgery it is probably best to refer you to a
21 standard text book of anaesthesia which I authored --

22 MS ANYADIKE-DANES: I think it might have been a slightly more sophisticated query
23 than that which is the hypothesis that Dr Coulthard was putting forward as to what
24 would have happened with a child with Adam's kind of condition in terms of shutting
25 down all production of urine.

26 DR COULTHARD: Could I just say that Simon's last comment which is that really this is
27 pretty trivial effectively is one that I would agree. I mention it because I have gone
28 into that degree of detail. If you were to assume that he continued to pass urine at
29 60ml's an hour or whatever we are all assuming, or stopped producing urine, the fact

1 is that during that hour he has had 500ml's of water poured into him and that, I would
2 submit, is sufficient to cause the problem that we have had. And over the next hour,
3 even if we all assume that he did carry on passing urine, it still went up very
4 substantially, especially now we have got Professor Gross's figure, we all agree on
5 that. So I think that in a way it is irrelevant. In terms of actually reference to that, I
6 don't know where I can actually find that, it is kind of the thing within paediatric
7 nephrology circles, I don't know that anyone, it is kind of like walking really, it is
8 what they do.

9 MS ANYADIKE-DANES: I think that query, if I understand Professor Kirkham correctly,
10 may be prompted by the last discussion on the question of rate was you gave some
11 examples of babies who were in the unfortunate position to do with the way in which
12 the feeding had gone of having very, very high serum sodium levels, and you talked
13 about how important it was to bring that down very gradually and you, I think,
14 interpreted that as similar, so a bringing down gradually, as similar to the raising up
15 gradually or the effect, if you didn't raise it, sorry, to a fall from normal to low as
16 being equivalent to a drop from high to normal. And it is in that respect I think
17 Professor Kirkham had previously asked: Well we see your data for something to
18 bring down high sodium levels gradually to normal, but where is the data that
19 suggests if you fall steeply from normal to low, that that has an equivalent effect, or
20 is an equivalent danger if I can put it that way?

21 DR COULTHARD: Those, like so much in paediatrics data, are not based on experimental
22 evidence. Well there is some work in animals, but clearly there is no experimental
23 evidence to support that, it is based on the fact that in clinical reviews of - there is a
24 huge literature on this - clinical reviews of children that die were all noted to have
25 their sodium brought down quickly, and the figure that is bandied around by
26 clinicians is a rate of 3mmol's per hour, 3mmol's per litre per hour. That figure isn't
27 precise, it is not based on an experimental thing, it is based on the fact that children
28 that died had their sodiums brought down, their sodiums were brought down quicker
29 and they died, and children generally who have them brought down slower than that

1 are much less likely to die. It is as crude as that I'm afraid, but there is a very big
2 literature in there and I could certainly point you to papers that give that figure
3 including one that I have written, but they would only be based on that sort of
4 evidence.

5 PROFESSOR KIRKHAM: Do you have any of the animal data? I don't obviously find it
6 particularly easy to scour the animal renal literature, but I have been looking and
7 haven't found the obvious paper yet, but I am still looking.

8 DR COULTHARD: From the top of my head, if you go to Feinberg in about 19 -- I am
9 looking at Harvey about (inaudible) earlier than that, wasn't it, about 1970 Feinberg
10 (inaudible) Feinberg, genius, it was a huge work that he has published which kind of
11 covers this in massive detail. I'm afraid I haven't read it for a while, but it is kind of
12 bible that --

13 PROFESSOR KIRKHAM: I will look for that. I did find a paper from 1969 I think it was,
14 which is in the drop box I can share. I will carry on looking, that's fine.

15 DR COULTHARD: I could provide that for you, I just don't have it in my head.

16 PROFESSOR KIRKHAM: That's fine, okay.

17 MS ANYADIKE-DANES: Yes, sorry. Dr Haynes?

18 PROFESSOR KIRKHAM: Sorry, does it actually refer to cerebral oedema or simply to
19 death?

20 DR COULTHARD: No, cerebral oedema.

21 PROFESSOR KIRKHAM: Thanks.

22 MS ANYADIKE-DANES: Before we get into that, Dr Coulthard had spent some time
23 discussing the implications of free water, that is a free water component which is
24 what, so far as you are concerned, is causing the damage. I do recall that Professor
25 Kirkham was going to revisit her views on the significance of the free water element.
26 I don't know, Professor Kirkham, whether you want to address that now or whether
27 you prefer to deal with that in your report?

28 PROFESSOR KIRKHAM: I will deal with it in much more detail in my report, I am still in
29 the middle of a comprehensive literature search as much as I can do.

1 MS ANYADIKE-DANES: I understand.

2 PROFESSOR KIRKHAM: I think, in simple terms, the brain is trying to not swell or at
3 least not swell permanently and die.

4 MS ANYADIKE-DANES: Morbidly.

5 PROFESSOR KIRKHAM: Exactly. So free water does enter the astrocytes but is pumped
6 out actively by the sodium potassium pump, and there are a number of other
7 channels which are actively trying to make sure the astrocytes don't swell. The
8 original author of the 1992 paper, Professor Arieff, has subsequently published with
9 Ayas data to suggest that there are specific risk factors for developing cerebral
10 oedema in menstruating women and in children which include gender because
11 oestrogens affect the ability of whether the brain is going to swell or not. Age,
12 young age may be a factor, and whether you have got ABP (inaudible) as well. So
13 there are additional factors. In their more recent papers, in particular 2006 paper, in
14 the international further review from Ayas in 2008, they actually emphasise the
15 importance of an additional degree of hypoxia in their data, and I can certainly see
16 that that might be important. I am currently looking at a data set in children with
17 head injury in Southampton where hypoxia does seem to predict cerebral oedema.
18 This is not in fact necessarily -- actually it is more low oxygen levels, it is not
19 necessarily below the threshold that we would call hypoxic, they are levels that are
20 within the normal range, but at the lower end of the normal range. The children who
21 with oedema are the same ones as the ones who have the lower P02s. So I can see a
22 mechanism by which the pumping mechanism could be stunned into not being able
23 to pump any more if a brain which had some free water in it was then rendered
24 hypoxic, and then I turn back to the question of there isn't any hypoxia in on the
25 saturation monitoring or on the P02s that are available, but the child's haemoglobin
26 did drop. So the question then I would address back to Dr Haynes is whether there
27 could be a significant reduction in cerebral oxygen delivery and I think there could
28 be if the haemoglobin drops.

29 MS ANYADIKE-DANES: Okay. I think where we were is we were trying to see the extent

1 to which you agree or disagree with what Dr Coulthard is saying about the
2 significance of the extent of free water and the rate at which it was administered.
3 He, so far as I understand him, I am sure he is going to correct me if I summarise
4 him incorrectly, is seeing that as in and of itself as leading to the development of his
5 dilutional hyponatraemia leading to the development of his gross cerebral oedema
6 and ultimate death. And what I am trying to see is whether you agree with that as a
7 mechanism or whether you have a different view?

8 PROFESSOR KIRKHAM: I can find no similar cases where exactly that has happened
9 within that time frame and I therefore, at the moment, do not agree with that as the
10 main mechanism, as the only mechanism.

11 MS ANYADIKE-DANES: Well we are now sort of pretty much solidly into the
12 contribution of dilutional hyponatraemia. I wonder just so as to not leave Professor
13 Gross out of that part of the debate, Professor Gross, you have heard, I hope, what Dr
14 Coulthard and others have said about the rate of the administration of the free water
15 and the extent of it; what is your view as to its role?

16 PROFESSOR GROSS: I did hear some of what Dr Coulthard said. I almost was unable to
17 understand Professor Kirkham.

18 MS ANYADIKE-DANES: Does that mean you didn't hear her?

19 PROFESSOR GROSS: I am quite pleased to provide the comment that you are suggesting.
20 I have here before me Dr Coulthard's Figure 1 which shows that at two and a half to
21 three hours into the operation Adam can be calculated to be in a state of a positive
22 water balance between approximately 900cc's - that's what Dr Haynes and myself
23 calculated, or a bit more if he didn't make urine - and 1200 and a few cc's as
24 calculated by Dr Coulthard. This amount of free water is the equivalent of about
25 7-9% of Adam's total body water, assuming that at 20 kilograms he had 12 kilograms
26 of a total body water space. If you added this amount of water in two and a half to
27 three hours to a child with healthy kidneys this water would be excreted without
28 difficulty due to normal physiological mechanisms handling the excretion of water
29 by the kidney as regulated by the anti-diuretic hormone ADH. Because of Adam's

1 renal failure, and this putting him into a totally different ballpark - we have heard
2 about his fixed urinary volume - Adam was unable to excrete this water except
3 perhaps for a very small amount of it. So he ought to be thought of like, I think Dr
4 Coulthard said that, a bucket with a little hole in it allowing a little urine to drip out,
5 but if you add water to such a bucket with a tiny hole the water level will rise. As it
6 has been pointed out to us earlier today it rose in a relatively short time of probably
7 three hours or less than that. So what does that mean? I would now like to turn to a
8 reference I found a week ago which is in *Medicine* in 1976 and it was published by
9 Dr Arieff together with Doctors Llach and Massry. It is entitled 'Neurological
10 manifestations and morbidity of hyponatraemia, correlation with brain water and
11 electrolytes'. In this paper they report patients and experimental animals and they
12 distinguish between acute hyponatraemia, acute addition of water to the circulation,
13 and a chronic state, and they have in their report 14 patients that were in acute
14 hyponatraemia defined as having lasted less than 12 hours. In Adam it has lasted
15 even much less than that, two and a half to three hours. In these patients the
16 hyponatraemia had come about by apparently having absorbed water from urologist's
17 operation on the prostate. All those patients were stuporous comatose as compared
18 to this they are a group of chronic hyponatraemic patients - I have 27 of those - and
19 they defined this as the hyponatraemia having lasted longer or even much longer
20 than two days. They report that these patients were either alert or only slightly
21 confused, so they had minimal symptoms as opposed to those with acute
22 hyponatraemia being stuporous or comatose or having subsequently died. They do
23 take this to animal experiments in rabbits who they inject with anti-diuretic hormone
24 and then put water into their stomachs by a tube and in them they produce acute
25 hyponatraemia over only two hours, a situation that's a little more or better
26 comparable, although in an experimental animal, to the situation that may resemble
27 Adam's in the first two and a half to three hours. These animals received water to
28 bring their plasma sodium concentration at two hours down to 119mmols per litre.
29 Adam was at 123. Those animals they were able to observe and in those animals

1 they were also able to perform autopsies, and they state that they had what they call
2 gross brain oedema, they state that the animals all became comatose and had
3 (inaudible) seizures and all except two died. They were able to measure the mean
4 water content of their brains in the hyponatraemic state and they found 444 some
5 dimensions of grams per dried weight and so on and so forth, as compared with the
6 control value of 380, so in these animals that had a serum sodium concentration of
7 119, the brain water content had increased by about 15%, whereas the sodium
8 potassium chloride content of the brain was unchanged. When they did cause a
9 similar degree of hyponatraemia of 120mmols per litre in the six animals, over a time
10 period of 3.5 days they found that the increase in brain water content was much less,
11 it had now increased only from 380 control to 406 six in the experimental animals.
12 In other words, it had increased maybe by 5% or 15%, and they then show that in a
13 graph also.

14 So in other words, to come back to Dr Coulthard's Figure 1, and as I said the
15 increase in Adam's positive water balance by 920 to 1200cc's roughly equivalent to
16 9% or 9.5% of total body water, he can be compared to this acute hyponatraemic
17 situation in the experimental animals whom in that very early publication the authors
18 are able to show that the brain volume content, the brain swelling, the brain water
19 content was much more significantly increased than it was when the same change
20 occurs over three days. So that, in Adam's situation, should indeed have led to a
21 significant increase of the brain volume.

22 I heard Professor Kirkham saying the brain does not want to swell. Well,
23 based on those numbers we can be relatively sure that Adam's brain must have
24 swollen quite significantly on the basis of the positive water balance alone, not
25 speaking of any additional risk factors that Arieff quoted and worded in his work
26 later on, like young age, which I am sure were relevant in Adam's situation also in
27 addition to what we have been saying so far.

28 MS ANYADIKE-DANES: Professor Gross, thank you very much indeed. I just want to see
29 if you can assist us with one bit of that and that is that Dr Coulthard discounted the

1 issue of dextrose, discounted the issue of sodium and went straight to a calculation
2 on the basis of free water and looked at that. Professor Kirkham, as I have
3 understood it, has thought that there might be some significance to the presence or
4 absence of dextrose and the presence or absence of sodium; are you able to comment
5 on that?

6 PROFESSOR GROSS: I notice that too, that in one of her comments in her report Professor
7 Kirkham mentioned that in the literature most children reported with severe
8 hyponatraemia had either received dextrose only - I think she was talking about 5%
9 dextrose - or they were receiving dextrose with another additional concentration of
10 saline, the 0.18% that Adam received. And the way she raised this sounded like she
11 wanted to cast doubt on the fact that 4% dextrose in 0.18% NACL being given to
12 Adam, that this would be relevant or primarily relevant to causing his dilutional
13 hyponatraemia. And to this my comment is only that physiology eventually cares
14 about the osmolality of the fluids infused. And whether you give him 5% dextrose
15 or 4% dextrose or another dextrose or glucose concentration, when one considers
16 that this material, insulin being present, is taken by cells almost instantaneously and
17 disappears from the circulation and then is metabolised very quickly inside muscle
18 cells and liver cells, what counts is eventually the water, and this then comes about if
19 the same fluid volume is given as 4% or 5% or 4% plus 0.18% saline as illustrated to
20 us by the fall in the serum sodium concentration. So I happen to think that the
21 differences in the dextrose or glucose concentrations in those infusates are of almost
22 negligible importance with respect to the eventually resulting positive water balance
23 and the proportionate drop-off in the serum sodium and the serum osmolality.

24 MS ANYADIKE-DANES: Thank you very much. I wonder if, and Professor Kirkham has
25 just indicated coming in, but just before you do come in on that point, I wonder if I
26 could clarify something with you Professor Kirkham? Forgive me if it was
27 something you were going to say in any event. That is, when one is looking at the
28 amount of fluid that is being discussed here that Adam received in the way - and by
29 way I mean over time that he received it - just so that I am clear on this point that

1 you are making, are you saying that there is something in the brain that makes a
2 difference to how it responds to those rates and volumes if the fluid in question does
3 or does not have 5% dextrose or does or does not have sodium?

4 PROFESSOR KIRKHAM: Well, I was just about to ask Professor Gross again if he had a
5 reference, apart from the Area of Medicine reference which I will certainly look at,
6 to this specific question. I can't find any data in animals which has looked at a
7 variety of fluids. I don't think the answer is known. I would point out that the brain
8 has a number of pumping channels of various sorts.

9 MS ANYADIKE-DANES: That was what I was going to invite you to comment on.

10 PROFESSOR KIRKHAM: I personally don't think this is known. All I would say is that in
11 cases that I found, mainly of where children have died that I have tabulated in the
12 Excel file, I am happy to share and the same is true of the French cases, those
13 children were not given the Solution 18. Now I have an open mind about whether
14 giving Solution 18 could cause this problem, and I would like to review any evidence
15 that it does. At the moment I can only find two cases where Solution 18 seems to
16 have been the problem. In both of those cases I think there are other possible
17 explanations.

18 MS ANYADIKE-DANES: Sorry, I probably didn't make myself clear. What I am trying to
19 get at it is, so far as I can understand it, and forgive me if I misrepresent anybody,
20 what Professor Gross, Dr Coulthard and Dr Haynes are talking about is actually
21 physiology, so far as I understand it. They are saying if you have got that volume of
22 fluid going in to a child of that size at that rate, irrespective of any of these other
23 factors as being debated, the result almost inevitably will be a dilution which will
24 produce dilutional hyponatraemia and lead on to produce gross cerebral oedema.
25 What I am trying to invite you to comment on is are you saying actually it is a bit
26 more sophisticated than that because it really does depend what's in that fluid
27 because of the way the brain will respond to it, and that's where I want to see if there
28 is fundamental disagreement between you or you are actually talking about slightly
29 different things. I wonder if you could help with that?

1 PROFESSOR KIRKHAM: So what I am saying is that I agree in [principal|principle] that if
2 you have free water that will go into the brain, go into the astrocytes, it is then
3 pumped out again, and there will be a degree of brain swelling. The key question is
4 whether that causes brain death.

5 MS ANYADIKE-DANES: Well, no I think --

6 PROFESSOR KIRKHAM: Gross cerebral oedema.

7 MS ANYADIKE-DANES: Yes, I think what they are talking about is before you get into
8 whether it causes is, you say there be a degree of brain swelling, I think the three -
9 they will correct me if I am wrong - Professor Gross, Dr Coulthard and Dr Haynes
10 are talking about the degree of brain swelling will be so severe in response to that
11 that it will lead to that effect. That's where I am trying to see your response to that.
12 Are you saying it will never get to that level because there are other things going on
13 in the brain? That's what I am trying to understand.

14 PROFESSOR KIRKHAM: So what I am saying is that there will be brain swelling, water
15 will cross and will be continuously being pumped out, so there will be some
16 swelling. And the cases that I have reviewed of the post-operative deaths with
17 cerebral swelling have been children who typically died somewhere between ten
18 hours and several days post-operatively having been given 5% dextrose. I have
19 found a dearth of patients who have died in those circumstances who were given
20 Solution 18 as Adam was. So I although I think that free water will cross into the
21 brain there are mechanisms for pumping it out, and to actually have such gross brain
22 swelling from just oedema that you cone just from that cause, I can't find any
23 evidence of that that has happened with Solution 18. So I would therefore suggest
24 that this probably does happen, and I think it happens in children with a developing
25 neurological problem, I think I have seen it in a child, when I was a Registrar, given
26 5% dextrose after a minor head injury whose conscious level deteriorated, so I am
27 not at all saying that I don't think cerebral oedema happens, I think cerebral oedema
28 does happen, but I cannot find a case of a child given Solution 18 who simply died a
29 brain death in this sort of circumstance.

1 MS ANYADIKE-DANES: Does that mean, well --

2 PROFESSOR KIRKHAM: Without seizures because we are assuming there are no seizures.

3 MS ANYADIKE-DANES: Yes, I understand that, but I am just trying to see if we can take
4 to the logical end of what you are saying. Are you really saying that absent some
5 injury to the brain or some other factor that stops a brain working in the way that it
6 does, you couldn't get to the stage by administration of fluid alone where the brain
7 swells to such an extent that it produced death?

8 PROFESSOR KIRKHAM: I can't find a case.

9 MS ANYADIKE-DANES: Okay, well that, I think, clarifies things. Sorry, Dr Haynes and
10 then Dr Coulthard.

11 DR HAYNES: Regardless of whether talking about 0.18% saline or 5% glucose you can
12 convert the amount of free water administered by any solution by a simple
13 arithmetical sum I think Malcolm will agree with. One of the salient signs in none of
14 these five patients of hyponatraemia is change of conscious level, seizure activity.
15 You won't see that in a child who had received a muscle relaxant who is
16 anaesthetized. We have already said this morning that we cannot other than
17 speculate what the haemo-dynamic signs of, be it seizure activity, be it Cushing
18 response, be it brain stem death, were in Adam. Also, the 1976 Medicine paper
19 brought into discussion by Professor Gross, the two groups of animals he describes
20 coming from this paper, it explains the difference in end result as to whether you
21 give the same volume of free water rapidly or over a more delayed period of time.
22 And what we are talking about in Adam is a significant quantity of free water, the
23 precise volume is open to some discussion, but it remains a significant quantity
24 administered over a very brief period of time.

25 Then if you look at the two French papers, they are case reports but I think
26 we are --

27 MS ANYADIKE-DANES: Sorry, these were the two papers that you were going to bring in
28 previously but were trying to look up?

29 DR HAYNES: Yes.

1 MS ANYADIKE-DANES: Okay.

2 DR HAYNES: At the previous meeting we said that no-one had identified any humans, but
3 what happens if you give or what happens neurologically if you give a large volume
4 of free water to a child. Well these two papers combine to give a series of eight
5 children ranging in age from two up to six I think, and the solution given in every
6 patient was 5% glucose, and in every patient it was given at a slower hourly rate of
7 free water administration than Adam would have received. So those kids were, with
8 one exception I think, were healthy kids previously, inadvertently given excess
9 volumes of free water. In some of them, more (inaudible) body weight Adam would
10 have had, and the hourly rate was still less. Of these eight patients two died and the
11 remainder had major signs and were resuscitated with varying methods, all of which
12 have been described in the various reports be it hypotonic saline, Mannitol, or in one
13 case just normal saline.

14 MS ANYADIKE-DANES: Yes, but so we are clear with where you are going with that, and
15 we will try and provide, well we will provide copies of these papers to people.

16 PROFESSOR KIRKHAM: Just to say I have translated the cases.

17 DR SQUIER: And we are very grateful to you for doing that, thank you. We will provide
18 those along with the transcript, but just so that we are clear on where you are going
19 with that, what does that lead you to say about Professor Kirkham's comment that
20 absent some other factor, call it brain assault or condition or whatever it is, that the
21 brain would respond in such a way that the administration of free water in that way
22 would not lead to cerebral oedema which would be of sufficient degree to kill a
23 person?

24 DR HAYNES: I think that is dealt with in the paper quoted by Professor Gross.

25 MS ANYADIKE-DANES: No, I am asking you of your view. What is your comment to the
26 views that Professor Kirkham is expressing?

27 DR HAYNES: My position on this is that the free water given was given so quickly that yes,
28 the cells contained within the brain would have been able to deal with it had it been
29 given at a slower rate. Yes, they would have been able to compensate, but they

1 couldn't deal in Adam's case with the large quantity of free water administered.

2 MS ANYADIKE-DANES: So what is the tipping point so that we know where you differ
3 from Professor Kirkham? If they could have dealt with it at a slower rate then that,
4 so as we don't get into a subjective thing about what slow means --

5 DR HAYNES: I don't think we can define at what point the rate becomes critical.

6 MS ANYADIKE-DANES: Okay.

7 DR HAYNES: But there will be a point, in my opinion, beyond which the administration of
8 the hypotonic solution be administered too fast for the brain to compensate.

9 MS ANYADIKE-DANES: So that we are clear, are you saying that if that amount of fluid
10 had been administered over a slower rate, that it may not have had the consequences
11 it did for Adam, just so we are clear about that? So now you are really just talking, if
12 that is so, are you really just talking about the rate as opposed to volume?

13 DR HAYNES: Being purist, yes, but it would have to be a much slower rate.

14 MS ANYADIKE-DANES: Okay.

15 DR HAYNES: One other comment I would like to add into the discussion is Adam's,
16 because of his age, his vulnerability to brain swelling. Perhaps Dr Squier can correct
17 me if I make a mistake here, but he was of an age where his brain size would have
18 developed, would have progressed at a rate faster than his skull growth.

19 MS ANYADIKE-DANES: Maybe we will just invite Dr Squier, I mean not just necessarily
20 on that comment alone.

21 DR HAYNES: Which means that he would be less tolerant of brain swelling.

22 MS ANYADIKE-DANES: Understood.

23 DR HAYNES: The box would close quicker.

24 MS ANYADIKE-DANES: Understood, but not just on that comment alone Dr Squier, but
25 you have been listening to this debate as it has gone backwards and forwards. I
26 wonder if you have got any other comments yourself to make about it?

27 DR SQUIER: Well it is a hugely complex issue. To start with the last point, Adam at four
28 would have had a fixed skull, his sutures would be well and truly closed, there may
29 be a little bit more space around the brain between the brain and the skull than the

1 adult, but I still think he has got a fixed skull and his brain can only swell to a certain
2 degree before there is going to be brain stem compression and death.

3 DR HAYNES: But what I was saying was that the skull had a lot more growing after that
4 age in terms of volume compared to the brain is my understanding of normal growth.

5 DR SQUIER: Yes, but I don't know, I think again we are talking about very rapid changes
6 here and there is still not much that much space for compensation I think.

7 DR HAYNES: Well what I am saying is there is even less, if it was to happen to you or me,
8 that the brain size would be more proportionate to the skull size whereas in a child
9 four or five or six years old the brain, there would be actually less room within the
10 skull for the brain to swell.

11 MS ANYADIKE-DANES: When you talk about the space or the scope for swelling the
12 brain, just so that everybody is clear on it because I think the first time round I asked
13 everybody to declare when they were absolutely in their zone of expertise or not, is
14 that within your zone of expertise?

15 DR HAYNES: No, but it is a general observation.

16 MS ANYADIKE-DANES: Right. It is not a criticism, just people need to be clear, that's all.

17 DR HAYNES: But I am talking by a fact which I think is well understood by people who
18 work with children in any medical sphere.

19 MS ANYADIKE-DANES: If I go back to Dr Squier, did you --

20 DR SQUIER: I think that is one factor, but I think there are also many other very complex
21 factors, as you indicated earlier. The baby's or the child's response to both
22 autonomic and sensory stimulation in the brain is very different from that in the
23 adult, and the variability in responses in the infant and young child is much greater
24 than in the adult, so they have a potential to have a much more dramatic response to
25 whatever stimulates the autonomic or the trigeminal sensory system in the head than
26 the adult does.

27 MS ANYADIKE-DANES: Would Adam at four be in that group that you are talking about?

28 DR SQUIER: From the sort of work we have been doing he is just sort at the very end of it,
29 we think that all of these changes are probably going on towards about the end of

1 two years of age, but we don't have a lot of information.

2 MS ANYADIKE-DANES: So that we understand, what are implications of that? If that's the
3 case what does that mean in terms of all the observable things that we have in
4 relation to what happened to Adam?

5 DR SQUIER: I think that the implications are that we have to be very careful that we draw
6 our conclusions from comparable age groups. Obviously experimental animal work
7 is invaluable, but I think we also need to know that we must look at Adam as a four
8 year old and not just as a patient. We must be very careful that we do understand
9 that maybe we don't know as much about the physiological responses in the brain at
10 this age as we might want to.

11 MS ANYADIKE-DANES: Now you saw the end result, if I can put it that way, or you have
12 examined the end result as to what happened after the various administrations of
13 fluid and the various effects of the surgery, how do you interpret what happened in
14 relation to the argument that it was the administration of large quantities of free
15 water over a relatively short period of time that caused his gross cerebral oedema and
16 ultimate death?

17 DR SQUIER: Well, there is a big gap in what I can say here. What I can say is the brain
18 sections I have examined show that he clearly had brain swelling, he clearly had a lot
19 of water in the cells of the brain, that was very well demonstrated. Now I don't think
20 we have a very good way of saying whether there was also interstitial fluid because
21 the sorts of things that happen to a brain between death and us looking at it under a
22 microscope can influence that, but there was certainly a lot of very swollen cells and
23 the astrocytes that Professor Kirkham has already mentioned were very swollen. So
24 he has clearly got brain swelling. So we can say that's one thing, in the sections of
25 the brain there was evidence of swelling. There was no evidence that there was any
26 other cause such as hypoxia recently, although we have to have the caveat that this
27 baby died 24 hours after surgery, so all of the changes that one sees in relation to
28 hypoxia wouldn't have been fully developed so we can only say that as far as we can
29 see there was no evidence of hypoxia damage.

1 MS ANYADIKE-DANES: So can I just ask you about the significance of that? If the
2 reason why you didn't see hypoxia damage is because there wasn't long enough for
3 that to reach to a visible stage, what would be the implications of that?

4 DR SQUIER: I think what I would say quite firmly is that I didn't see any of the early
5 changes of hypoxia which I would have expected to see even at 24 hours. We only
6 have a small part of the information. Had the baby survived for two weeks then we
7 would have had a much clearer picture of hypoxia.

8 MS ANYADIKE-DANES: If you had known about the possibility -- well you did know
9 about the possibility of hypoxia, but if the evidence had been clearer, if I can put it
10 that way, about hypoxia, what would that do to the view you have of the causes of
11 the development of his cerebral oedema and his death?

12 DR SQUIER: With the information we have, given that the baby died 24 hours after surgery,
13 I saw none of the pointers to the development of hypoxic injury. The other
14 information that we have, apart from what was seen down the microscope, is the
15 appearance of the brain itself. And there is a photograph in Dr Armour's presentation
16 in the papers she wrote, and the surprising thing in that picture to me is that the
17 surface of the brain was not very swollen. Normally in babies who have massive
18 oedema the brain, and in adults, the brain will swell up and will come into contact
19 with the inside of the skull and the brain becomes flattened. So the nice normal
20 rounded surface gyri become flattened and we lose those contours. So there is a bit
21 of a discrepancy in what was going on in the top of the brain here and inside and at
22 the back where we could look at it under a microscope.

23 MS ANYADIKE-DANES: And what might that mean in terms of trying to interpret what
24 actually happened?

25 DR SQUIER: What that means, and I am going to have to stop before what actually
26 happened because I can't go there, but what that means is that there wasn't, it appears
27 there wasn't generalised oedema of a very gross degree. There was certainly
28 evidence at a cellular level of oedema, but there wasn't evidence that the whole brain
29 had become very swollen as far as I can see from these photographs.

1 MS ANYADIKE-DANES: Are you able to express a view as to why that might be?

2 DR SQUIER: I think that is the point at which I reach the limits of my expertise because I
3 am struggling to understand mechanisms here because what we are talking about,
4 and Professor Kirkham has mentioned, is cellular oedema which is what is
5 understood to occur in babies who have alterations of their sodium levels and
6 hypoxia, the cells lose the normal function of their membranes and water floods into
7 the cells. Now for this to cause brain swelling that water has to come from
8 somewhere, and what I can't find in the literature is any explanation of what
9 happened at the blood brain barrier in hyponatraemia because we think the blood
10 brain barrier remains intact, whereas in --

11 PROFESSOR GROSS: It does.

12 MS ANYADIKE-DANES: Professor Gross.

13 DR SQUIER: Please help me where this water has to come from the blood to get into the
14 brain to cause the brain to swell because the brain won't swell if it simply shifts
15 water from the interstitial space into the cells. So there must be a compromise of
16 blood brain barrier at some point.

17 DR HAYNES: No, no, no, it is an osmotic, I mean --

18 MS ANYADIKE-DANES: Just before, Professor Gross had sort of interjected. Professor
19 Gross?

20 PROFESSOR GROSS: Yes. As far as I know the blood brain barrier is intact, even in
21 severe case of hyponatraemia, the blood brain barrier is perfectly permeable to
22 water, so I don't see what the problem ought to be with water from serum getting
23 across the blood brain barrier and making its way into brain cells.

24 DR SQUIER: So very simple osmotic flow, which would occur in a normal person as well?
25 This is just normal water?

26 PROFESSOR GROSS: Very simple osmotic flow mediated by the presence of Aquaporin-4
27 molecules I believe in all brain cells, and there being a significant osmotic gradient
28 from hypotonic serum fluid into relatively hypertonic inter-cellular contents.

29 DR SQUIER: So it makes it much simpler. I'm trying to complicate this.

1 DR HAYNES: Can I come back to the issue of hypoxia? Because if this is to be an issue it
2 puts a whole different handle on the examination of the whole case. Two things, first
3 of all, the haemocritical haemoglobin of 6, which occurred at one point, as far as I can
4 ascertain that will have been reached by diluting Adam's blood down by the fluid
5 given, inappropriate acute dilution.

6 PROFESSOR KIRKHAM: Can you calculate that?

7 DR HAYNES: I could do and I will do. Secondly, if there is a suggestion that a significant
8 episode of hypoxia occurred during the course of his anaesthetic that will have a
9 whole new range of implications for Dr Taylor.

10 MS ANYADIKE-DANES: What does that mean, sorry, so that we are clear?

11 DR HAYNES: It means that there is mis-adventure during the anaesthetic, or a problem
12 during the anaesthetic when there was failure of oxygen delivery around Adam's
13 body.

14 MS ANYADIKE-DANES: What sort of thing might we be talking about?

15 DR HAYNES: If there was an episode where he was disconnected from the ventilator, an
16 episode where only one lung was inadvertently ventilated because of the tracheal
17 tube position, it is saying that if there is hypoxia the recordings on the oxygen
18 saturation put on the anaesthetic chart are not correct, it is challenging the whole
19 conduct of the anaesthetic. So I would like to ask Dr Squier if, say there was a brief
20 episode, even of relatively minor hypoxia, say an oxygen saturation of 80%, would
21 that produce a change in the brain when examined after Adam's death?

22 DR SQUIER: I think it is quite likely you wouldn't see anything by microscopy, if it was a
23 brief period and it wasn't severe.

24 DR HAYNES: If it was a severe episode where there was no cardiac output or not complete
25 oxygenation for ten minutes say?

26 DR SQUIER: Ten minutes of no cardiac output, yes, we would see something.

27 DR HAYNES: Right, but you didn't?

28 DR SQUIER: No.

29 MS ANYADIKE-DANES: Sorry, Professor Kirkham?

1 PROFESSOR KIRKHAM: I do think that the haemoglobin is the issue we should be
2 looking at here. It is not very likely to have been an anaesthetic problem that wasn't
3 detected, there is lot of blood pressures that are measured. The child was mildly
4 anaemic at the start and would therefore have had quite high cerebral blood flow
5 probably, because you tend to compensate for having anaemia by putting your
6 cerebral blood flow up which leaves you with reduced vasodilatory capacity if
7 something else happens, and that can include all sorts of things, but certainly would
8 include a drop in haemoglobin, there is a maximum blood flow that you can have.
9 And you can have a degree of hypoxic ischaemia, certainly focally, from not having
10 enough blood flow to respond to a decrease in haemoglobin. I don't think that that
11 has been excluded, and I think we ought to look at cerebral oxygen delivery during
12 the fall in haemoglobin. We are missing key pieces of information, but we could
13 probably do a percentage change and discuss that, and then ask Dr Squier again
14 whether that could have been part of the problem, whether a mild degree of hypoxia,
15 perhaps anaemic hypoxia could have been part of the degree of very rapid brain
16 swelling that happened mainly posteriorly because one of the things I find difficult to
17 understand is if it is simply water crossing across just into the astrocytes as normally
18 happens, why is it so much at the back and why don't we have the gross global gyral
19 flattening that you would expect if it was everywhere, that's what I don't understand.

20 MS ANYADIKE-DANES: Yes. Can I ask you though, before picking that up and putting
21 that to you, Dr Squier, and anybody else who wants to contribute to that debate, can I
22 ask you your view on the comments both Dr Haynes and Dr Coulthard made in
23 relation to Dr Squier's query as to how the water would cross from the blood into the
24 brain, and the answer that she got, well it is just by a process effectively of osmosis;
25 do you have a view on that, do you agree?

26 PROFESSOR KIRKHAM: I agree with that. You do simply get water, if you have got too
27 much water there it will cross into the astrocytes, yes.

28 MS ANYADIKE-DANES: If that is so then how does that address the points that Professor
29 Gross, Dr Coulthard and Dr Haynes make, well yes, that is what happens, and what

1 happens is sufficient of that occurs that leads to the gross cerebral oedema in effect
2 and ultimately death? But as I understood you to say, that it doesn't ever get to that
3 sufficient degree because the brain prevents it, and I think that seems to be what is
4 opening up as a bit of a difference between you all. What we are trying to make sure
5 that we are clear about is why you say it stops short of being able to develop to that
6 ultimate morbid state.

7 PROFESSOR KIRKHAM: I haven't said that I am absolutely sure it always stops short.

8 MS ANYADIKE-DANES: Ah.

9 PROFESSOR KIRKHAM: What I have said is that I can't find a case of a patient given
10 Solution 18 in whom brain death has occurred secondary to this. I found children
11 who fitted, I found children, the French cases you know weren't very well, one of
12 them died, but I find it -- I don't find a stack of children in whom this is the definite
13 cause of death.

14 MS ANYADIKE-DANES: I suppose the implication might be from what you are saying is
15 if it did happen like that you would expect to find cases; is that what you are saying?

16 PROFESSOR KIRKHAM: Yes.

17 MS ANYADIKE-DANES: And the fact that you don't find cases you take from that that
18 means it doesn't happen in that way?

19 PROFESSOR KIRKHAM: Well no, I am not saying it couldn't happen, I am saying, you
20 know, I tend to go on evidence and literature evidence counts very favourably in
21 developing an argument. If I have got literature evidence then it is much easier to
22 say this is likely to have happened in this case, there is no other case previously, then
23 this is the first case described. I am not saying that it couldn't be, I am just being
24 very sceptical when there are no cases like this.

25 MS ANYADIKE-DANES: Okay.

26 PROFESSOR KIRKHAM: And there are anxieties about the distribution of the swelling of
27 the tissue.

28 MS ANYADIKE-DANES: Dr Coulthard?

29 DR COULTHARD: Can I make a number of points relating to this whole area? The first

1 thing actually is to thank Peter Gross for that fantastically interesting paper and I am
2 sure it will be circulated, that sounds extremely interesting. I use the word, when I
3 talk about free water, as you have to conceptualize, it is not actually that airy-fairy.
4 Actually, if you get 800ml's of 5% dextrose and 200mls of saline and mix them up
5 you have a litre of 0.18 solution, that's it. It is not just a conceptualisation, it is
6 actually a reality. If you run in a bag of 5% dextrose there at a rate and a slower rate
7 of normal saline you get exactly the same thing. There is no way that the body has
8 any way of perceiving any difference whatsoever, whether they are mixed in a bag or
9 whether they are mixed at the point of delivery, it is absolutely irrelevant at a
10 physiological level. The simple thing is that water is not pumped out of astrocytes or
11 any other cells. Water, which we have heard this morning, that is not what happens,
12 there is cells in your body, including in your brain, have sodium and potassium
13 pumped across the membranes. The membrane has a particular permeability to
14 water, and the amount of water in the cells and outside the cells is regulated by those
15 osmolalities, by the concentrations of the total chemicals inside and outside the cells.
16 The biggest contribution outside the cell happens to be sodium and inside the cell it
17 is other things. When water moves into cells it is not pumped out, as we have heard
18 this morning, there is no water pumps, there are sodium pumps and water follows.
19 You don't have to destroy or have an abnormal blood brain barrier. This is what's
20 happening to all of us all the time. At the moment our brain cells hopefully are all
21 kind of sitting there about stable because our brain cells keep the sodium pumped out
22 and our kidneys keep our sodium concentrations normal and therefore water balances
23 across in effectively a passive way. You don't need to lose a blood brain barrier for
24 this to occur, this is what normally happens. So there is no kind of complex
25 assumptions there that have to be made, it is a simple physiological fact that if you
26 add water to a body, human body, anybody, vessel, which contains saline it will
27 dilute it, and if it dilutes it and you have a semi-permeable membrane of the simple
28 diagram that Simon was showing earlier, or a brain cell, water will flow across it,
29 end of, okay.

1 The second issue in relation to all this speculation on rates and stuff, I have just done
2 some very quick sums. If we forget whether he did or didn't pass urine in theatre and
3 just accept the fact that all of us, including now Dr Taylor, all of our figures indicate
4 that in an hour he had 500ml's of total water added to his system, that is a fact
5 whether or not which solution it comes in, that's a fact. The fact is that if we accept
6 this graph we are saying he had 500ml's of water added, okay. How much would that
7 dilute the sodium by? Professor Gross, I agree with him, assumes that the total body
8 water of a 20 kilogram child is 12 litres because it is known to be about 60% of your
9 body weight. If, during that hour, all the water that was added was diluted totally so
10 that by the end of the hour all of it was completely mixed, which wouldn't happen,
11 but if that did happen then if you started off with a theoretical level of 140, just keep
12 the numbers fine, that would drop by 6mmols an hour. It is a very simple sum, it is
13 140 times 12 litres divided by 12.5 litres, simple division, it doesn't have to be
14 human physiology, it is just simple maths. That would drop by 6 in an hour. Bear in
15 mind that the figure of 3 per hour, which we bandied about not based on hard
16 evidence but based on clinical experience, is considered to be a very, very high rate
17 that you shouldn't exceed. If we assumed, and this is obviously also a silly
18 assumption but you need to just set your yardstick, your end stops, if you assume that
19 all of the water was still in the plasma and hadn't started to distribute at all, since the
20 blood volume of a child is about 85ml's per kilo - we are assuming, I think we have
21 all agreed this in discussions that his blood volume, a 20kg kid would have a blood
22 volume of about 1.7 litres - if you then say well half of that, roughly half of that,
23 two-thirds of that is plasma, it is about a litre, if you put 500ml's of water into a litre
24 of 140, you are going to get something like a sodium of about 90. That clearly
25 wouldn't happen because fluid is being distributed all the time, but by the same
26 token, at the end of that hour, fluid is still being administered, so some of it will be
27 still in the plasma and it won't have had time to redistribute, some will have
28 completely redistributed. So that figure is going to be somewhere between 90 and
29 100 and, in the 130's. There is no question whatsoever, if you take the most rapid

1 fall, the most rapid fall, it works out at something like 40 or 50mmols per hour. If
2 you take the slowest force, which wouldn't be true, working the other opposite
3 assumption that there is instant total dilution, it would still be 6 which is twice the
4 rate that people shy away from and fear because of its risk of clinically causing
5 cerebral oedema. It is going to be somewhere between those two, it is definitely
6 going to be faster than 6 and definitely less than 50. So I think that needs to be borne
7 in mind that we have a plasma sodium level before he goes to theatre and we have
8 got a plasma sodium level at 9.30 or something, we shouldn't be assuming that there
9 is a kind of gradual change during that time. I am suggesting to you that a sudden
10 event occurred there and that that sodium concentration will have changed
11 dramatically during that time due to those mechanisms. These are way in excess of
12 anything that one could ever really imagine anybody normally doing. I think you
13 have to accept the reason we are sitting around here and the reason a case is like this
14 is because this child's management was, in my view, absolutely exceptionally
15 bizarre. I do not think that it is reasonable to use as an argument the fact that there
16 aren't cases, even any cases, let alone lots of cases out there in the literature in which
17 similar things have happened to similar children. This is the sort of thing that you
18 would never have imagined could ever happen to anybody, yet it has. I think the
19 argument that there aren't cases written up already or ones that aren't written up
20 already they happen to use this fluid rather than that fluid, which I think most of us
21 are agreeing are equivalent, is utterly irrelevant. There are no cases written up of all
22 sorts of bizarre things that you could do to children, but you would hope they would
23 never be done and you would never expect to see case series of bizarre dreadfully
24 extreme events happening to anybody.

25 MS ANYADIKE-DANES: Dr Coulthard, I wonder if you could help with this because one
26 of the points that Professor Kirkham has made, and I think she made it also on the
27 last occasion when Dr Squier was contributing by the phone, which is to do with the
28 patterns observed of oedema in the brain, does your explanation for the mechanism
29 of the development of his dilutional hyponatraemia leading to his gross oedema

1 explain the pattern of the cerebral oedema?

2 DR COULTHARD: Two things, one is --

3 MS ANYADIKE-DANES: Sorry, that may not be your area of expertise.

4 DR COULTHARD: It is moving out of my area of expertise but --

5 MS ANYADIKE-DANES: That's fine.

6 DR COULTHARD: -- one of the questions I would like to ask Waney is whether she might
7 be able to speculate, or whether we know how the gyral appearance at postmortem
8 after 24 hours of further therapy, which was obviously directed at correcting the
9 sodium, how that might alter that pattern. In other words, whatever you find at
10 postmortem is there any way of speculating what the brain would have looked like at
11 that point? But beyond that it is outside my area of expertise.

12 MS ANYADIKE-DANES: I understand.

13 DR SQUIER: That's a difficult question to answer because we don't know whether his
14 subsequent 24 hours on a ventilator may have induced some hypoxia at that point which
15 would lead to further brain swelling, and then that was counteracted by the treatment
16 he was having which would reduce it. So we don't know what that balance would
17 be. But I think the same principle applies, that there was much more swelling in the
18 cerebellum on the photographs than there was at the top of the brain, so there
19 certainly does appear to be a particular distribution of swelling which was also noted
20 on the CT scan. I think that's important, and I think we don't fully understand
21 because we know that the pattern of brain swelling at a cellular level is different
22 according to whether you have got breakdown of blood brain barriers or breakdown
23 of cell control of water in and out. So, for example, whether or not you lose the
24 differentiation between grey and white matter may be different, but I think on top of
25 this, and I think certainly I am beginning to recognise in cases that I look at, that we
26 can see some very different patterns of brain swelling according to other features.
27 So, for example, sometimes we see patterns of brain swelling that involve just the
28 supratentorial brain or predominantly the supratentorial brain.

29 MS ANYADIKE-DANES: Sorry, just for the benefit of those who are going to be reading

1 or listening to this, what does that mean?

2 DR SQUIER: The supratentorial brain is the cerebral hemispheres themselves rather than
3 the brain stem and the cerebellum.

4 MS ANYADIKE-DANES: Understood.

5 DR SQUIER: And certainly a syndrome I am very interested in is when you have subdural
6 bleeding you can have swelling that is related just to the bit of brain underneath that
7 subdural bleeding, so it can be on just one side. So we know there is a lot more to
8 brain swelling and its control than just simple individual cells reacting.

9 I think one of the fascinating things about this case possibly, but certainly the
10 posterior swellings that Professor Kirkham has brought to your attention is that they
11 almost do a mirror image of that swelling. So in these cases it seems to be the back
12 part of the brain and the brain stem that is more swollen. And the explanation that
13 would cover this is that the innervation of the various parts of the brain are different,
14 so the front part of the brain, the blood vessels of the cerebral hemispheres sparing
15 the basal ganglia, but largely the cerebral hemispheres is from the trigeminal nerve,
16 and in the posterior part we have 9, 10 upper cervical nerves supplying the basal
17 ganglia, the cerebellum and the brain stem. Also, the density of nerve fibres, if you
18 look at the blood vessels in the anterior circulation they have many more nerve fibres
19 than the blood vessels in the posterior circulation. And the simplistic explanation for
20 this is that every time we are using our brains, every time we move a finger or utter a
21 word we have to have a very focal, very sensitive redistribution of blood supply to
22 the basis of magnetic resonance spectroscopy that we can see which bits of the brain
23 are working because there is this incredibly tight control of blood supply within the
24 brain. So that applies to the cerebral hemispheres specifically, but in the hind brain,
25 the brain is more or less controlling that we are breathing okay and that our hearts
26 are pumping and it is a much more sort of visceral control that requires a constant
27 supply of brain without this more tight control. So that's the sort of explanation for
28 why you might have this different innervation but that anatomy might be explaining
29 why we sometimes see different patterns of cerebral swelling.

1 MS ANYADIKE-DANES: For clarity, I wonder if I could ask you this then so that we
2 understand what you are saying and where it may agree or disagree with what other
3 people are saying. Taking the point that the anatomy of the brain and its distribution
4 of blood vessels and so forth might affect the way that the fluid moves across a blood
5 brain barrier and therefore one sees that in terms of swelling, is it possible for the
6 degree of fluid to be so high or the volume of it to be so high that it overwhelms
7 those, if I can say, local differences so that you see just a general significant swelling
8 across over all the brain or will you always see highly localised differences?

9 DR SQUIER: No, I don't think you do always see it. I think we are just beginning to
10 determine these patterns in among general brain swelling. And I think, from what I
11 have heard this morning, that the sort of fluid overload we are talking about would
12 overwhelm the whole brain so while we have a differential --

13 MS ANYADIKE-DANES: That was going to be my next question.

14 DR SQUIER: I don't know. All I am trying to do is to explain why if we have a massive
15 dilutional effect the whole brain didn't simply give up and swell altogether. But
16 maybe there are some other factors which have caused an autonomic response which
17 have predisposed to one part of the brain swelling more than another. I am merely
18 hypothesising.

19 MS ANYADIKE-DANES: And is it possible therefore because various of those who are
20 participating in this discussion have identified other factors that may have been
21 relevant and the contenders that we have had for those are the sorts of risk factors
22 that Professor Kirkham have spoken about, down to the extent to which there may
23 have been some sort of impediment to his cerebral perfusion and so forth, whether
24 by virtue of his position or whether by virtue of some sort of ligation of any of those
25 vessels, is it possible for you to express a view as to the extent to which any of those
26 factors might contribute to the pattern of cerebral oedema that you saw when you
27 were examining the brain, or at least the histological slides from it and the
28 photographs?

29 DR SQUIER: I think that the one factor that I have already mentioned is the anatomy of the

1 innovation which would change, potentially the rates of blood flow to different parts
2 of the brain and their potential for swelling. I think the other point that certainly
3 Professor Kirkham has mentioned is whether the venous outflow from the brain
4 would have been a feature here. I think it is a very good hypothetical suggestion that
5 venous outflow may have predisposed to more oedema in the back of the brain, but
6 again the pattern really doesn't exactly correspond with what we would see in venous
7 outflow obstruction although we are still learning about that as well. But there
8 wasn't the typical pattern of parasagittal or deep grained nuclear change that we
9 would expect in venous obstruction. So it is something that I think we need to think
10 about, but the other thing that I don't like for the venous obstruction theory is that the
11 photographs of the brain didn't show congestion of the surface vessels, and if the
12 venous outflow were obstructed we would expect to see all of those vessels on the
13 surface of the brain looking very big, possibly tortuous and dilated with blood, and
14 we didn't see that.

15 MS ANYADIKE-DANES: So then if one tries to sort of draw -- sorry, I beg your pardon,
16 Professor Kirkham.

17 PROFESSOR KIRKHAM: Just something Dr Squier and I have actually been discussing by
18 e-mail which we did discuss briefly in the last experts' meeting is a possibility of
19 thrombosis in the paravertebral plexus. Just for completion would you mind saying
20 something a bit about that?

21 MS ANYADIKE-DANES: Sorry Professor Gross, were you able to hear that?

22 PROFESSOR GROSS: No.

23 MS ANYADIKE-DANES: That's my concern actually, that Professor --

24 PROFESSOR GROSS: I didn't hear Professor Kirkham at all.

25 MS ANYADIKE-DANES: Yes, she is slightly soft spoken and that's part of the problem. I
26 wonder if you would just (a) try and keep your voice up and (b) repeat that?

27 PROFESSOR KIRKHAM: Just to say --

28 PROFESSOR GROSS: From now on I will start coughing loudly.

29 MS ANYADIKE-DANES: I should have invited you to do that before, I am sorry.

1 PROFESSOR KIRKHAM: Dr Squier and I have been discussing by e-mail the possibility of
2 paravertebral thrombosis which was raised briefly at the previous experts' meeting.

3 DR SQUIER: Yes, I think this is a very largely ignored part of the anatomy and that we all
4 assume that our blood flows back from our brain through our jugular veins, but in
5 fact there is a very extensive, very variable paravertebral plexus by which we mostly
6 drain blood from the brains when we are in a vertical position, and it is something
7 that I don't think anybody would ever examine at postmortem, I don't think we would
8 even know where to go to look for it. But in terms of this being a plexus, which is
9 very complex with many small inter-related blood vessels, it is a place that I would
10 have thought if anything is going to thrombose this would be a prime candidate for
11 thrombosis, but I don't think this has ever been put up for discussion in causes of
12 brain swelling or cerebral pathology in children in the past, so it is something that is
13 a very good hypothesis, but I don't think we have any real data to support that as a
14 cause of the swelling we see in this case.

15 MS ANYADIKE-DANES: What would give rise to it? What would cause it?

16 DR SQUIER: Well I think any of the factors which predispose to thrombosis such as
17 dehydration, previous infection, perhaps anaemia is another thing that we need to
18 think about in terms of thrombosis now, possibly positional, if a child is lying on his
19 back or possibly this vertebral plexus may in some way be compromised. And the
20 other thing I was wondering about in this particular instance is if this baby had got
21 compromise of his jugular venous system anyway because one was sutured and the
22 other had a catheter in it, would that have meant that this plexus was therefore under
23 some increased stress and wasn't coping adequately? I don't know, these are all
24 hypothetical situations.

25 MS ANYADIKE-DANES: And if that were the case where that lead us, just so that we see
26 where that argument would go?

27 DR SQUIER: Well maybe that that plexus was then more important in the venous drainage
28 from this little boy's brain, and that if it were compromised by thrombosis would
29 have had effects that would not have been seen in other children who have

1 competent alternative pathways of fluid through the jugular veins.

2 MS ANYADIKE-DANES: And from what you said when you started that discussion is you
3 won't know that because that's not part of the brain that was examined?

4 DR SQUIER: That's correct, and I don't think anybody ever does look at the paravertebral
5 plexus in the course of an autopsy.

6 MS ANYADIKE-DANES: Okay, so if we can try and draw some of the threads of this
7 together, what I was inviting you all to do is to express your view in the light of all
8 the evidence as to what is the role that dilutional hyponatraemia had in Adam's death.
9 And I use 'in the light of the evidence' so that if people are going to express their
10 view if they can say why that is their view and where they get that from, and then we
11 can see where people converge and diverge. May we start with Professor Gross?

12 PROFESSOR GROSS: Yes. I continue to be impressed by the amount of water that was
13 given over a short period of time leading to the fact that Adam's serum sodium
14 concentration fell by approximately 7% in those first two and a half to three hours as
15 well as his total body water or his water balance increasing by a corresponding
16 amount of 7-9%, depending on which calculation you believe. I do think that even it
17 might be that a case exactly like Adam has not been described in the literature
18 before, one does have to extrapolate from the other experience that has been
19 published on acute hyponatraemia as well as in the Arieff paper on the semi-acute 32
20 hours lasting hyponatraemia and saying that on the basis of that series of the 16
21 children one could postulate that the dilutional hyponatraemia alone would have
22 been sufficient to cause Adam's cerebral demise.

23 Now, I do notice however that in that aforementioned paper by Arieff in the
24 British Medical Journal in 1992 he does say the human brain can expand by only
25 about 5-7% of its normal volume before herniation occurs. And a brain pathologist I
26 consulted, who is mentioned in my report, advanced a similar proposal.

27 MS ANYADIKE-DANES: Sorry Professor Gross, could you give his name?

28 PROFESSOR GROSS: Professor, what was it, from Gutting, Professor Bjork I think was his
29 name.

1 MS ANYADIKE-DANES: Thank you.

2 PROFESSOR GROSS: He is mentioned with his CV in my report.

3 MS ANYADIKE-DANES: Thank you.

4 PROFESSOR GROSS: You have him. That would seem to place Adam in a category of
5 brain pathology where the presumed expansion of the brain by an equal amount of
6 about 7%, equal to his positive, the percentage of his positive water balance and the
7 percentage of his decremental in the serum sodium concentration, would place him
8 into a class of patient where the expansion of the brain occurring in response to
9 hyponatraemia and we heard that acute hyponatraemia can lead to this acute increase
10 in brain water volume, this experimental paper by Arieff. That would suffice to use
11 up the reserve space and then increase intracranial pressure in such a way that he
12 herniates his cerebellar tonsil on the brain stem and the brain then dies. But I do
13 notice that whereas Arieff says 5 to 7% may be considered as a reserve volume in
14 relation to this Adam's supposed expansion is just 7%, it's not 12% or 15, which
15 would make it a lot easier to me. My argumentation would then be easier I think.

16 In addition I also realise that on the CT that was taken at, between 1.00 and 2.00pm
17 on the 27th the brain oedema is not exactly homogenous across the entire brain, but
18 the radiologist reports a more severe degree of brain oedema, I think he uses the
19 word 'severe' in posterior areas. And we have just heard the same thing repeated by
20 Dr Squier or Square with respect to the brain autopsy observations. So I come to the
21 conclusion that in my mind at least it is possible that an additional associated
22 pathology happened in Adam. In addition to the main event which I continue to
23 believe should have been the osmotic swelling because this is something that
24 happens like gravity, it's there and drops, it's not a risk factor. That could have
25 contributed to his eventual demise. And there amongst the various possible
26 explanations the one that looks more, or most plausible to me is the hypothesis put
27 forward by Dr Lesley Dyer, I mentioned that before. With Adam's, not his true CVP
28 but the pressure measured in Adam's internal jugular vein somewhere 3 cms up from
29 the clavicle, being 17 mms of mercury, initially, and increasing I believe to 20 or 21

1 later on. And then with Adam's head being in a, what they call a down position,
2 which should add to the pressure necessary in veins to allow the blood to flow from
3 the brain back to the right atrium. And this obviously affecting posterior areas of the
4 brain most because they are the lower most, whereas the forebrain is up. This could
5 have, and Adam's mean blood pressure I believe being between 70 and 75 during the
6 first three hours of the operation. This could then, you know, the CVP adding 17 or
7 21, plus considering the posterior position of the posterior brain area, perhaps adding
8 another 3 or 4 or 5mms of mercury and then subtracting those 25 then from the 70 to
9 75 gives you less than 50 mms of mercury of a so-called brain perfusion pressure.
10 And this is low, some say this is borderline low. And that then, together with the
11 fact that Adam was anaemic, having shown a hematocrit of, I believe, 33 before the
12 operation and 19 at the end of the, at 9.32 when this blood was taken, thereby
13 decreasing his oxygen carrying capacity by 45%. I mean it was low to begin with,
14 33 is not normal, but the 19 I think when he arrived at, it even much less, to my eyes
15 suggests a possibility that there could have been hypoxia for a short period of time
16 before his demise, I don't know, maybe fifteen minutes or so, primarily in the
17 posterior areas of his brain and not enough to be seen on a post-mortem examination
18 in the histology causing necrotic changes or ischaemic changes there but enough to
19 contribute more to an already significant brain oedema, hypoxia, I call this oedema
20 too, to sort of tip him over the brain, I think they say, and cause a final element of
21 cerebral, increase of intracerebral hypertension that then led to this impingement on
22 the cerebellum and on the brain stem and caused his eventual demise. So to make a
23 long story short, I'm sorry if I have used so many words, I continue to think that the
24 dilutional hyponatraemia was the leading and main event and that it was substantial.
25 But I cannot exclude that an additional minor ischaemic event, primarily involving
26 posterior parts of his brain, and perhaps being due somehow to his increased pressure
27 in the more proximal parts of the internal jugular vein and his anaemia having
28 contributed to the main event. Thank you.

29 MS ANYADIKE-DANES: Professor Gross, thank you very much. There's just one thing I

1 wondered if you could address since we're trying to draw all these things together
2 and that is you will have received the report that we had from the consultant
3 radiologist Caren Landes where she examined the X-rays post surgery and discusses
4 a number of things, one the state of the lungs and, two, whether there was any
5 evidence of subcutaneous oedema. And I wondered in relation to what she, her
6 findings in her report, how that fits with your explanation of what you think
7 happened?

8 PROFESSOR GROSS: Is that to me?

9 MS ANYADIKE-DANES: Yes, sorry Professor Gross, it is to you.

10 PROFESSOR GROSS: Where is the report by Landes?

11 MS ANYADIKE-DANES: Okay I beg your pardon I can give you the reference. The
12 reference is 207002003.

13 PROFESSOR GROSS: 00200?

14 MS ANYADIKE-DANES: 003.

15 PROFESSOR GROSS: 002003, I will have to look that up.

16 MS ANYADIKE-DANES: Well I can help you a little bit, I'm sure you ...

17 PROFESSOR GROSS: Can you say ...

18 MS ANYADIKE-DANES: Yes, summarise what she said.

19 PROFESSOR GROSS: Say in a nutshell what is in the report.

20 MS ANYADIKE-DANES: Yes, in terms of the state of the lungs she says that the visualised
21 lung fields are clear.

22 PROFESSOR GROSS: Oh.

23 MS ANYADIKE-DANES: In terms of the evidence of subcutaneous oedema she says that:

24 *"The appearances were consistent with the absence of subcutaneous oedema but it*
25 *should be noted that it's possible for some subcutaneous oedema to be present in the*
26 *absence of radiographic appearances". Well at least that ...*

27 PROFESSOR GROSS: Yes.

28 MS ANYADIKE-DANES: .. that's my summary of what she was saying. Somebody else
29 correct me if I'm misinterpreted but what I ...

1 PROFESSOR GROSS: I have seen that.

2 MS ANYADIKE-DANES: Yes. And what I was inviting ...

3 PROFESSOR GROSS: I wasn't familiar with the name of that.

4 MS ANYADIKE-DANES: No.

5 PROFESSOR GROSS: I do not think that the dilutional hyponatraemia has anything to do
6 with subcutaneous oedema or pulmonary oedema. It's kind of a confusion that
7 comes up in some of the written material but, you know, hyponatraemia doesn't
8 cause a discernible oedema. Even a patient who is, it's difficult - retaining water is,
9 retaining 5 litres of water is physiologically significantly different from retaining 5
10 litres of isotonic saline which probably would cause discernible or oedema
11 subcutaneously in the periphery, maybe even in the lung. Retaining 5 litres of water
12 has never been reported doing this and the reason is that saline is excluded from the
13 intracellular fluid volume and water is not, and therefore water distributes over a
14 much wider space of fluid volume than saline does. So to come back to your, to
15 there being no pulmonary oedema on the review of the chest X-ray and there being
16 no evidence of subcutaneous oedema, it doesn't affect my assessment.

17 MS ANYADIKE-DANES: Thank you very much indeed.

18 PROFESSOR GROSS: I hadn't expected it to be there.

19 MS ANYADIKE-DANES: Thank you very much indeed. I wonder if, before going to Dr
20 Coulthard, if I could just go to Dr Squier though because you had posed a certain
21 query to you in what you had, were laterally saying. And I wonder if you may want
22 to comment on what Professor Gross has said?

23 DR SQUIER: Sorry, on which point?

24 MS ANYADIKE-DANES: Well towards the end Professor Gross was talking about what he
25 thought might be an additional factor and he was developing his argument in relation
26 to that. And he was specifically talking about some of the matters that you had
27 raised both on the last occasion and today and also some of the observations on the
28 CT scan and I wondered if you wanted to pick up on that. Just for the purpose of us
29 seeing the extent to which people here agree or disagree which is the purpose.

1 DR SQUIER: I think, I absolutely agree that there may have been an additional factor which
2 has contributed to this distribution of swelling, or to the swelling itself and again if
3 there were anaemia with compromised perfusion that may well have contributed to
4 the brain's ability to cope with fluid even though it didn't leave anything that we
5 could see, that I could see down the microscope histologically. The other point is
6 that again we've talked about the venous outflow from the brain and if the child was
7 with his head down, or wherever the head is, the venous outflow is all through the
8 back of the head or whatever is going on, whichever way up the child is, the venous
9 drainage still has to come out through the, either the jugular veins or the
10 paravertebral plexus and so that might in itself render the posterior part of the brain
11 more vulnerable than elsewhere so that might be a, again a hypothetical factor that
12 would explain this. And may explain some of the distribution of swelling that we
13 see in other cases as well. I don't know if that's covered the sort of question ...

14 MS ANYADIKE-DANES: I think Professor Gross then went on to develop an argument
15 that there may well have been, notwithstanding what you were able to discern
16 histologically, there may well have been some hypoxia and he was giving his reasons
17 for why he thought it might be there and I wondered if you might like to comment on
18 that to see the extent to which you agree or disagree with that.

19 DR KIRKHAM: Well I would absolutely agree that there could have been hypoxia, there
20 certainly were several problems as he's explained which could predispose to hypoxia
21 and this could well have caused a change in the, for example, permeability of the
22 blood vessel cells and the cells of the brain. But would have had a physiological
23 effect or a pathological effect but would not necessarily have been sufficiently
24 developed or prolonged for us to see that on the microscope slides afterwards. I
25 don't, I think microscopy is a very crude way of looking at the brain so I think that's
26 something that could have happened and we just didn't, wouldn't have been able to
27 see.

28 MS ANYADIKE-DANES: Thank you very much. Dr Coulthard?

29 DR COULTHARD: Professor Gross, talking about the potential perfusion issues quotes Dr

1 Dyer's observation about the fact that he was head down and when he does his
2 calculations about the perfusion gradient adds on the extra resistance of venous
3 return going, as you like, uphill. This is what Dr Dyer said. It is actually fallacious
4 because whilst if you have a local obstruction or something that applies just to the
5 vein, that's a good argument, but if you've got just a hydrostatic effect because the
6 head is lower than the heart obviously the vein has to have a higher pressure to return
7 the blood but at the same time the arterial blood pressure is higher by exactly the
8 same difference. So the gradient remains the same, the blood - the venous pressure
9 in my feet at the moment is a metre of water higher than the venous pressure in my
10 arm because I'm sitting in a chair but the arterial pressure by the same token is also a
11 metre higher because my foot's also in the same place in relation to my arteries. So it
12 just doesn't follow. You can't add in that as an extra factor. The fact that his head is
13 down or up, or wherever, is irrelevant in the same way that the fact that my foot is
14 down on the floor or level with my body doesn't alter the perfusion in my foot.

15 MS ANYADIKE-DANES: Professor Gross?

16 PROFESSOR GROSS: I don't really think, I don't think that the - I guess that the, I'm
17 talking about something that is not my field to start with so what you're going to hear
18 now is speculation. I think that arterial tone is regulated actively and venous tone
19 not at all or much less so. Therefore hydrostatic effects are more important with
20 respect to venous tone, whereas the, I suspect, the brain in a person like Adam
21 regulates the arterial tone, or to use another term, peripheral vascular resistance in
22 such a way that the pressure that results at the tissue level is similar or even the same
23 comparing the front brain with the hind brain. You are correct in that the hydrostatic
24 effect should modify arterial blood flow, but another factor that has to be respected
25 here is that arterial tone is multiply regulated, I hope, in an anaesthetised person as
26 well, I don't know about that for sure, so as to keep pressure at a similar level and
27 make sure that the brain is perfused as well as the foot, which I think in terms of
28 arterial tone occurs.

29 DR COULTHARD: Could I just say that although these factors about variation and control

1 may all be true it is still a fact of physics that if you're pumping and returning from
2 the same point, ie, the heart, to the same organ, in this case the back of his brain or in
3 my example the foot, the position in relation to the heart affects arterial and venous
4 pressure in an identical way, it has to unless the laws of physics has to be rewritten.
5 So whatever goes on in term of control and so forth it is not valid to add into your
6 equation on the venous side the fact that blood has to go back uphill, but not add into
7 the equation on the arterial side it's also flowing downhill. I mean those two things
8 are just irrelevant in terms of the physiology, it's just, it's a red herring I think and the
9 other issues may well be true, but they will, that will always be the case. The
10 pressure, you know, in the artery, in the vein is always going to be the same number
11 of millimetres of mercury higher if the limb is below the, or the organ is below the
12 heart. For both arterial and (inaudible).

13 PROFESSOR GROSS: But don't you have the same blood pressure in the arm that you have
14 at the ankle, I mean arterial blood pressure?

15 DR COULTHARD: No, no, no. No, absolutely not, of course not. Your blood pressure,
16 my blood pressure in my, this is the problem that giraffes have because the giraffe
17 when he eats leaves off the top of a tree and he's got another one and a half metres of
18 height above, or 2 metres of height above his heart, has to have a blood pressure of 3
19 or 400 to get it up there, otherwise it won't reach there. His venous return is also
20 increased by 3 or 400 ...

21 PROFESSOR GROSS: And what is the blood pressure in the foot of the giraffe?

22 DR COULTHARD: Oh, 400, 500. I mean this is, there's great studies about giraffes, 500.
23 And then when the giraffe drinks, think about it, his head goes down by about 4
24 metres, his blood pressure has to go down by about 400. And that is what happens.
25 That's the physiology of it, otherwise you couldn't, if he put his head up the blood
26 wouldn't pump up there, end of story. You know, it's a fact. I mean it's physics.
27 Sorry.

28 PROFESSOR GROSS: I'm not a specialist on the giraffe but I think that that is really a very
29 interesting aspect of science.

1 DR COULTHARD: We may be going sideways there.

2 PROFESSOR GROSS: We compare blood pressure in both arms and from the arm to the leg
3 all the time and if there's a major difference we use it as evidence of there being
4 stenosis.

5 DR COULTHARD: No, absolutely not.

6 PROFESSOR GROSS: Even in the leg.

7 DR COULTHARD: It's so, in paediatrics ...

8 PROFESSOR GROSS: Blood pressure in the leg may be, let me just finish this one
9 sentence.

10 DR COULTHARD: Sorry, sorry, I beg your pardon.

11 PROFESSOR GROSS: The temperature in the leg, the arterial blood pressure in the leg may
12 be a tiny little bit higher than in the arm in a seated person but I don't think there can
13 be, there would be such a change as in venous tone from the arm to the leg, which
14 I'm sure at the ankle is two or three times as high as it is in the arm.

15 DR COULTHARD: With respect, as paediatricians we don't have the luxury of having
16 cooperative patients who sit with their left arm at the level of a table and in reality in
17 many children we measure blood pressure in the leg as a routine, it's more or less a
18 routine in kidney patients for a variety of reasons. And it is absolutely, I mean this is
19 just simple physics, but it is absolutely the case that if you measure the blood
20 pressure in the leg of a child you have to have the leg at the level of their heart, you
21 have to have them laying down or with their leg up. If you do it with them standing
22 up their blood pressure will be increased precisely by the height in centimetres below
23 the heart. I mean it is just a fact, try it on yourself. If you do your blood pressure on
24 your calf when you're standing up, which is tricky to do, you would scare yourself
25 because it's, it'll be 250. Honestly it's ...

26 PROFESSOR GROSS: So we'll find out about this, but to come, to not lose all our time.

27 MS ANYADIKE-DANES: Yes.

28 PROFESSOR GROSS: To come back to that, even if, if the aspect of the venous tone in
29 Adam's operative position, in the posterior part of his brain, not being elevated in a

1 relevant haemodynamic manner, I still want to point out that even the recorded
2 increase in his measured CVP from 17 to I think 21 and that compared to Adam's
3 mean arterial pressure, which initially was 69 or 70 and later went I think to 74, still
4 places him in the ballpark of there being a perfusion pressure around 50 where one
5 can consider whether the severe degree of anaemia, that in him was measured at 9.32
6 am, if that would not set him up for tissue hypoxia I could then not explain why it
7 should be more in the posterior parts of his brain as I maintain that I at least would
8 consider this a possibility.

9 MS ANYADIKE-DANES: Thank you very much indeed, professor.

10 DR COULTHARD: Yes, I'm sure you're right about the haemoglobin, yes, yes.

11 MS ANYADIKE-DANES: Okay. Does anybody else want to now start to draw the threads
12 together of their particular position on the significance of dilutional hyponatraemia,
13 if any, for Adam's ultimate demise?

14 DR HAYNES: It's my view that the primary insult in Adam was an excess of water given in
15 through his circulation, Simon Haynes speaking. I agree that there are several other
16 factors which may or may not have been present which would have compounded
17 insult to his brain. These include the potential for venous obstruction, it includes the
18 potential for exacerbation of injury by relative anaemia during the course of the
19 operation, be it dilutional or consequent on a mildly reduced haemoglobin level to
20 begin with, and my primary position at the end of all of this is that the main insult
21 was the excessive administration of a large quantity of free water which may or may
22 not have been compounded by other factors which we have discussed at length.

23 MS ANYADIKE-DANES: So that we're clear, because I'm sure we're going to get to it,
24 what is your position, if there hadn't been any of those factors at all, all there had
25 been was the administration of that type of fluid over that period at that volume,
26 what would have happened?

27 DR HAYNES: It may, one can never be completely precise about anything, but it is my
28 belief that there's a very significant chance that the same course of events might have
29 ensued.

1 MS ANYADIKE-DANES: And how do you, maybe it's just the other side of that particular
2 coin, but just because I'm sure that, I'm going to ask people about it, what do you
3 think that would mean if we're just talking about the fluid for his chances of being
4 retrieved?

5 DR HAYNES: His chances of being retrieved, because we cannot identify the particular
6 point at which the brain stem demised ...

7 MS ANYADIKE-DANES: Uh-huh?

8 DR HAYNES: It's hard to be certain about that.

9 MS ANYADIKE-DANES: Uh-huh?

10 DR HAYNES: Had events otherwise been conducted differently, had there been appropriate
11 examination of the serum electrolyte concentration and events might have panned
12 out differently.

13 MS ANYADIKE-DANES: Yes. But I asked you that, I think I asked you a slightly different
14 question. Which is if all you've got is that type of fluid over that period, at that
15 volume, what do you think the implications of that would have been for the ability to
16 retrieve Adam's condition?

17 DR HAYNES: I think it would be very unlikely he would have been retrieved.

18 MS ANYADIKE-DANES: Okay. Professor Gross, I'm sorry, I didn't ask you those points
19 and I'm sort of going round the room trying to get people to draw their thoughts
20 together. And the two things I'm really asking you, asking about is to be clear on it,
21 is:

22 1. If you're of the view that if none of those other factors that have been discussed
23 occurred, and all you had was the fluids, then what are the implications for Adam?
24 And secondly, if that's again all you have, just the fluids, what are the implications of
25 having been able to retrieve Adam's condition?

26 PROFESSOR GROSS: What is the meaning of retrieve?

27 MS ANYADIKE-DANES: Save him?

28 PROFESSOR GROSS: Again?

29 MS ANYADIKE-DANES: Save him, avoid his death?

1 PROFESSOR GROSS: Okay.

2 MS ANYADIKE-DANES: I mean I don't say what else might be his condition, but avoid his
3 demise?

4 PROFESSOR GROSS: As to your first question what would I say if none, I will just repeat
5 it to be sure ...

6 MS ANYADIKE-DANES: Yes, of course.

7 PROFESSOR GROSS: .. I answer you correctly. If there were no additional events to be
8 considered and there was only the fluid aspect, what would this mean to Adam?

9 MS ANYADIKE-DANES: Exactly.

10 PROFESSOR GROSS: Then I would say Adam's case is explained on the basis of available
11 literature and extrapolation to his specific situation by saying he had brain oedema to
12 a degree, maybe due to specific anatomical reasons and due to the fact that those
13 volume measurements applicable in others are not exactly applicable in him, and
14 maybe his reserve space was smaller than in other people, for whatever reason,
15 would be significant to cause the brain stem herniation in his case and cause demise.

16 MS ANYADIKE-DANES: Sorry, professor, just to be clear because maybe I didn't clarify
17 my position, if one looks to the oedema that Adam ultimately developed.

18 PROFESSOR GROSS: Oedema where?

19 MS ANYADIKE-DANES: If you look to the cerebral oedema.

20 PROFESSOR GROSS: Yes.

21 MS ANYADIKE-DANES: That Adam ultimately developed, the difficulty about doing that
22 is nobody is certain as to the extent to which any of that represented any of these
23 other factors which I have just asked you to exclude. So if one thinks just about the
24 administration of that type of fluid, at that rate, at that volume in a four year old child
25 of approximately 20 kilos, what do you think the effect of that would have been?

26 PROFESSOR GROSS: If none of the other ...

27 MS ANYADIKE-DANES: Yes.

28 PROFESSOR GROSS: .. factors applied?

29 MS ANYADIKE-DANES: Yes, so you can't really look at the CT scan and so forth because

1 you don't know to what extent the CT scan and all of that reflect other factors, so
2 excluding all of that and just concentrating only on the fluid itself, what do you think
3 the effect of that would have been?

4 PROFESSOR GROSS: I know that this fluid caused Adam to develop a significant degree
5 of hyponatraemia. Hyponatraemia is not a loss of salt from the body, it reflects
6 water accumulation in the body. The serum sodium dropped from 132 or 134 to 123,
7 that's an amount of about 7 to 7.6%. The brain would have responded to this like an
8 osmometer and it had two and a half to three hours of time to do that, ie, I mean to
9 say the brain would have taken up its 7% of this total body water increase and the
10 brain volume would have increased approximately by the 7% as well. And that
11 would have been sufficient to increase Adam's intracerebral pressure, that swelling.

12 MS ANYADIKE-DANES: Uh-huh.

13 PROFESSOR GROSS: To push his brain stem down or the cerebellum and the brain stem
14 down into the foramen magnum.

15 MS ANYADIKE-DANES: Okay. And secondly, well, I think actually you probably
16 answered that by your last, the last part of what you said. But just for completeness,
17 if you focus only on the fluids alone and all the other events that have been
18 postulated that might have happened didn't happen and all you had was that fluid
19 administration, then what would have been the implications for that of the ability to
20 prevent Adam from dying?

21 PROFESSOR GROSS: If this situation had been recognised when it was time, and I find it
22 difficult to say when this would have been, giving Adam mannitol to reduce the
23 amount of cell swelling could have improved his condition.

24 MS ANYADIKE-DANES: And when you say improved, do you mean it could have
25 avoided his death? Just for completeness, because people need to be clear about
26 what everybody's saying?

27 PROFESSOR GROSS: It could have improved his degree of brain swelling. I am cautious
28 about this because ...

29 MS ANYADIKE-DANES: I understand.

1 PROFESSOR GROSS: .. I'm, in saying this because I'm not quite sure about the time cause
2 of the mannitol bringing this effect about. It might take fifteen minutes or so to, for
3 the mannitol to draw a significant amount of water out of Adam's brain and
4 supposedly at some point in time shortly before 9.32 or after 9.32 am Adam was in
5 this critical situation of reaching a point where, as you may have seen in the diagram
6 that Professor Kirkham had in her report, where the intracerebral pressure suddenly
7 increases very steeply with a small addition of volume to it. In other words the
8 change from Adam's cerebral oedema being significant to Adam's cerebral oedema
9 being pernicious may have happened within a time frame of ten to fifteen minutes.
10 So whether the mannitol can be given early enough to just hit there or come in time
11 is difficult for me to say. But in principle if one had recognised Adam's fall off or
12 drop off in the sodium concentration earlier and if one had considered that this could
13 lead to significant brain oedema and had given the mannitol when his serum sodium
14 was 127 or 126 that probably would have diminished his brain oedema.

15 MS ANYADIKE-DANES: Thank you very much indeed. Dr Coulthard?

16 DR COULTHARD: Essentially you're asking two questions.

17 MS ANYADIKE-DANES: Yes.

18 DR COULTHARD: I think. One question you're asking is what do I think would happen if
19 you gave this volume of fluid to a normal boy of four weighing 20 kilogrammes. I
20 think is that, that's one issue, what is the effect of giving this fluid?

21 MS ANYADIKE-DANES: Well, yes. The precise question is ...

22 DR COULTHARD: Okay.

23 MS ANYADIKE-DANES: .. there has been a fair amount of discussion as to what the other
24 factors may or may not have been.

25 DR COULTHARD: Yes.

26 MS ANYADIKE-DANES: And if they were there, what are the implications of them.

27 DR COULTHARD: Okay.

28 MS ANYADIKE-DANES: I'm asking you to strip that out.

29 DR COULTHARD: Okay.

1 MS ANYADIKE-DANES: And focus just on the fluid ...

2 DR COULTHARD: Yes.

3 MS ANYADIKE-DANES: .. and express your view as to what you think the implications of
4 that would be?

5 DR COULTHARD: I think that Adam was not a normal boy, he had lots of factors that
6 people are teasing out and calling risk factors, however I would regard him as a
7 normal boy going for transplant. As a four year old boy having a transplant, him
8 having high up renal failure which is a precarious function and all the other factors
9 that we've talked about and the risk factors of anaemia and erythropoietin is normal,
10 not normal for healthy children but normal for children going to theatre like that. A
11 child like that with all those risk factors I would not expect to have died if his fluids
12 had been managed without this excessive volume. He came in with all the factors
13 that we hear about from everybody are all true, they're equally true for all the other
14 children of four that fall into his kind of category of renal failure and they don't die.
15 I don't think that a child of his, with all his risk factors added together, with all those
16 details, not given that excess of fluid, I don't think he would have died. The question
17 the other way round is a little bit like what would you, what would I expect to
18 happen if I took another four year old boy with all of Adam's risk factors and went
19 through a transplant but added to it this fluid thing, I think it would have killed him
20 and probably, there would be a very high chance it would kill him. I think that if you
21 were to give half a litre of fluid to a previously otherwise normal four year old of 20
22 kilogrammes, for example, a child who maybe had his appendix out, or something
23 like that, if you were to give him the fluids that Adam had you would absolutely,
24 definitely make him extremely ill, you would probably kill him. Therefore I think
25 that the, all the other factors that we've heard about, valid though they may be as
26 individual things, I think they don't add up to, even a proportion of the size of the
27 risk factor of the fluids. The second, the final thing is we're asking about timing,
28 none of us knows at what point, if we accept the argument that I'm putting that he got
29 brain swelling as a result of this, none of us knows exactly what the timing is. But

1 we do know that the osmolar fluid shifts are, and I use it in inverted commas
2 "instantaneous", they are instantaneous in the same way the redistribution of fluid
3 going into the plasma through to the rest of the body is instantaneous. The process
4 starts instantaneously, it will obviously take a finite amount of time but it will start
5 instantaneously. And looking at the data we have here, we know that between 7.00
6 and 8.00 am, during that hour, there was a massive dilution or increase in fluid water
7 which would lead to dilution, during that time his brain will have started swelling.
8 And over the next hour or so, whichever analysis you look at, that process will have
9 continued because the hyponatraemia or the increase in free water would have
10 carried on. So the question of at what point did it become irreversible, at what point
11 could you have counteracted this by giving treatments such as mannitol is, I don't
12 know the answer, but my conclusion is that it would have to be quite soon after 7.00
13 am, somewhere between 7.00 and 8 am. That's entirely a guess based on that
14 physiology.

15 MS ANYADIKE-DANES: Thank you very much. Professor Squier, do you want to
16 respond to this debate as to what you think is the significant factor?

17 DR SQUIER: I have ...

18 MS ANYADIKE-DANES: Or you may feel that you can't?

19 DR SQUIER: I can't make a comment but I'm very impressed by all I've heard this morning
20 but the comment I would make is that if we're dealing with a fluid overload and this
21 inevitable osmotic passage of water into the cells of the brain, described as being as
22 inevitable as gravity, then we have to wonder why it wasn't generalised and what the
23 other factors are that would have caused this predominant posterior distribution of
24 swelling.

25 MS ANYADIKE-DANES: I understand, thank you. Professor Kirkham?

26 PROFESSOR KIRKHAM: Thanks. I wrote a question down, so ...

27 MS ANYADIKE-DANES: Well before you get to that question, the general point that I'd
28 asked people to do is to draw together their thoughts based on the evidence that they
29 have, that they have available to them as to what role they felt that dilutional

1 hyponatraemia, if any, had in Adam's death. And then we moved on to, well if you
2 exclude all the other possibilities of things and just focused on the fluids what do you
3 think that alone would have done? So maybe if you started with a more general
4 thing to pull those threads together?

5 PROFESSOR KIRKHAM: So on the more general side there was clearly a lot of free water
6 there, that would not be current practice and was not a good thing. And water will
7 have gone into the astrocytes. However, I think the cases that are in the literature
8 have not been exactly the same as Adam's case and there are a number of anxieties I
9 have about simply saying that because there is a 7% increase in water and that will
10 have crossed into the astrocytes that necessarily caused Adam's death. I think that
11 there will have been astrocytic and therefore brain swelling, but I don't think that as
12 night follows day that will necessarily have caused Adam's death. I think that it's ...

13 MS ANYADIKE-DANES: Sorry, can you explain why so that we understand the way the
14 argument's going?

15 PROFESSOR KIRKHAM: Well, because there are compensatory mechanisms. I appreciate
16 that I said the water's pumping, of course it is the sodium potassium pump that's
17 pumping, but there are compensatory mechanisms that are actually excluding sodium
18 from the cells and water follows down that gradient and that is happening as water is
19 passing in. So you don't necessarily sit with a 7% increase in astrocytic volume
20 throughout the two and a half hour period as an active process. In addition when
21 there is too much water in the astrocytes other mechanisms come into play, extra
22 CSF shunts into the ventricles and then down to the CSF spaces and is reabsorbed in
23 the arachnoid granulations and so that the whole system is trying to deal with more
24 water than it's usually dealing with. Even in somebody who can't pass urine, even if
25 you assume that there is no urine, that is happening, the brain doesn't simply have
26 too much water and automatically there's a shift of brain tissue so that the, not only
27 does the cerebellum go through the foramen magnum but more, at an earlier stage if
28 it's generalised swelling, the temporal lobes go through the tent. So that you've got
29 two mechanisms of coning, cerebral herniation happens in two places.

1 MS ANYADIKE-DANES: But before you get to the coning, can I ask you to develop
2 something that you had started to talk about before on the last experts' meeting just
3 to see how this fits to what you're saying, how the brain responds and this is the
4 aquaporins. How does that relate to the mechanism that you're talking about now, or
5 the brain trying to conserve itself or preserve itself?

6 PROFESSOR KIRKHAM: Well, the aquaporins, I mean there is, the aquaporins are
7 actually where the water's going in in fact.

8 MS ANYADIKE-DANES: Yes.

9 PROFESSOR KIRKHAM: There is quite a wide variety of different aquaporins, but
10 aquaporin 4 is the important one.

11 MS ANYADIKE-DANES: Yes, that's the one I wanted to ...

12 PROFESSOR KIRKHAM: The important issue about the aquaporins is that they probably
13 are affected by hypoxia and other insults such as trauma and therefore more water
14 gets in in an additional, if there's an additional problem not only have you got the
15 sodium potassium pump not working quite as well but you've also got the aquaporins
16 probably affected by the same mechanism. And probably other channels, there are
17 quite a few channels by which solutes of all sorts are passing in and out of the brain
18 which will affect the amount of water in the astrocytes. This is a complex area but
19 just to take the two, the aquaporins and the sodium potassium in the pump, they will
20 both be affected by a degree of hypoxia which might not necessarily show as definite
21 brain damage on a post-mortem. They would be ...

22 MS ANYADIKE-DANES: I understand.

23 PROFESSOR KIRKHAM: .. potentially affected by a lower PO₂, a change even in gradient
24 of PO₂ at the cellular level, actual oxygen available to the cell could affect the water
25 coming in by those two mechanisms. There's data, there's animal data to suggest
26 that.

27 MS ANYADIKE-DANES: And the consequence of that in a case like Adam's might be?

28 PROFESSOR KIRKHAM: Well, the consequence of that is that if you get any degree of
29 being closer not to the reserve in terms of the pressure, the pressure volume effect,

1 but to the equally important thresholds for cellular compromise with reduced blood
2 flow or reduced oxygen availability those pores might well allow more water in
3 because the sodium is not being pumped out as well, because that's an active process
4 down which water would be extruded successfully if it was working. And the
5 aquaporins appear to be compromised as well so you've got more water coming in
6 through the aquaporins, so you've got a double whammy, if you like.

7 MS ANYADIKE-DANES: Yes.

8 PROFESSOR KIRKHAM: In a situation which might not kill the whole brain that minute,
9 it's not like a sort of birth asphyxia situation where you haven't got any blood or any
10 oxygen at all, it's a situation where you've got a degree, as Professor Gross is
11 discussing the perfusion pressure is borderline. I actually don't think the CVP was
12 that high, I tend to agree with Professor Coulthard and Dr Haynes that it's not as high
13 as was thought, but I do, do think that the, you know there's always a threshold and
14 it's probably different for different people and it's different by age, it may be
15 different in younger children that if you've had an insult, and I think that's one of the
16 issues that I do disagree with Dr Dyer, all that data on perfusion pressure is actually
17 for children who have had an insult. I actually worked with Chambers on one of the
18 papers on that and it's for children with head trauma and I have done a lot of, you
19 know, work on non traumatic coma, these data are all for children who have had an
20 insult of some sort, hypoxic, trauma, whatever. But all of these things are beginning
21 to up the stakes for having cerebral oedema getting into a vicious cycle whereby
22 things become much more critical. So you will have water in the brain if you drunk
23 too much and you'll be getting rid of it with urine and it will be being actively got rid
24 of. However, if you then have a, if you're close, too close to the threshold for
25 ischaemia or hypoxia you will have more water and if you are anaemic in addition
26 then you may well have even further reason to have a problem. I have to say that I
27 have unpublished data which I can't really use until I've got it peer reviewed but we
28 actually have data to suggest that the posterior circulation may be particularly
29 vulnerable, the flow may not go up quite as much. We did some studies in children,

1 however it's normal children who went up to base camp and they didn't put the blood
2 flow up posteriorly as much as they did anteriorly. So there may be physiological
3 reasons why if your oxygen delivery is critical why the posterior circulation might be
4 more compromised than the anterior circulation which in addition to what Waney's
5 saying about sympathetic nerves and so on which may well alter it. So there are
6 physiological reasons why you, in a situation where things are fragile, clearly you've
7 got a sick child who's already been somewhat anaemic, whose haemoglobin then
8 plummets, and I don't think it's just dilution, I think there's definitely some blood on
9 the towels, so there's been some blood loss, then actually you could get to a critical
10 threshold whereby the oedema would then start to become a vicious cycle because
11 water was going in much more quickly. So I do think that at that stage having more
12 free water than should have been there will make a difficult situation worse. So I
13 think it will have been a factor, once you have got an additional insult I think it will
14 have been a factor. And I would say that, very strongly, that I am not an advocate
15 for going back to the old days of giving everybody solution 18 or .18% dextrose
16 which is what I was using when I was a, you know junior houseman at all. What I'm
17 saying is that I don't think that the oedema caused by the increase in free water on its
18 own killed Adam Strain.

19 MS ANYADIKE-DANES: Okay. So that we understand the implications of that if therefore
20 these other factors hadn't been there and all you had was a dilutional hyponatraemia?

21 PROFESSOR KIRKHAM: Then I think he would have survived.

22 MS ANYADIKE-DANES: Well that's quite clear. Does anybody want to comment on
23 anything that anybody else has said at this stage? I think for the benefit of the
24 interested parties and those who are going to read and listen to this I think they
25 would welcome as much from you as possible so that they really can see where you
26 are converging or diverging. Sorry, Dr Haynes?

27 DR HAYNES: One more factor may be possibly relevant for completeness. Adam was
28 anaesthetised using halothane which would have been normal in 1995. Halothane
29 itself is associated with an increase in cerebral blood pressure and loss of cerebral

1 alter regulation.

2 PROFESSOR KIRKHAM: Blood flow?

3 DR HAYNES: Blood flow.

4 PROFESSOR KIRKHAM: Blood flow, yes.

5 MS ANYADIKE-DANES: What might, what effect - sorry, I beg your pardon, what effect
6 might that have had?

7 DR HAYNES: It would have been another compounding feature leading to the increase in
8 cerebral blood pressure. But on its own would have been completely insignificant
9 but it may be worthy of mention for completeness.

10 PROFESSOR KIRKHAM: Again it takes you close to the threshold because with the
11 anaemia and with the halothane you've already got quite a high cerebral blood flow
12 so you can't vasodilate when something else happens and my interest in this comes
13 from changes in CO₂, which you have already mentioned, which we know there
14 weren't, and from again some unpublished data I have on seizures where you may
15 not get an increase in blood flow during seizures if the perfusion pressure is critical,
16 if the blood flow is already quite high, you may not get the expected increase with
17 the seizure. Now we don't know whether Adam had seizures or not but he could
18 have done.

19 MS ANYADIKE-DANES: Can I just ask you about that. Do we not know because there
20 wasn't anything that was, would be able to have recorded whether it was or do we not
21 know because you just can't know that sort of thing when a child is being
22 anaesthetised?

23 DR HAYNES: Can I answer that?

24 MS ANYADIKE-DANES: Yes, of course, Dr Haynes.

25 DR HAYNES: Yes. Having seen children have seizures both with anaesthetic, without an
26 anaesthetic, and in relation to a wide variety of pathology in the course of my work,
27 if a child is anaesthetised you may have an inkling that seizure activity is occurring
28 by changes (inaudible) without variables such as typically slowing of the pulse and
29 increase in the blood pressure. But it's not uniform. If you then look at, well sorry,

1 the only way that a seizure could reliably have been detected in Adam during the
2 course of his, unless it was his transplant, was if some form of EEG monitoring be it
3 compressed, fairly crudely, even available on a research basis I think then, but
4 certainly wouldn't have been normal practice for an operation like this. I think that's
5 the only way you could reliably say that he did or ...

6 MS ANYADIKE-DANES: Does that mean, Dr Haynes, one can neither include or exclude
7 it, is that effectively what you're saying, for Adam that is?

8 DR HAYNES: For Adam I would speculate that at some point during his anaesthetic he had
9 a seizure.

10 MS ANYADIKE-DANES: Okay.

11 DR HAYNES: But there's no proof that he did or didn't.

12 MS ANYADIKE-DANES: Understood.

13 DR HAYNES: And I suspect that Professor Kirkham, you'd ...

14 PROFESSOR KIRKHAM: I would speculate that he probably did have a seizure actually
15 partly because many children with that posterior encephalopathy do seize and many
16 of the children with dilutional hyponatraemia have seized as well. And I think that
17 may well have been, you know, a further step towards ...

18 MS ANYADIKE-DANES: But is that an exacerbating factor that the seizure itself leads to
19 something else which exacerbates?

20 PROFESSOR KIRKHAM: The seizure might well have been in the context of already been
21 maximally vasodilated, therefore further ischaemia in addition it puts the blood
22 pressure, it puts the intracranial pressure up so it makes it even more likely to
23 herniate during a seizure, there's a good paper by Horwitz on that in meningitis from
24 1980.

25 MS ANYADIKE-DANES: I see you nodding, Dr Haynes, does that nodding mean you're
26 agreeing?

27 DR HAYNES: Yes.

28 MS ANYADIKE-DANES: Professor Gross, you can't see anybody nodding but are you
29 agreeing with that?

1 PROFESSOR GROSS: You just woke me up, I was just ...

2 DR HAYNES: You didn't have to admit to that.

3 PROFESSOR GROSS: Well too bad, I cannot.

4 DR HAYNES: You're asking for sort of sign of (inaudible) ...

5 MS ANYADIKE-DANES: Yes.

6 DR COULTHARD: I have spoken about how I as a paediatric nephrologist would look at
7 the child at the child as a transplant and I would respond to that and expect what I
8 would expect, how I would expect them to survive. The other aspect, one other
9 aspect of their work is that we are particularly interested in salt and water in general.
10 And we get many enquiries about children who have salt and water abnormalities
11 that are nothing to do with children or kidney failure or any of these specifics, we
12 have already talked for example about children of high salt whose breastfeeding has
13 gone wrong.

14 MS ANYADIKE-DANES: Uh-huh.

15 DR COULTHARD: There are many, many situations which carry all sorts of different risk
16 factors than his in which children drop their plasma sodium, it's usually iatrogenic,
17 it's usually to do with too much fluid being in fused at the wrong strength under
18 certain particular conditions. If I were phoned up about a child whose plasma
19 sodium had dropped to the extent that his had over the time that it had, regardless of
20 any of the risk factors here, just to put this in perspective, my comment to the
21 paediatrician who would be phoning me would be: You realise that this child is at
22 serious risk of developing cerebral oedema, what you must do now is, and then there
23 would be, depending on the specifics, a series of manoeuvres as to how you would
24 reverse that whilst getting into the child into an ambulance and over to us. Okay.
25 The whole, this level of dropping sodium this fast outside of all these contexts and
26 all these specific risk factors is in my view a massively high risk for cerebral
27 oedema, a fairly fortunately less common now, but an example of that, for example
28 is in the hydration of children who present with diabetic, with out of control diabetes.
29 A number of those in the past, and less now fortunately, have died of cerebral

1 oedema and it's all to do with fluid, which fluid you give at what rate, and so forth.
2 And the bottom line, all of it is to do with how quickly their sodiums fall.

3 MS ANYADIKE-DANES: Yes, I was just going to that. I mean when we sort of cut
4 through all of this for you is the main event I think, I think that's an expression that
5 both Professor Gross and Dr Haynes use, is the main event the rapid and large fall in
6 his serum sodium level?

7 DR COULTHARD: That's absolutely ...

8 MS ANYADIKE-DANES: So irrespective of why it happened ...

9 PROFESSOR COULTHARD: That's the point I was trying to make. Where that is a
10 common factor it is a common factor in children from tiny pre-term babies, where it's
11 actually quite common because people, because it's more difficult for doctors to keep
12 up with precise fluid balances often to, say, teenagers coming in with diabetes that's
13 completely out of control and a whole range of other things where there is a
14 commonality that the plasma sodium falls at the rate that it was seen here, that to me
15 gives an immediate very loud alarm bell that this will carry a very high risk of
16 damage to the brain, if not death, from cerebral oedema. That would be my first
17 statement to a paediatrician phoning me up, regardless of any of these specifics and
18 your immediate reaction would be if you were phoned to say I've checked it on a
19 neo-patient test and it came out that, first of all assume it's right and give some
20 emergency treatment, number 2, get a correct value done, number 3, call an
21 ambulance to get them to us. That's how it would be dealt with, that's the level of
22 concern.

23 MS ANYADIKE-DANES: Okay.

24 DR COULTHARD: And all their risk factors really, to me they're all interesting in their own
25 way how they may or may not have contributed, exacerbated, slowed, sped up or
26 whatever. At the bottom line are irrelevant because of having seen so many children
27 where the sodium is falling for a whole variety of reasons where the risk factors are
28 there often very different.

29 MS ANYADIKE-DANES: Yes, can I then just, because I'm going to put that to Professor

1 Kirkham to see what her main event is because we sort of heard what everybody
2 else's main event is. But just so that we sort of close a circle on that. If what you're
3 saying is that the most important thing is a fall in a serum sodium level of that extent
4 that quickly, if that's what it is ...

5 DR COULTHARD: Yes.

6 MS ANYADIKE-DANES: Is there anything else other than the administration of the kind of
7 fluids he was given that could precipitate such a fall? Or is that all there is?

8 DR COULTHARD: The things that precipitate that fall are very simply a balance of what
9 goes in and what comes out. So for example ...

10 MS ANYADIKE-DANES: So it might be things that affect the rate at which things go in or
11 the rate at which they go out. I'm not saying they do but I'm just getting you to
12 clarify that?

13 DR COULTHARD: Yes, but what I'm saying is that at the bottom line the factors that come
14 into it are simply factors that I've used in these calculations here. A child might, for
15 example, for some complicated reason be fixed at producing a concentrated urine
16 and be given normal amounts of fluid but because he can't, he or she can't get rid of
17 the excess free water they accumulate it that way. You might have a child that, a
18 very common scenario is with tiny pre-term babies where because their fluid
19 turnover proportionately is much higher than in smaller - in bigger children or adults,
20 umpteen times higher, people just get out of step with their calculations, the numbers
21 are so tiny and you have to be so precise. And when you actually look at those it's
22 nearly always in that situation that somebody's just given that little bit too much free
23 water intravenously by, you know, in error.

24 MS ANYADIKE-DANES: No, I understand the point of view with the administration of
25 water, that's actually what I'm trying to get at.

26 DR COULTHARD: Yes.

27 MS ANYADIKE-DANES: Because although you say these other factors may be irrelevant
28 and what's actually irrelevant is the rate or fall of the serum sodium, if one's involved
29 in lessons learned and all of you are part of trying to assist with the lessons learned

1 argument ...

2 DR COULTHARD: Yes.

3 MS ANYADIKE-DANES: .. then it becomes actually quite relevant how you get yourself

4 into a situation where you have a rate of fall of that magnitude ...

5 DR COULTHARD: Sure.

6 MS ANYADIKE-DANES: .. of serum sodium. So what my question to you is what is, are

7 there any other factors so far as you're concerned that could even in principle have

8 led to that kind of fall in serum sodium level or are you solely confined to the rate of

9 administration of that type of fluid?

10 DR COULTHARD: You're solely confined to the balance of the administration of the fluid

11 you give versus the concentration on volume of the fluids that are being lost.

12 MS ANYADIKE-DANES: So there is nothing ...

13 DR COULTHARD: It's absolutely a balance, that's it.

14 MS ANYADIKE-DANES: There is nothing in the make up of the recipient of that ...

15 DR COULTHARD: No, nothing.

16 MS ANYADIKE-DANES: .. that could affect it. So that response would be precisely the

17 same ...

18 DR COULTHARD: Yes.

19 MS ANYADIKE-DANES: If you did it to this child, that child, or some other child?

20 DR COULTHARD: Yes.

21 MS ANYADIKE-DANES: Okay.

22 DR COULTHARD: Okay. And I mean there are so many ways that ...

23 MS ANYADIKE-DANES: No, no, I'm just trying to get that out there so it's clear.

24 DR COULTHARD: There are so many ways of getting to that ...

25 MS ANYADIKE-DANES: Yes.

26 DR COULTHARD: You know, whether it's a child unable to produce urine or a child

27 suddenly producing large volumes of urine and what have you and that being as

28 much, there's so many ways of getting to it and they all, whichever way you get to it,

29 if you drop your sodium quickly it has the same, the same danger.

1 MS ANYADIKE-DANES: So those factors don't affect the rate at which the sodium would
2 drop?

3 DR COULTHARD: The rate at which the sodium drops?

4 MS ANYADIKE-DANES: Yes.

5 PROFESSOR COULTHARD: You have to ...

6 MS ANYADIKE-DANES: I'm just trying to be, be actually clear about it because at one
7 stage it seemed that you were suggesting that it would be precisely the same
8 response to whichever child you administer that kind of fluid ...

9 DR COULTHARD: No, no, no, no sorry. I see where you're coming from, I will clarify
10 that.

11 MS ANYADIKE-DANES: Yes.

12 DR COULTHARD: The reason I said that about if you gave that to a normal child is
13 because the rate of administration of that volume of fluid with no salt in that, that
14 volume of excess is so ...

15 MS ANYADIKE-DANES: Okay.

16 DR COULTHARD: .. high that it would exceed the capacity of any normal individual to
17 cope with it. That particular, at giving half a litre of water to a 20 kilogramme child
18 is so extreme that it would, it would overwhelm the ability of a normal child to cope.

19 MS ANYADIKE-DANES: So then might the individual ...

20 DR COULTHARD: Obviously giving them 200 ml's of water ...

21 MS ANYADIKE-DANES: Okay.

22 DR COULTHARD: 500 ml's of water over a day ...

23 MS ANYADIKE-DANES: Okay.

24 DR COULTHARD: .. is a whole different thing.

25 MS ANYADIKE-DANES: So in other words there might be individual characteristics of
26 children that would affect their responses but they would be completely subsumed by
27 the actual amount ...

28 DR COULTHARD: But those would, but those would influence how quickly the sodium
29 changed.

1 MS ANYADIKE-DANES: Yes.

2 DR COULTHARD: What I'm saying is if you, you know if you give a child with a high
3 urine output, a massively high urine output, urine 500mls of urine, of fluid in an
4 hour, it might perfectly balance their output and then you'd keep them absolutely
5 normal. If you give it to a child whose got no urine output, what matters the end
6 result of all these things it's a simple, you have to think of the body as a simple
7 container with a tap at the bottom with water and salt coming, of water coming out
8 there, salt coming out here and you put stuff in the top. And if you do that in all
9 sorts of combinations you can achieve, in a whole variety of conditions, you can
10 achieve a rate of fall of sodium which is the same in a variety of different situations.
11 And it's the rate of the fall of sodium, if you achieve that rate of fall of sodium by
12 any mechanism you will affect the brain in the same way. So if you cause that rate
13 of fall of sodium by massively overwhelming a normal child with huge volumes of
14 water, which this would have done ...

15 MS ANYADIKE-DANES: Okay.

16 DR COULTHARD: .. that would do it, if you do it by, you know, giving a child a huge dose
17 of AVP which is ADH, if you like, so that they can't produce urine and give them
18 water it would do it at a smaller volume. But the bottom line is whatever those
19 balances you condone, it's something that you can, you can simulate in the
20 laboratory. How you do it, if you get the rate of fall to be more than 3 millimoles per
21 hour, approximately, very crude but approximately, there is much more than 3
22 millimoles per hour, you will make the child ill. If it's much less than that, you won't
23 make the child ill, I'm not saying there's a precise threshold at 3, I'm just saying and
24 ...

25 MS ANYADIKE-DANES: I understand.

26 PROFESSOR COULTHARD: .. and however you get to those things. So if I get a phone
27 call about the child, if someone says to me: 'I've got a kid here whose sodium was
28 this and now it's moved to that within this period of time', I need to know the clinical
29 background in order to advise them on how to manage it because there will be

1 different ways that that can have occurred.

2 MS ANYADIKE-DANES: But you know it's bad?

3 DR COULTHARD: But the answer is that will cause cerebral oedema and you've got to (a)
4 reverse it and (b) think how you reverse it depending on what particular mechanism
5 led to it in that child.

6 MS ANYADIKE-DANES: Right, well thank you, that helped. Because I thought at one
7 point you were saying that there weren't particular mechanisms, but there are, but
8 you still say no matter what those mechanisms were the important fact is that you
9 have that rate of fall. That's a point, I'll come back to you, Dr Haynes, but that's a
10 point I want to put to Dr Kirkham, Professor Kirkham just to see to what extent that
11 you accept that Professor Kirkham and if you don't or you do I think it would be
12 helpful if you expressed your view on what the main event was, if I put it that way.
13 So can we start with whether you think that the significant factor or a significant
14 factor was that rate of fall in the serum sodium level?

15 PROFESSOR KIRKHAM: Well can I just ask Dr Coulthard where the references for the 3
16 millimoles an hour, please?

17 DR COULTHARD: If you were to Google hyponatraemia dehydration in neonates so I'm, if
18 you Google my name and that you'll get a paper on it and the references in that will, I
19 mean it's a widely used figure and it's not, as I said it's not based on the fact that
20 somebody's collecting a series of children and done it at different rates and see which
21 ones died, it's kind of a child comes in and dies and their rate of fall was back
22 calculated to be this or that. And basically that's where it comes from, it's very
23 crude.

24 PROFESSOR KIRKHAM: And it's, the data is mainly from neonates?

25 DR COULTHARD: Well that particular lot is, but there's also data on, that data on what's
26 happened to children with diabetic coma which, there's a substantial death rate from
27 cerebral oedema following treatment, diabetic coma.

28 PROFESSOR KIRKHAM: I know the literature on diabetic coma reasonably well because
29 I've cited it but in fact that may also be quite complicated.

1 DR COULTHARD: Well it is, they're all complicated but what, my point is that if you
2 abstract from all these highly complicated things there comes a common element
3 through all of them, which is a rate of fall of sodium.

4 MS ANYADIKE-DANES: That's the point I wanted you to address. Do you accept that
5 that has the kind of effect Dr Coulthard is saying?

6 PROFESSOR KIRKHAM: Well I certainly accept that you get brain swelling, what I'm not,
7 I mean the diabetic coma literature is really very controversial, that's one I'm much
8 more familiar with and there have been regimes to try and avoid death in the diabetic
9 coma which have been difficult to show that it has avoided death, partly because
10 death isn't very common in that condition. But in fact there again you can have, and
11 this case was actually published from Oxford, you can actually have venous sinus
12 thrombosis superimposed in diabetic coma as the cause of raised intracranial
13 pressure, so all of these issues are really quite complicated. But I'll certainly go back
14 and look at those papers. I have read a couple of yours and I'll go back and look at
15 the diabetic ones again.

16 MS ANYADIKE-DANES: So to the main event?

17 PROFESSOR KIRKHAM: The main event. I agree that you will get water in the brain and
18 it will therefore be more swollen than it would normally. However, I think the main
19 event, that actually led to Adam's death was his blood flow and/or his cerebral
20 oxygen delivery going below critical threshold which then led to more water going
21 in, along what Arieff and Ayas have said recently, that the degree of hypoxia makes
22 things worse, in a vicious cycle with the potential for seizures in addition and again a
23 worsening vicious cycle where the blood flow is already increased because of the
24 anaemia and the halothane, therefore cannot increase any more and therefore you get
25 a spiralling out of control situation. And of course having too much free water on
26 board will make that worse because there's already a degree of (inaudible) there ...

27 MS ANYADIKE-DANES: I mean he couldn't have been in the position for that to have the
28 effect if there hadn't been all that free water? That's essentially ...

29 PROFESSOR KIRKHAM: Well of course you can, I mean we still see children dying in

1 these conditions ...

2 MS ANYADIKE-DANES: No, no, in Adam do you think ...

3 PROFESSOR KIRKHAM: Without, you know, even though they're given isotonic salines to
4 ...

5 MS ANYADIKE-DANES: No that's what, sorry, that was actually a question to clarify,
6 were you saying, so I'm trying to, so that people are clear on what the
7 interrelationship of these factors are is what you were ending up saying is that the
8 main event was the fact that his brain permitted that amount of water to enter the
9 cells and that was because of certain other factors?

10 PROFESSOR KIRKHAM: Yes.

11 MS ANYADIKE-DANES: But none of that would have happened had there not been so
12 much water about to enter the cells?

13 PROFESSOR KIRKHAM: That is much more difficult to answer whether that would have
14 happened if there hadn't been so much free water about. There would have been a
15 degree of brain swelling, which I personally think would not have led to Adam's
16 death on its own.

17 MS ANYADIKE-DANES: Okay.

18 PROFESSOR KIRKHAM: There was a drop in the haemoglobin and therefore I think a
19 drop in the cerebral oxygen to a degree and there were risk ...

20 MS ANYADIKE-DANES: You need to keep your voice up a little, sorry.

21 PROFESSOR KIRKHAM: And there were risk factors for the blood flow to be unable to
22 increase in line with metabolic demand. So the latter can lead to ischaemia, the
23 former can lead cellular hypoxia. Once you've got cellular hypoxia and ischaemia in
24 a situation then there are a number of secondary factors come into play, including
25 increasing cerebral oedema and further enzyme changes and up regulation of
26 different genetic products. So you know once you've got hypoxia or oedema then a
27 lot of things happen, that's why people who climb up mountains too quickly die up
28 the mountain.

29 MS ANYADIKE-DANES: Well I wonder if I could ask you the question the reverse way to

1 I put to Professor Gross and Dr Haynes, which is: If you hadn't had that amount of
2 free water but you had the other factors that are being discussed what were the
3 implications of that then?

4 PROFESSOR KIRKHAM: Well I would say that you, that then with the oedema there and
5 the likelihood that the pressure was closer to the critical pressure volume curve
6 where it starts to go up, then there would have been more reserve and therefore the
7 threshold for a drop in oxygen or oxygenation or in blood flow, you'd had a bit more
8 room, a bit more wriggle room for something like the acute anaemia to have, perhaps
9 you might have got away with it. And we do see a lot of children who are very sick
10 and get away with it.

11 MS ANYADIKE-DANES: Yes, I see. So then the reason that that didn't happen with Adam
12 was because of?

13 PROFESSOR KIRKHAM: Multiple factors.

14 MS ANYADIKE-DANES: And does the dilutional hyponatraemia play a part in those
15 multiple factors?

16 PROFESSOR KIRKHAM: Yes, I think the fact that the brain will have been somewhat
17 swollen because of the, I wouldn't necessarily call it dilutional hyponatraemia, I
18 would say that the critical problem is that there is a lot of free water and therefore the
19 brain cells are having to deal with their, deal with that.

20 MS ANYADIKE-DANES: Okay.

21 PROFESSOR KIRKHAM: .. in their usual way. And when the brain is normal they're
22 dealing with it as best they can and I personally don't think that the brain would have
23 swollen so much that the herniation would have occurred if the brain had remained
24 normal. I think there must have been an additional problem and once the additional
25 problem happened the fact that there was hypotonic fluids were being used was then
26 a significant problem.

27 MS ANYADIKE-DANES: And just because we haven't really mentioned, and well you
28 haven't mentioned them so much today, when you said multiple factors to what
29 extent are you including the matters that you discussed last time to do with CBT

1 central cerebral venous thrombosis and PRES, are they part still of what you think,
2 consider might have been the multiple factors or?

3 PROFESSOR KIRKHAM: I certainly think that being able to shunt blood down through the
4 venous plexus is as important, Dr Squier says that there is no evidence of venous
5 thrombosis, which I accept, although our data have shown that it can, you can
6 recanalize and so that might have been a factor that was there at the time.

7 MS ANYADIKE-DANES: So what does that mean, sorry?

8 PROFESSOR KIRKHAM: That means the veins can be blocked for half a day and then
9 unblocked spontaneously, so, but I accept that we don't have any evidence of venous
10 thrombosis.

11 MS ANYADIKE-DANES: And what do you accept the implications of that are, whether it's
12 there, not there, or simply we don't have any evidence of it?

13 PROFESSOR KIRKHAM: We don't have any evidence but being unable to compensate by
14 shunting blood into the paravertebral plexus, into the jugular veins, means that
15 you've got even, just that little, everything is on a knife edge, you have got a lot of
16 compensatory factors which mean that we can walk and talk and get around all the
17 time and these are all close to the edge of what is compatible with normal brain
18 function and you can have a window, actually a sort of couple of parallel lines by,
19 under which you can have compromise of the, there is a threshold at which the
20 cerebral blood flow or the cerebral oxygen delivery will be compromised but not
21 irreversibly. And but when you've got a lot of risk factors which are all on the knife
22 edge and they all come together and you can't shunt blood down and you can't, and
23 maybe the cerebellar tonsils go into the foramen magnum and you can't shunt CSF
24 down the spinal cord any more and you have a seizure and you can't put your blood
25 flow up because you've anaemic and you've already got high blood flow and you're
26 on halothane, then all of those things you have reached the edge and then when you
27 reach the edge and you go over the cliff you get irreversible damage very quickly.
28 Having been at a threshold which would have been reversible for quite a long time,
29 then you plummet over the edge and then it becomes irreversible.

1 MS ANYADIKE-DANES: I understand. Dr Coulthard?

2 DR COULTHARD: I follow lots of your points and the complexities of it are very
3 interesting but where you started your response from was that your initial course was
4 to reduce blood flow, I don't know where that, what the cause of that, what you're
5 speculating the cause of that was?

6 PROFESSOR KIRKHAM: I'm saying this a mixture of either reduced, it's probably a
7 combination, the key problem I think is reduced cerebral oxygen delivery.

8 DR COULTHARD: Yes, no I mean that's kind of ...

9 PROFESSOR KIRKHAM: Not necessarily blood flow.

10 DR COULTHARD: .. further down the line but ...

11 PROFESSOR KIRKHAM: Yes.

12 DR COULTHARD: .. what I was not sure was why Adam would have had any of those
13 problems. What were the features that made him, as opposed to an ill child like him
14 with kidney failure going for transplantation, not have adequate blood flow to his
15 brain? Because that was your starting point that he had inadequate blood flow and
16 then that led to this, all of which I accept are true, but I didn't understand how the,
17 what your first, your initiating point was?

18 PROFESSOR KIRKHAM: Well there are a number of possible reasons, he's anaemic so his
19 blood flow is actually relatively high but he has less ability because there's a
20 maximum cerebral blood flow to which you can dilate. So if, for example and I,
21 there's a very good paper on this in sickle cell disease but it also applies to a general
22 anaemia, if you give somebody with anaemia carbon dioxide they do not vasodilate
23 their cerebral circulation as much as somebody with normal haemoglobin ...

24 DR COULTHARD: You know I appreciate all those factors but the point is that what you
25 are describing describes what your, where your starting point is is where we start off
26 with every single four year old child, not every single, but the majority of four year
27 old boys that have a kidney transplant. That's how they start off, those risk factors
28 that you're talking about, they all have them and none of them die on the table. I
29 mean I have had one kid die on the table, you know, in a paediatric lifetime which

1 was due to a recognised cause of high blood pressure, a mistake. And here we have
2 got another child with the same risk factors as, you know, I can name, I can give you
3 ten names off the top of my head of boys who were transplanted would look exactly
4 like Adam, and they all do fine. So what I was wondering is where you think it is
5 that's different about Adam that caused this whole chain of events which I agree, you
6 know, a chain of events can lead to exacerbation factors and it can all go off the cliff.
7 But where do you start, what was it that's different about him from any other child,
8 that's what I can't understand?

9 PROFESSOR KIRKHAM: Do your other patients go down to haemoglobin of 6 in the
10 middle of the transplant?

11 DR COULTHARD: We used to transplant them at 6.

12 PROFESSOR KIRKHAM: Yes, but that's different. That's different.

13 DR COULTHARD: Well yes, it is, I mean they do. But you know kidney, yes. Yes, they
14 do. I mean that's kind of, you know, kidney transplantation in children they're all
15 going theatre having had umpteen central lines, they all go to theatre on a (inaudible)
16 these days or anaemic in the past, they all lose blood, the surgeons tell you they lose
17 four drops of blood, yeah right. You know they all lose blood, some of them lose a
18 lot of blood, some of them don't lose a lot of blood, some you, you give them their
19 entire blood volume during a transplant operation, some you don't actually have to
20 transfuse. They all, all those factors that you're describing are, I mean that is, you
21 know, I mean I could just give you a list of names and that wouldn't mean anything
22 to you but they're, you know, for example you know. I mean they just all have that
23 and so we don't expect them to die, in fact they don't die on the table. So I'm, what
24 I'm trying to ask, what I'm trying to get at is what was the initiating factor in him
25 that's different from them which caused this fall in cerebral blood flow which led to
26 all the other complications? That's what I don't understand?

27 PROFESSOR KIRKHAM: Well, there aren't very many audits of children who did die post
28 transplant, but the one case that I've looked at, well they're not, they don't do detail
29 about cerebral problems but the one case that I've looked at in detail is the cancer

1 case from Great Ormond Street, that child had had previous meningitis and I think
2 that, you know, problems with venous circulation are likely to have been to have
3 been the problem there.

4 DR COULTHARD: Yes, what I mean is that there are audits of children like Adam and they
5 don't transplant and they live. The audit is that, all the children, if you go to the
6 European or any series, UK's series, they're all audited constantly as part of their
7 organisation of children that undergo transplants. Always, the vast majority of boys
8 that have transplants, more boys than girls are transplanted, so he's kind of typical,
9 mainly because they've got dysplastic kidneys for valves or not valves, so he's
10 actually your absolute, he's not an extreme in any way, he's totally down the middle
11 of the line for a child of four who has a transplant. That's kind of what they look
12 like. If you want to describe your average kid of four who has a transplant you'd
13 describe Adam, okay. But the only child that I personally have seen die in theatre
14 was a child where an anaesthetist had already said, allowed his blood pressure to go
15 to astronomic levels because he didn't understand that, but we have dealt with that
16 and we've got a policy change as a result of that. UK wide I mean I can get, the
17 figures are all on here and we're all members of the UK, you know, Renal
18 Association, the children don't die. They all go, they're all on earth at a point, all
19 very anaemic, they've all got either no urine output, which is tricky, or typically, like
20 Adam, typically they've got, start with a very high urine output which (inaudible)
21 failure and it's kind of middle of the road, as his was 16, isn't it, by the time you get
22 there they're all unable to regulate the uterine sodiums, they're all of them will switch
23 their kidneys off at the drop of a hat if you just put them under an anaesthetic which
24 is why you have to catheterise them and monitor them, how much urine is coming
25 out. They've all been anaemic, they've all got all those risk factors, what I'm trying to
26 find out is what you think is different about Adam from, the point I'm making, you
27 know, this is every day stuff. There are lots and lots and lots of these children,
28 what's different about him? That's what I'm trying to establish. Why did we start off
29 with a low, your argument was he starts off with a low cerebral blood flow. I don't

1 understand why you say that?

2 PROFESSOR KIRKHAM: I didn't say he started off with a low cerebral blood flow. I said,
3 if anything, he started with a high cerebral blood flow because he's anaemic and
4 then, but he's at risk.

5 DR COULTHARD: Okay. But why do you think his blood flow to his brain is different
6 from any other child with transplant, that's what I want ...

7 PROFESSOR KIRKHAM: It may not have been, I mean I haven't reviewed a large series of
8 children undergoing transplant intraoperatively. You know I accept that the vast
9 majority don't die a cerebral death. The one that I reviewed that did die a cerebral
10 death postoperatively had had meningitis previously and I think the venous problems
11 may well have been a problem there. And I think I'd have to look at all the cases and
12 obviously if there are other cases who have died, particularly if there's a cerebral
13 death, those would be very interesting to look at. I don't think there's a large series ...

14 DR COULTHARD: What I'm inviting you to do is not to look at the children who have
15 died, but to look at the children that haven't died.

16 MS ANYADIKE-DANES: Well, the difficulty is you can't actually look at those, their
17 brains, Dr Coulthard, that's the problem.

18 DR COULTHARD: No, but to look at their risk factors and their response to anaesthetics
19 and the way they're treated and all the other issues that we're looking at, how
20 anaemic they were, all the risk factors that have been raised are actually, although
21 they're theoretical individual risk factors and they compound and all the rest of it, my
22 point is that that is not outside the range that you would expect to see in a typical
23 four year old boy having a transplant. And yet, while I'm not inviting you to look at
24 how he compares to other kids that died, I'm not inviting you to - but look at the
25 other hundred children, boys that I have personally been are involved in
26 transplanting and tell me why they didn't die when they shared, none of the risk
27 factors that you've raised for him is different or special to him over and above the
28 other hundred boys that I have been involved in transplanting that didn't die. And
29 that's where I'm trying to ask you to, I mean I can see a big difference because we've

1 never given any of them a fluid regime like he had, but other than that what are the
2 differences that you're proposing that make him stand out, that's my difficulty.

3 PROFESSOR KIRKHAM: Can I just ask you how many of the children you have
4 transplanted who have had seizures postoperatively?

5 DR COULTHARD: A few do a few days post-op to do with (inaudible).

6 MS ANYADIKE-DANES: Sorry Dr Coulthard, could you keep your voice up?

7 PROFESSOR COULTHARD: Sorry, sorry. If you have seizures in the days following a
8 transplant because of a, it may need to do with blood pressure but as we talked
9 before with an increased sensitivity to that in children, some children on calcineurin
10 inhibitors but not, in terms of perioperatively actually during, during transplant, after
11 transplant, there aren't explained by high blood pressure none that I can remember.
12 I'm not saying there aren't any, I would have to go back to, but I can't remember that
13 ever happening in, you know I have seen roughly 250. So none.

14 MS ANYADIKE-DANES: Well I think the, I don't know, maybe you can help us with this.
15 You're being asked to explain why Adam, who shared features in terms of his make
16 up and condition with any number of other boys of his age undergoing renal
17 transplant, why you feel he responded in the way that he did and therefore what are
18 the things that differentiate him from these others when to all intents and purposes
19 they appear to be the same. I think that's what Dr Coulthard is trying to understand
20 and get help therefore in understanding your hypothesis about Adam?

21 DR COULTHARD: Yes, exactly.

22 MS ANYADIKE-DANES: I don't know if you can help us with that, you may not be able to
23 help us right now but I think he would like some help with that and it might help him
24 see the extent to which you he agrees or accepts parts of your argument.

25 PROFESSOR KIRKHAM: Well, I think beyond saying again that, you know I think there
26 were just a number of issues where the reserve was just too close to the bone, too
27 close to the limit, that that would be my main argument. And I am, I would
28 emphasise again that I'm not advocating hypotonic fluids in this situation, but what
29 I'm saying is that I think that Adam would have got away with this if he had had a

1 normal brain throughout, I think there's another factor and I think that factor was
2 mainly affecting posterior fossa. And I think that it probably has some overlap with
3 what, with the PRES type scenario which is difficult to know very much about
4 because there are very few autopsy studies but I think that that has definitely been
5 described in children and is not necessarily related to hypertension, it often is, but I
6 do think that he had risk factors for that.

7 MS ANYADIKE-DANES: Okay, well maybe ...

8 PROFESSOR KIRKHAM: And then he may just have had a very unlucky venous
9 circulation.

10 MS ANYADIKE-DANES: Well maybe I could put to the question to you in a slightly
11 different way which is: What would you need to know about the children that Dr
12 Coulthard is talking about to be able to explain why there is any difference in the
13 response that happened with Adam's experience, apart from the fact of course that
14 Adam received the fluid administration that he had? What otherwise would you need
15 to know about those children to be able to explain a difference that would not hinge
16 on the amount and type and rate of fluid that was received? What would you need
17 to know about them?

18 PROFESSOR KIRKHAM: Well I'd certainly want to know full blood count, I'd want to
19 know developmental progress pre, I'd want to know whether they had seizures
20 postoperatively because some series have actually have had quite a high rate of
21 seizures post transplant and there's quite a variation between centres, it sounds as
22 though Newcastle has had excellent results but some centres have more. I'd want to
23 know family history of seizures, I'd want to know family history of migraine because
24 that can be a risk factor for ...

25 MS ANYADIKE-DANES: I suppose what we're trying to tease out is what might be the
26 essential differences between Adam and these other children, and by you reciting
27 that list you're talking about what might be the differentiating factors. But I think
28 that's what Dr Coulthard is looking for, he's trying to see what the explanation is for
29 the different response in the children that enables you to maintain the hypothesis that

1 you have that the administration of that fluid wasn't actually the main event. That's
2 what he's trying to get at.

3 PROFESSOR KIRKHAM: Yes, I understand that. And I have just said some of the things
4 that I think would be helpful to look at that. I have never looked at a large series of
5 children undergoing renal transplant and ...

6 MS ANYADIKE-DANES: Okay. Right, Dr Haynes?

7 DR HAYNES: The one question which I think is worthy of discussion here, which may
8 arise subsequently.

9 MS ANYADIKE-DANES: Sorry, Professor Gross, do you feel free to cough at any stage.

10 PROFESSOR GROSS: No, I'm just listening in.

11 DR HAYNES: It's really only come to light because of this nice (inaudible). What comes to
12 mind is the tabulation of serum sodium results and if we look at the day Adam
13 underwent the transplant there's two results, there's 123 taken from the point of care
14 testing followed by 119 when he reached the Intensive Care Unit. The following
15 day, and I'm really raising this because I think someone, perhaps out of this room
16 perhaps will raise it at some point, on the 28th there are four, sorry there are three
17 results 122, 121 and 123.

18 MS ANYADIKE-DANES: 25, I think.

19 DR HAYNES: Sorry 3 or 5, I'm not sure.

20 MS ANYADIKE-DANES: 125.

21 DR HAYNES: And I'm just a little concerned that someone may say right, he was diagnosed
22 as brain stem dead according to the UK recommendations which (inaudible) and the
23 recommendations are that there has to be a pre-existing diagnosis or illness which
24 has been recognised, which I think there was, and the second part is there have to be
25 exclusions of compounding factors. And I wonder if someone might just raise an
26 issue and say well, he was still hyponatraemic at the point he was declared brain
27 stem dead.

28 MS ANYADIKE-DANES: And what would that mean?

29 DR HAYNES: It would mean that there might be a potentially vigorous discussion about

1 was he actually brain stem dead. I personally am sure that he was, but are we all in
2 agreement or not in agreement that the recommendations for diagnosing brain stem
3 death were absolutely, were followed. And I thought it better we discuss this now
4 than ...

5 MS ANYADIKE-DANES: Right. Any observations on that? Professor Kirkham?

6 PROFESSOR KIRKHAM: Well, I would certainly have wanted the saline to be normal.
7 And the other thing that I would have done in this circumstance where this was also
8 unexpected was that I would have done an EEG as soon as he came back from
9 theatre. And I asked you for that because I'd have, because of my interest in this in
10 the Horwitz paper, I'd wanted to make sure was at a status.

11 MS ANYADIKE-DANES: Yes, what would you have been looking for in an EEG?

12 PROFESSOR KIRKHAM: Seizures. And then because that's a potentially treatable cause
13 of having bilaterally dilated pupils.

14 MS ANYADIKE-DANES: So just so we're clear. You did mention this I think last time that
15 it would be possible for him to have had bilaterally dilated pupils, I think you
16 referred to them as being blown, and yet for that not to be irretrievable?

17 PROFESSOR KIRKHAM: Yes. For a while.

18 MS ANYADIKE-DANES: Dr Haynes, you're nodding your head, is that because you agree?

19 DR HAYNES: Yes, I have seen children in, part of my work involved delivering the
20 (inaudible) service to the UK and we have had the occasional child with major
21 results come through who has demonstrated very obvious brain stem signs which
22 subsequently subsided, including one from Northern Ireland, who I remember
23 vividly. And to diagnose brain stem death in the UK it's, there's no requirement to
24 have an EEG, there's no requirement for cerebral angiogram.

25 MS ANYADIKE-DANES: But we are talking about 1995, does that make any difference?

26 DR HAYNES: It doesn't make one jot of difference.

27 MS ANYADIKE-DANES: Right.

28 DR HAYNES: The same rules then as apply now.

29 MS ANYADIKE-DANES: Okay.

1 DR HAYNES: And it's a very simple process and it's usually blindingly obvious to all
2 around that the patient is brain stem dead or seemingly blindingly obvious. But the
3 recommendations from the joint colleges stipulate there has to be an underlying
4 diagnosis or reason, which I think there is, significant cerebral oedema, but there has
5 to be an absence of confounding issues such as persistent sedation, no statin drugs,
6 hypothermia, ventilation to normal (inaudible) and I was wondering if someone, and
7 I see Professor Kirkham nodding, that might say well, it was diagnosed when the
8 sodium actually wasn't much different to the day before.

9 MS ANYADIKE-DANES: Well can I ask you then to just comment on, Professor Kirkham
10 had expressed a view as to what preferably she would like to see in terms of the
11 assumed sodium level. What's your comment on that?

12 DR HAYNES: My comment is that I'd have liked to have seen evidence of more active
13 steps, over 20, maybe not 24, but it's going to be about 18 hours, you're admitted to
14 the Intensive Care Unit, to gradually bring that sodium to maybe not within the
15 normal range but stepwise would be ...

16 PROFESSOR KIRKHAM: I mean ...

17 DR HAYNES: And NY would have seen that.

18 PROFESSOR KIRKHAM: You'd certainly want to have a normal metabolic situation, I
19 mean the absolutely key thing is to have no statin drugs of course. But it is in the
20 criteria that you should exclude a metabolic cause and this would cancel of course ...

21 DR HAYNES: And there would be criteria, I think typically a little vague about it.

22 PROFESSOR KIRKHAM: Yes, which in some circumstances is quite helpful but in this
23 circumstance, I have personally given the uncertainty over exactly why this had
24 happened in, operatively. If I had been the neurologist, even though I think David
25 Webb wasn't there, I would have asked for somebody to get on with doing an EEG
26 while I did my clinic and got back.

27 MS ANYADIKE-DANES: Dr Haynes, you're nodding which doesn't come up on the tape,
28 does that mean you're agreeing with that?

29 DR HAYNES: Yes, I think that I would like to think that had, well I'd like to think that I'd

1 never have left in the child in that situation myself. But were it to happen, and if I
2 was involved in the temperature management, before approaching the diagnosis of
3 brain stem death as part of his general management, assuming he was still in an
4 irretrievable situation, I would have wanted probably an EEG and maybe even a
5 cerebral angiogram.

6 MS ANYADIKE-DANES: Can I ask Professor Gross, Professor Gross, have you been able
7 to hear this debate on the brain stem death and whether or not it would have been
8 advisable to have had an EEG. Are you able to comment on that in your position?

9 PROFESSOR GROSS: No, I followed this discussion marginally. Over here when the
10 potential kidney donor's being evaluated for brain stem death, there's always an EEG
11 that has to be done, plus an angiogram, or alternatively a cerebral duplex ultrasound
12 to check for cerebral blood flow. So I guess I would have to say, I'm no specialist in
13 this, but I would have to say that the addition of an EEG would have been desirable.

14 MS ANYADIKE-DANES: Professor Gross, is that something that would have happened in
15 your jurisdiction in 1995?

16 PROFESSOR GROSS: I think so, yes. I mean the EEG, yes. The duplex ultrasound no, the
17 angiogram I think would have been done.

18 MS ANYADIKE-DANES: Okay, thank you very much.

19 DR HAYNES: Can I just add that the legislation for diagnosis of brain stem death is widely
20 different upon your geographical locus and that these were all the for the UK.
21 Different states, the United States have different requirements and I don't know what
22 the European requirements are.

23 MS ANYADIKE-DANES: Okay. Dr Coulthard?

24 DR COULTHARD: The points that Simon's making are certainly ones that I am aware of
25 but I'm not a specialist in that area.

26 MS ANYADIKE-DANES: Dr Squier, for the record?

27 DR SQUIER: It's away out of my expertise.

28 MS ANYADIKE-DANES: Right, okay. Just if we sort of stick loosely with this area and
29 that is for the time round about the time when Adam was being taken to PICU when

1 it was appreciated that he wasn't being woken up or was not waking, they engaged in
2 a number of treatments which you will know about from reading his medical notes
3 and records. What would you have expected them to have achieved over the time
4 between then and when he was declared brain stem dead?

5 DR HAYNES: First of all I'd have, if I was the responsible doctor for that unit I would have
6 treated him as if the situation was salvageable.

7 MS ANYADIKE-DANES: Sorry, I just want to be very clear on what, the question I have
8 posed. What one is, what they actually did do, what did you expect that to have
9 achieved? And another one which is one I think, or almost a more interesting
10 question which is what I think you maybe started to answer is what you think they
11 might have done. If we stick with what they actually did do, what would you have
12 expected that to achieve, and then move into what you would have done in 1995 in
13 those circumstances?

14 DR COULTHARD: First of all what I'm saying is, and I'm going to introduce the same way,
15 the premise is that although superficially he may have appeared to have been brain
16 stem dead you'd have treated him as if the situation was potentially recoverable,
17 presumption number 1.

18 MS ANYADIKE-DANES: Okay.

19 DR COULTHARD: Secondly, he should have been treated to have maintained oxygenation
20 satisfactorily. He was ventilated and the blood gas measurements that I saw were
21 perfectly acceptable, so they did that. I would have expected them, or the doctors
22 involved, to have maintained his oxygen delivery and by that I mean keeping his
23 blood pressure, cardiac output, human movement concentration within a normal
24 physiological range.

25 MS ANYADIKE-DANES: Uh-huh?

26 PROFESSOR COULTHARD: And as far as I can make out they did do that. I would have
27 expected them to have not, specifically not given him any sedative drugs or
28 neurological blocking drugs.

29 MS ANYADIKE-DANES: Which, for example, just so that we know what you're talking

1 about?

2 DR COULTHARD: Morphine, midazolam, are drugs commonly used to sedate a patient
3 who is ventilated in the Intensive Care Unit.

4 MS ANYADIKE-DANES: Okay.

5 DR COULTHARD: Drugs which will suppress the conscious level, suppress the cough
6 reflex.

7 MS ANYADIKE-DANES: Okay.

8 DR COULTHARD: Because there's an obvious cause that there might be something more
9 grave, neurological mishap, and you do not want to mask any positive signs.

10 MS ANYADIKE-DANES: Okay.

11 DR COULTHARD: Okay. And ...

12 MS ANYADIKE-DANES: So far as you've been able to tell from his medical notes or
13 records was any of that prescribed?

14 DR COULTHARD: As far as I can ascertain that was all done.

15 MS ANYADIKE-DANES: Okay.

16 DR COULTHARD: What I remain, and in particular this morning having seen it presented
17 in front of me, I'm not sure if ambivalent, or there's a niggling doubt in my mind,
18 that they did not treat the hyponatraemia perhaps -- no, that they did not treat the
19 hyponatraemia over the subsequent 18 hours with the attention to detail that I would
20 have liked to have seen. And I would have questioned the decision to formally carry
21 out the brain stem death tests with a still a very low sodium concentration, the serum.
22 Also, although an EEG is not a requirement for making the brain stem death
23 diagnosis I think it would have probably represented good clinical practice at that
24 time for an EEG to have been carried out, for that to have been seen by a
25 neurophysiologist and a neurologist and a formal report on that entered in the notes.

26 MS ANYADIKE-DANES: And just so that we're clear what would an EEG carried out then
27 have included or excluded in terms of the cause of his condition?

28 PROFESSOR COULTHARD: If the EEG had shown no electrical activity that would have
29 been signs of, that would have corresponded or been appropriate for the subsequent

1 diagnosis of brain stem death. If it showed disordered chaotic activity or abnormal
2 frequency of discharge it may well have indicated that there was still viable cerebral
3 tissue undergoing seizure activity. But I'm not a real expert in that, you'd need to ask
4 Professor Kirkham what ...

5 MS ANYADIKE-DANES: So I will. Professor Kirkham?

6 PROFESSOR KIRKHAM: Well if I had been asked about this child at twelve o'clock I
7 would have ordered an immediate EEG to see if there was a potentially treatable
8 problem like seizures and then I'd have actually probably had another EEG the
9 following day. With the proviso, and I was discussing this with my colleagues on
10 Friday, that there was, this wasn't a weekend, it's actually really difficult to get an out
11 of hours EEG in this country at the moment.

12 MS ANYADIKE-DANES: It wasn't a weekend.

13 PROFESSOR KIRKHAM: No, well in that case, yes, it was a Monday morning and I think
14 it should have been, I think he should have had an EEG at 12.00 and another one the
15 following day. I think that would have been much, I would have been uneasy
16 without an EEG because of the possibility, because of the possibility of seizures.
17 Particularly I think the, I particularly think that one immediately on return from
18 theatre, it would have been incredibly helpful to have had an EEG that day. You get
19 a lot of prognostic information out of an EEG.

20 MS ANYADIKE-DANES: And can I put to you the same question that I put to Dr Haynes,
21 which is given how, from his medical notes and records how he was treated, what
22 would you have expected to have been the result of that from the beginning of that
23 period until the time when he was declared brain stem dead? What would you have
24 expected that kind of treatment to have produced, if I can put it that way?

25 PROFESSOR KIRKHAM: The correction of the sodium or?

26 MS ANYADIKE-DANES: No, what they actually recorded as having done, what would you
27 have expected that to have produced?

28 PROFESSOR KIRKHAM: In, just referring to what they did do, that's on your sheet
29 presumably?

1 MS ANYADIKE-DANES: No, not completely, it's in his medical notes and records that
2 they administered mannitol ...

3 PROFESSOR KIRKHAM: They gave mannitol ...

4 MS ANYADIKE-DANES: .. they did a number of things to him over a period of time, I'm
5 simply trying to ascertain from you what you think that should have achieved?

6 PROFESSOR KIRKHAM: Well, I mean I think that giving mannitol, if the cerebral oedema
7 had been potentially reversible then actually I do think that the mannitol would have
8 been associated with improvement clinically, in other words the pupils would no
9 longer have been dilated. So although they didn't exclude seizures, at least they
10 treated the potential cerebral oedema with a drug that works on cerebral oedema and
11 which, when I've had children coning in front of me as a registrar, has reversed the
12 process. So I certainly think that was a very reasonable thing to do and it didn't
13 reverse the ...

14 MS ANYADIKE-DANES: So what does that imply so far as your ...

15 PROFESSOR KIRKHAM: That does imply that the reason that the pupils were dilated was
16 that there had been transtentorial herniation - or not, herniation is very magnum
17 already at that stage, at twelve o'clock. Because the mannitol didn't reverse the
18 process.

19 MS ANYADIKE-DANES: Yes. So I mean just so that we sort of understand what, this
20 most recent discussion which is not a discussion that anybody has had before in
21 relation to Adam's case, and that is you, I think both you and Dr Haynes and to some
22 extent Professor Gross were saying it would have been good practice, appropriate
23 practice, the right thing to do to have carried out an EEG at noon, roughly at the time
24 when he was being transferred to PICU and then perhaps later on, and all of that so
25 far as I have understood you to say was to exclude any possibility that there was any
26 activity going on by, from his brain which could have been addressed in some way.
27 So that's the reason why you would have done it. I'm simply trying now to find out
28 whether, how he was treated and the results of that treatment, how that sit with what
29 you think might or might not have been seen on any EEG. And I think well if you

1 say well that's just speculative, I couldn't possibly say, well that's fine. But I'm
2 trying to see where the argument has gone, other than a very formal thing, it would
3 have been good practice to have done that to be absolutely sure. But I'm just trying
4 to see if you're developing it any further than that?

5 PROFESSOR KIRKHAM: Given that mannitol did not make the pupils start reacting and
6 bringing the size down I think it's very likely that the EEG was already isoelectric at
7 midday. The only other thing that could have been, there were two other things that
8 could conceivably have been done, one would have been to put an intraventricular
9 drain in, drain CSF.

10 MS ANYADIKE-DANES: Uh-huh?

11 PROFESSOR KIRKHAM: Which is a very, it's one way of getting the pressure down
12 quickly and the other is to do the surgical decompression.

13 MS ANYADIKE-DANES: Were either of those sorts of procedures carried out in 1995 or
14 were they something that's happened more recently now?

15 PROFESSOR KIRKHAM: The literature has expanded a lot in the last few years, it's still
16 incredibly controversial. The big, the control trial is a paediatric series, it wasn't
17 published for trauma, it wasn't published until 2002. I published a case, an
18 encephalitis case in 1987, so it was being done, we did compress the six children
19 when I was at Guy's with good outcomes in the ones who were decompressed before
20 isoelectricity.

21 MS ANYADIKE-DANES: Sorry, can I invite you to keep your voice up just for Professor
22 Gross's benefit?

23 PROFESSOR KIRKHAM: I don't think that I would have done that in this case because I
24 think that when the child came back from theatre the use of mannitol did not improve
25 the ...

26 MS ANYADIKE-DANES: Does it always?

27 PROFESSOR KIRKHAM: I think if you're going to reverse the herniation through the
28 foramen magnum then you would expect an improvement with mannitol, you might
29 then get further massive pressure and further, you'd see, might bring, the pupils

1 might start reacting again and become smaller and then an hour or two later they
2 might become fixed and dilated again. And it's that little window that you might
3 have if you managed to bring the pupil size down with the mannitol immediately and
4 then you, that's the time when you might ask a neurosurgeon if they wanted to either
5 put an intraventricular drain in or to decompress. But I think that given the pupils
6 did not improve with the mannitol I would have not recommended doing anything.

7 MS ANYADIKE-DANES: So the purpose of your EEG in those circumstances would be?

8 PROFESSOR KIRKHAM: The purpose of the EEG actually at midday wouldn't have been
9 anything to do with the mannitol, it would have been to do, make sure that he wasn't
10 seizing because seizures can be a potentially reversible cause of having pupils which
11 don't dilate, sorry which don't react, and he could have had an anticonvulsant and the
12 seizures might have been able to be stopped and then his pupils might have started
13 reacting again. So my main reason for doing an EEG at midday would have been to
14 exclude status epilepticus.

15 MS ANYADIKE-DANES: And if you, if he had been having seizures and you had, and
16 nobody had appreciated that and therefore not treated it, what does that then mean
17 about the ability of mannitol to do anything?

18 PROFESSOR KIRKHAM: Well to be fair they did treat him of course, they did give him,
19 and they gave him at least Diazepam.

20 MS ANYADIKE-DANES: They gave him ...

21 PROFESSOR KIRKHAM: I'm sure they gave him, they gave him at least one
22 anticonvulsant, I thought it was those terms.

23 MS ANYADIKE-DANES: Have you got a note of when they did that?

24 PROFESSOR KIRKHAM: It might be in my report.

25 MS ANYADIKE-DANES: Perhaps you'll check.

26 DR HAYNES: I think it's one of the statements of one of the doctors from Belfast Childrens
27 ...

28 MS ANYADIKE-DANES: Okay. And you think you identified it in in your report when
29 they gave it to him?

1 PROFESSOR KIRKHAM: Yes, I think it's fairly soon after he came back, they obviously
2 realised that he might be seizing. They gave him, it's rather like the mannitol, they
3 gave him mannitol, he didn't improve, they gave him an anticonvulsant, he didn't
4 improve. And so they thought that they'd done everything, and to be honest they
5 probably had done everything that could have been done in intensive care, I'm not
6 particularly critical other than that I agree that to diagnose brain stem death,
7 particularly in this circumstance where you'd had a previously normal child who
8 went into theatre and had, and had fixed dilated pupils on return from theatre I would
9 have wanted to have everything, I would have wanted to have all the information.
10 I'm not sure I would have done an arteriogram actually because I don't like doing that
11 much if I can avoid it but I would have done an EEG because it's relatively easy to
12 do.

13 DR COULTHARD: Can I ask for clarification.

14 MS ANYADIKE-DANES: That's Dr Coulthard.

15 DR COULTHARD: Sorry, Dr Coulthard. I'm just asking for clarification for an area that I
16 don't know about. If the child, such as Adam, was seizing at that point when he'd,
17 he'd had his anaesthetic drugs stopped and so on, would you not have expected to see
18 some evidence of that in terms of his, any movements? I mean just for information
19 could you have a child that doesn't appear to respond to pain or anything that's
20 actually got such a status or severe seizure activity; is that possible?

21 PROFESSOR KIRKHAM: Yes, subtle seizures is particularly, perhaps a little bit of
22 twitching in the eye, very slight in fact facial twitching, and very slight thumb
23 twitching, usually missed by nurses.

24 DR COULTHARD: Okay, thank you.

25 MS ANYADIKE-DANES: I wonder if it might be an appropriate place to take a short break
26 at this stage? Thanks very much.

27 *(Short break).*

28 *On resuming:*

29 MS ANYADIKE-DANES: Hello Professor Gross, thank you, the last thing that I would

1 like you to deal with just before Dr Squier has to leave us, she has a prior
2 engagement although she has stayed longer than she had indicated for which we are
3 grateful, is the whole question of PRES. I don't think you were able to be present
4 with us last time when we were discussing that in some detail and neither was Dr
5 Squier, so I wonder if I could ask Dr Squier to start of that discussion and then you
6 can respond to that.

7 DR SQUIER: I am probably the last person to start this discussion because PRES isn't yet a
8 pathological diagnosis I think. PRES is something which is identified on brain scans
9 and as far as I am aware there is only one paper that I have seen regarding the
10 neuropathology of PRES, and in fact I was asked to review this paper some years
11 ago and it suggested that it should not be published as it was because it didn't use the
12 available material to make the best use of it. In other words it described some
13 vascular changes in the posterior circulation where it was thought to be abnormal but
14 didn't compare these with the vessels elsewhere in the brain which would have been
15 a good internal control. If you have got a pathology in one part of the brain and not
16 in another it would have been ideal. So I think that paper had several problems and I
17 think that is the only one that, as far as I am aware, is available with pathology.
18 So I don't think PRES is necessarily a pathological diagnosis and if the reversible
19 means anything, and I think PRES is one of these diagnoses which is evolving as we
20 speak so it is now longer not necessarily only posterior it is not necessarily
21 reversible, but if we are talking about a reversible syndrome then it is quite logical to
22 expect that there won't be a neuropathological correlation because the change is a
23 physiological one rather than a structural one.
24 But I do think it is a very interesting concept and I think the more I think about it,
25 and Professor Kirkham and I have been talking a little bit about this as well, that it
26 may reflect the anatomy of the blood vessels and their innovation responding in a
27 particular way under a set of circumstances. Initially I think those circumstances
28 predominantly were related to increased blood pressure but now I think the
29 phenomenon is being discussed in terms of many other conditions.

1 So I think probably that's all I can say as a pathologist I don't think that I can help as
2 a neuropathologist to make the diagnosis of PRES but I can come up with a few
3 anatomical suggestions as to why specific distributions of brain swelling may occur.

4 MS ANYADIKE-DANES: Just to pick up where you left of, if you can't help with
5 diagnosis can you help with seeing evidence of things which would suggest that it
6 might be there?

7 DR SQUIER: In terms of identifying a distribution of oedema, yes.

8 MS ANYADIKE-DANES: What does that look like, so far as you understand the position
9 on PRES to have developed to date, what does that mean in terms of distribution of
10 oedema?

11 DR SQUIER: At the moment I think we think the oedema is typically most commonly in
12 the posterior frontal parietal occipital part of the cerebral hemisphere, so the back of
13 the upper part of the brain, and it can also occur in the brain stem and in the
14 cerebellum and I think that's probably the descending order in which it is seen, but I
15 think that again it is a very variable pattern. And if we took that definition as it has
16 been accepted, that would fit with the sort of pattern that we are seeing in Adam's
17 brain at postmortem.

18 MS ANYADIKE-DANES: Now Dr Coulthard, if I remember you correctly, you thought
19 there is nothing new in this, this is a new name for something we have known all
20 along.

21 DR COULTHARD: Basically I think it is a way of describing, a name to describe the
22 imaging tests that are applied to a condition we have known about all along, yeah.

23 MS ANYADIKE-DANES: And just for the sake of those who aren't going to look back at
24 the previous transcript, how do you describe that condition?

25 DR COULTHARD: Essentially what I have put forward is that children who have, anybody
26 but in my experience children who have sharp rises in blood pressure, not necessarily
27 starting from normal levels but a sharp rise in blood pressure compared to their
28 normal, can sustain symptoms which are precisely the same symptoms that are
29 described in PRES in the same frequency of distribution of those symptoms, that

1 essentially they recover if the blood pressure is controlled properly. Some of them
2 can be permanent visual loss for example and so that is a perspective that we have
3 seen.

4 My reading of the PRES literature is that they are describing exactly the same
5 symptoms in children who either have recorded high spikes in blood pressure, which
6 is the vast majority of cases, or who have risk factors for having done so and I made
7 the point that blood pressure is the least well documented of the important physical
8 signs in pediatrics generally and that I wasn't surprised, I would not expect, if it was
9 due to hypertension only PRES in children, I wouldn't expect a retrospective review
10 to have identified it better than it has been. So to me it appears to be describing
11 acute episodes of hypertension with all the risk factors and all the consequences and
12 all the time scales that are associated with that. The difference is that the huge
13 experience there is in pediatric morphology of managing children with acute
14 hypertension focuses on the importance of urgent clinical action which is to control
15 the blood pressure in a particularly sort of controlled timescale and bring it back to
16 normal. That excludes, for practical purposes, doing acute imaging which would
17 merely get in the way of that therapeutic possibility.

18 So historically before the imaging was generally available and now that it is
19 available, for clinical reasons most people that deal with these conditions which is
20 basically pediatric nephrologists within the organisation of pediatrics in the UK
21 would manage these cases and wouldn't image them. My reading is that the area that
22 has now been described as PRES is the radiological correlate of that condition and I
23 note that the advice given by people writing these paper is that the right way to
24 manage PRES is to gently control the blood pressure and keep it in good order
25 thereafter, and if you do that and if you do it without delay that they will recover.

26 So in every way it appears to be it quacks like a duck and it walks like a duck and it
27 looks like a duck and I think that is what it is. And I think that we have now had the
28 imaging of that added on for academic reasons.

29 MS ANYADIKE-DANES: Just before I go to Professor Gross, Dr Squier have you got a

1 comment to make on that?

2 DR SQUIER: It all sounds very reasonable and I can imagine that some fluctuations in
3 blood pressure could easily overcome autonomic control of the cerebral flood flow
4 and would lead to this sort of finding. So I am quite happy with that. I don't know
5 the literature well enough to know that it is also described in cases where there is
6 absolutely not been fluctuations in blood pressure and perhaps that's where Professor
7 Kirkham had help us.

8 MS ANYADIKE-DANES: Yes, Professor Gross do you have any comment to make?

9 PROFESSOR GROSS: Nothing of any significance or importance, I am not a pediatrician
10 or neurologist. I did read the article in the New England Journal of Medicine from
11 1996 with Hitchings being the first author on it. I notice that the syndrome was most
12 often described in patients that had been on immunosuppressant therapy. I noted that
13 about 80% of those patients described they had an abrupt increase in the blood
14 pressure. That they suffered from severe headaches and from vomiting and
15 confusion and their CT and or MRI studies showed or suggested oedema of posterior
16 regions of the brain and those patients apparently all survived and the majority or all
17 those that did have hypertension were improved by receiving blood pressure
18 lowering medications.

19 Now compared to this, Adam received his immunosuppressive therapy probably later
20 than the time of his brain stem death was or at about that time but certainly not many
21 hours before that. I think Adam's blood pressure increase also appears to have come
22 later, headaches and vomiting are not to be discussed here and Dr Anslow says in his
23 report of the CT scan that comparing Adam's scan with the previous CT there has
24 been a dramatic change, and then he says "*...the brain has become very swollen*".
25 Apparently he is there talking about the brain in general. The next sentence he says
26 "*The CSF spaces have become obliterated and the ventricles are much smaller*" and
27 then he specifies these changes are severe in the posterior fossa, so there is more to
28 be seen in that area.

29 Taking all this evidence, this little tiny piece of evidence together I would have

1 difficulty understanding that with these data Adam should have been a case that was
2 suffering from PRES. I think the described picture, I admit I read so far only this
3 one paper, I will do more, comparing Adam with that description to me does not look
4 similar to Adam's state. So I have trouble recognising why he should have PRES.

5 DR COULTHARD: Can I just make one point that I forgot to make that you reminded me,
6 a number of the papers refer to a link with immunosuppression, I think this is
7 imprecise. It is what they say and I realise you have read it from there, I think it is
8 an imprecise observation. What actually they refer to, if you look at all the papers
9 that refer to it is that these children that they are referring to or adults are on a
10 specific group of drugs, tacrolimus and ciclosporin which happened to be
11 immunosuppressive. They also happen to alter blood pressure and the sensitivity of
12 blood vessels in a number of ways. They are also immunosuppressant. It has not
13 been reported with any other immunosuppressants and it hasn't been reported as
14 something which occurs in children that are immunosuppressed in any other way
15 either with any other drugs or naturally through immunological diseases. So I think
16 that their assumption that it is due to immunosuppression is wrong. I think that they
17 should be stating that it is with this particular group of drugs which is where we
18 actually see hypertension, clinical hypertension occurring as we spoke earlier, in the
19 post transplant period, that a normal level of blood pressure for a child or a slightly
20 raised blood pressure for any particular child in the presence of one of these drugs
21 can give you the same affect as the blood pressure would at a higher blood pressure
22 in the absence of those drugs. But I don't think it is immunosuppression in general.

23 MS ANYADIKE-DANES: Professor Kirkham?

24 PROFESSOR KIRKHAM: Yes. I think posterior reversible encephalopathy syndrome, as
25 it is now called, it has had a number of previous names has indeed been recognised
26 for a long time by pediatricians and by adult physicians and typically presents with
27 seizures in a child with the increasing blood pressure and often visual symptoms. It's
28 certainly not always reversible and some of the children that I have been involved
29 with who had sickle cell disease who have had this, definitely had infarction on

1 radiology. And cases have been reported with similar imaging abnormalities but
2 without necessarily having evidence for acute rises in blood pressure.

3 I have to say there is also some overlap and difficulty in disentangling the cases who
4 don't just have posterior abnormality but also have borderzone ischaemia which can
5 be frontal as well as posterior and indeed we had a case and actually published the
6 image from that case and a child who had in fact had rheumatoid arthritis and had
7 posterior abnormality initially and then evidence of borderzone ischaemia on
8 diffusion rate (inaudible) the following day. So it is a complex syndrome. I am
9 pulling together a review with Steve Pavlakis who was actually one of the first to
10 describe it with children and then Dimitrus Zafiriou and I hope to be able to say
11 more about that in my report, I am going basically through all the literature any way.

12 MS ANYADIKE-DANES: Okay. But I think what Professor Gross was concerned about is
13 that he didn't see how you could match up the features, as have been described in the
14 literature such as it is, about PRES with Adam's presentation I think that's where he
15 was sort of struggling and it might help if you described how you saw that, I mean
16 what made you link PRES with Adam?

17 PROFESSOR KIRKHAM: Well the clinical scenario is usually a child who is fully
18 conscience who says they can't see and starts fitting and it usually is sudden onset
19 and if it had been a sudden onset in Adam when he was anaesthetised you wouldn't
20 know whether he was fitting or had visual compromise. So I don't think we can
21 exclude it just because his presentation is atypical. You typically have white matter
22 oedema which was I think one of the findings on the postmortem and it can involve
23 the cerebellum which was particularly involved again and I think it would be quite a
24 reasonable explanation for the distribution of the oedema that in addition to the fluid,
25 the water that was there, there was quite likely these children with renal disease are
26 at risk of this condition and it could certainly have had a sudden onset during the
27 operation.

28 MS ANYADIKE-DANES: So does that amount to one of the things, so I am clear, one of
29 the things that you are trying to do is that you are trying to find an explanation, a

1 rational explanation for why the distribution of the cerebral oedema in Adam is as it
2 has been described in his CT scan and as observable in the photographs that were
3 taken and can be seen through the microscope by Dr Squier? You are trying to
4 understand why it was like that as opposed to more generally, a more general
5 cerebral oedema. Is that a fair comment?

6 PROFESSOR KIRKHAM: Yes, and to have cerebral herniation, you would need a shift of
7 brain tissue and having cerebral oedema particularly posteriorly with swelling of the
8 cerebellum, would give an explanation for why the cerebellum herniated through the
9 foramen magnum which I think is not under dispute.

10 DR SQUIER: That's absolutely right and we have again the picture from...

11 MS ANYADIKE-DANES: Sorry Dr Squier.

12 DR SQUIER:...from Dr Amour's case report which shows, it's not a good picture and the
13 autopsy pictures are slightly better, but it did show that the cerebellum is very
14 swollen but again as I mentioned earlier that the cerebral gyri and sulci of the
15 cerebral hemispheres remain intact and relatively less swollen, so there is a particular
16 distribution of the swelling in this case.

17 MS ANYADIKE-DANES: I understand. I don't know whether you have had an experience
18 of performing autopsies or looking at histological slides from brains of children who
19 have been described as having the condition, maybe you haven't, but would be able
20 to see to what extent this pattern of oedema is consistent with that?

21 DR SQUIER: I haven't ever performed an autopsy or examined the brain of a child who is
22 said to have PRES in the past.

23 MS ANYADIKE-DANES: Okay. Anything further Professor Gross?

24 PROFESSOR GROSS: I didn't hear.

25 MS ANYADIKE-DANES: Sorry the question I had asked Dr Squier just to be clear, is
26 whether she has ever examined the brain of a child who has been diagnosed with
27 having PRES to see whether she could say that the picture of Adam's cerebral
28 oedema was consistent or not with that and the answer that she was given is that she
29 personally has never done that so she couldn't make that comparison.

1 PROFESSOR GROSS: I understand that. I thought you wanted...

2 MS ANYADIKE-DANES: I want to know if you had any other further comments in
3 relation to PRES and Adam.

4 PROFESSOR GROSS: Yes, I do. I didn't hear what Professor Kirkham had to say about
5 the supposed obligatory blood pressure or dramatic blood pressure increase
6 described in patients with PRES which I cannot find in Adam.

7 MS ANYADIKE-DANES: Maybe you could repeat that with your voice a little elevated.

8 PROFESSOR KIRKHAM: Okay. At the moment I am going through the literature
9 carefully to see, there are cases described who apparently did not have a very
10 substantial increase in blood pressure but I think that really needs a very careful
11 review of the literature which I am undertaking with a couple of colleagues at the
12 moment, to be able to say what the blood pressure would be expected to be for that
13 child, what it was before and what it was at the time the child presented and whether
14 those cases really fit with the description that can be actually classified as PRES.
15 That hasn't really been done in a comprehensive way, we were going to do it any
16 way and we will look at it in the context of this case.

17 PROFESSOR GROSS: So that means Adam would be kind of one of the more uncommon
18 patients with PRES because he didn't have such an increase in blood pressure and
19 maybe the same applies to the supposed reversibility of this phenomenon reported in
20 the literature that you probably would have to say was not present in Adam. Is that
21 your point?

22 PROFESSOR KIRKHAM: The reversibility is definitely not that you always have complete
23 recovery of brain issue, occipital infarction has definitely been recorded in this
24 condition. Adam's blood pressure was actually gradually going up during the
25 operation so it is certainly not impossible that that actually did affect the blood brain
26 barrier posteriorly, this is a problem with the auto-regulatory range which of course
27 does vary from person to person and the hypertensive encephalopathy element of it is
28 thought to be the blood pressure goes above the upper limit of the auto-regulatory
29 range for that patient.

1 I don't have a comprehensive review yet of all the patients who have been examined,
2 but the distribution of the abnormality at postmortem and on the scans would be
3 consistent with PRES being a component and it is well recognised in children with
4 renal disease.

5 PROFESSOR GROSS: Just to conclude this, in the article in New England the last line says
6 "*In all 15 patients...*" there were 15 reported, "*...the neurologic deficits resolved*
7 *completely within two weeks*". I just wanted to add this on.

8 PROFESSOR KIRKHAM: I understand that and I can send you some articles where very
9 similar abnormalities were seen on scanning where occipital infarction was well
10 documented and I have seen that myself in sickle cell disease. So it definitely can
11 completely reverse and it can definitely not completely reverse with occipital
12 infarction. It is unusual to be associated with death.

13 MS ANYADIKE-DANES: Dr Coulthard?

14 DR COULTHARD: Just a couple of things, first of all looking at, and I emphasised this last
15 time, just to reiterate, looking at Adam's blood pressure trace throughout the
16 transplant this trace of a gradual rise of systolic and diastolic blood pressure which is
17 about normal for a child of his age to a little bit higher than that, is actually the way
18 in which transplants aren't ideally managed so that this would be an absolutely
19 typical trace from a child having a transplant. The reason for that being that at the
20 beginning of the operation the blood pressure has to be adjusted for the normal for
21 the child and at the end you have got to compromise between the blood pressure that
22 is normal for the child and the blood pressure that is normal for the kidney, and that's
23 usually a much older kidney and is used to a higher blood pressure. So that coming
24 back to my previous kind of point of comparing it to what we normally see, his blood
25 pressure, there is absolutely no way that you can describe this as being a blood
26 pressure trace which involves a spike or anything which would you consider to be a
27 risk factor for a hypertensive encephalopathy.

28 The second point that I would just like to relate to Fenella, is that what is needed if
29 you are looking at literature to see whether PRES really does occur in the absence of

1 hypertension is not cases which have a clinical description that fits with PRES in
2 which blood pressure wasn't noted to be high, but cases with a clinical description of
3 PRES in which blood pressure was positively recorded in a very precise way and
4 known for certain not to have spiked, those are very, very different.

5 Then just finally, if I can just clarify my understanding in a nutshell is that the
6 evidence for Adam for PRES is the fact that he had a posterior distribution to his
7 brain changes, I just wanted to clarify that, that's kind of where we are at really in his
8 case.

9 MS ANYADIKE-DANES: Sorry Dr Squier?

10 DR SQUIER: I would think yes, because we do have an unusual distribution of the oedema
11 which is absolutely indisputable, it's there in the pictures and it is there on the slides
12 and of course what we don't have to make the diagnosis is the clinical features is
13 because he was under anaesthetic.

14 MS ANYADIKE-DANES: Okay, understood. Professor Kirkham?

15 PROFESSOR KIRKHAM: I think that is my position as well. It is a very frustrating
16 condition to diagnose and that literature is weak and I will do my best to describe the
17 literature but it would explain distribution of the oedema and I think it is very
18 important to consider it because it is common in children with renal diseases, Dr
19 Coulthard says because they recognise it whether they do scans. Children who have
20 a renal transplant often seize and it is said to be thought to be a PRES variant and my
21 renal colleagues quite often call me to see children on the ward that we think have
22 got this condition. So it certainly has to be considered as a possible explanation for
23 the distribution of the oedema that this is at least a component of what happened.

24 MS ANYADIKE-DANES: Okay. Now I understand that -- sorry, I know that Dr Squier
25 has to go and I am trespassing on her time but there is just one final question in
26 relation to PRES that I think it might help if we had all your views on it, and that is
27 what would provoke it, why would he develop PRES?

28 DR SQUIER: That is an extremely interesting question, obviously swings in blood pressure
29 and the various other suggestions that we have heard but if we take PRES in this case

1 as the observed abnormal distribution of swelling or the observed distribution of
2 swelling in the posterior part of the brain we need to think about whether there is
3 anything else, forget the name PRES and that is a condition, and is there anything
4 else that may contribute. I think there, I just don't know whether the venous drainage
5 from the brain was impaired in some way and I don't know how much reliance we
6 can put on the potential obstruction of one jugular vein, possibly two, one with the
7 catheter and one with the suture because I am really confused about this whole suture
8 issue. I don't understand what was found at postmortem.

9 But if this was a baby who had one of his main venous outflow pathways from the
10 brain compromised and was reliant on the other then he may well have been more
11 vulnerable to somehow impairing the venous outflow from the back of the brain or
12 from the brain because it comes through the back. So it very vague but it is just
13 something that does raise its head as far as I am concerned in this case.

14 MS ANYADIKE-DANES: Professor Gross, are you able to express a view, if, as Dr Squier
15 says you leave aside the PRES question and just think about the distribution of the
16 cerebral oedema, are you able to think about what might produce that kind of
17 distribution?

18 PROFESSOR GROSS: I try to explain it how?

19 MS ANYADIKE-DANES: Well the start or somewhere in the middle of the PRES
20 argument or debate, it was acknowledged that one of the reasons for looking at PRES
21 is that it would offer an explanation for the distribution of the cerebral oedema that
22 was observed in Adam's brain and so I put that to Dr Squier whether she accepted
23 that that was the case and I think she was saying she did, but she was also saying in
24 answer to my question, well what would produce the PRES and I think her answer to
25 that is well let's just look at the observable things that cause us to think about PRES
26 in the first place and think about what might produce those things, and I think that's
27 when she started to conclude that it may have something to do with his compromised
28 venous drainage or cerebral venous drainage. So I was putting to you a similar
29 question which is what might have provoked the PRES so far as you are concerned,

1 if that is a permissible explanation for the distribution of his cerebral oedema?

2 PROFESSOR GROSS: I see the argument with response to the dishomogenous cerebral
3 oedema, although I have pointed out that the part of the brain that was unaffected by
4 severe cerebral oedema had still become very swollen as Dr Anslow said, and that in
5 my eyes is something like an argument against there being this PRES present. But
6 what could have caused the PRES or why he should have had it I really don't know, I
7 understand not enough of this abnormality and I pointed out before that to my eyes
8 these two entities, Adam here and the description of PRES I have at my hand, at this
9 point in time difficult to bring together and I do not want to make any more
10 speculation at the presence of this PRES or its causation.

11 MS ANYADIKE-DANES: I understand, thank you. I wonder if I can just swing that back
12 to Dr Squier, when you talked about leaving aside the distribution of the cerebral
13 oedema nonetheless the brain was very swollen, can I ask you to express a view, I
14 understand that you are looking at pictures which are sometime after he was declared
15 brain stem dead and you have already explained that there maybe changes that might
16 affect the accurate representation of those as his state when he, when the terminal
17 event occurred. If one is able to step outside of that, can you express a view as to
18 how swollen, from your experience of doing autopsies and looking at brains, how
19 swollen the rest of the brain was?

20 DR SQUIER: Well it is a very difficult question to answer again because people have
21 studied brain swelling trying to get some sort of more accurate definition of brain
22 swelling apart from mild or moderate or severe, and measured things like the gyri
23 shape and the compression of the sulci and so on. I think at the end of all of these
24 measurements, what was found to be most accurate was brain weight and that brings
25 us back to another problem in this case that we actually really don't know what the
26 brain weight was. So what we do have and the best things that we do have are the
27 two things, is the brain scan, and I would emphasise that Dr Anslow did describe a
28 swollen brain but he said that the lateral ventricles were still patent, the occipital
29 horns...

1 MS ANYADIKE-DANES: And what does that mean in terms of your earlier description of,
2 I think it was mild, moderate and severe, what does that mean?

3 DR SQUIER: Again mild, moderate and severe are very subjective terms.

4 MS ANYADIKE-DANES: Understood.

5 DR SQUIER: The fact that the ventricles are still patent means that, when the brain swells it
6 will compress those spaces which contain fluid and that fluid will be redistributed so
7 the brain tissue is taking up all of the available space inside the skull. Now he said
8 that those ventricles were still partly patent and that's visible on the brain slices as
9 well, you can see that in Dr Armour's publication, there is still some ventricle there,
10 they are not completely compressed, but Dr Anslow said that there was no space at
11 all around the posterior fossa structures so that that would suggest that the spaces
12 were completely gone at the back of the brain and this would be a sort of hint that it
13 is not uniform distribution.

14 Again from the microscopic description of the brain, if we can't rely on the weight,
15 the fact that the surface of the brain was still well preserved suggests to me that
16 although there might have been a lot of swelling in the back of the brain and we
17 know it was and it looked it on the pictures and we know that the tonsils had already
18 compressed into the foramen magnum, that was very swollen and the front of the
19 brain was perhaps moderately swollen so.

20 MS ANYADIKE-DANES: I understand, thank you Dr Coulthard.

21 DR COULTHARD: Could you just remind me of the time relationships between the
22 operation, the scan and the postmortem, because for example, looking at say the
23 space in the ventricles because my understanding is that the whole thing is a kind of
24 dynamic thing, if you give Mannitol and it's successful, it is successful because you
25 shrink the brain down again. So it's not like, if you reach a point where the brain is
26 so swollen that there is a high pressure and there is reduced blood flow and the brain
27 dies, in the 24 hours that follow that my understanding is that giving them Mannitol,
28 that might be too late (inaudible) so where we in time when he had that scan and in
29 relation to the postmortem.

1 MS ANYADIKE-DANES: I can help you with that. It is on the schedule, just for the
2 benefit of the tape it is reference 058.038.182. That states that Adam was taken for
3 an emergency CT scan at 1345. And he was admitted to PICU depending on which
4 notes you are looking at at either 12 noon or 1205.

5 DR COULTHARD: So earlier when I was speculating at your request on the likely time
6 period of his sustaining cerebral oedema and brain death, we were talking around the
7 early part of his surgery, so let's say by 10am or something like that so we are now
8 talking something like three hours, 1 o'clock or what?

9 MS ANYADIKE-DANES: No it was 1345.

10 DR COULTHARD: So we are talking about something like four hours, approximately four
11 hours later during which time he was given Mannitol, so do we know...

12 MS ANYADIKE-DANES: Do we know when he was given Mannitol?

13 DR COULTHARD: Do we know how we can interpret a brain scan which shows some
14 presence of ventricles in a child who has been given Mannitol following that clinical
15 presentation? Is it possible that he developed cerebral oedema by 8.00 or 9 o'clock
16 that morning which might have completely compressed all of the contents of his
17 skull other than the fluid spaces and then recovered to the point of looking like that
18 on his scan and recovered by 24 hours to the point that (inaudible) and is that a
19 possibility.

20 MS ANYADIKE-DANES: He was given Mannitol at 1205.

21 DR COULTHARD: So it is, if you roughly cut it down say by 10 o'clock, I am speculating
22 he may have got, he may have had cerebral oedema severe enough to kill his brain
23 by 12 o'clock he is given some Mannitol, by 2 o'clock he is given a scan, two hours
24 after that when it is kind of already beginning to work at its maximum, and then 24
25 hours later'ish he dies.

26 MS ANYADIKE-DANES: Maybe we should ask Dr Squier that. So that we are clear on it,
27 what would be the effect of having given the Mannitol at noon on whatever may or
28 may not have been happening to his brain, that period of time during surgery, and
29 therefore how accurate a reflection of the gross oedema that might have led to his

1 death, how accurate a reflection is any CT scan that is taken at let's say 2 o'clock if
2 you went for it at 1.45?

3 DR SQUIER: I think that we have to accept that if the Mannitol had been effective then it
4 would have reduced some of the swelling and that may have contributed to the final
5 picture we are seeing on the scan at 2 o'clock.

6 MS ANYADIKE-DANES: Is it possible to know how much it might have reduced it in that
7 period of time?

8 DR SQUIER: I certainly don't know.

9 MS ANYADIKE-DANES: Sorry Professor Kirkham?

10 PROFESSOR KIRKHAM: Just from times that I have been looking at this in renal
11 problems, there is a problem (inaudible) I just wondered if there was a diuresis.

12 DR COULTHARD: There wasn't, we have looked. Sorry if I can just, I was specifically
13 asked to look at that question, first of all at a theoretical level you would expect a
14 child with his kidney function to be able to diuresis and secondly he didn't. The
15 figures are there and volumes are there and I have written a report on that and my
16 conclusion was that he didn't respond to Mannitol in terms of it changing urine
17 output. So what one would imagine would happen is that the Mannitol would stay in
18 the circulation and draw fluid out of the brain and it would remain in the circulation
19 until it was dialysed out or whatever.

20 MS ANYADIKE-DANES: Then the question remains is, what is the likely effect on the
21 brain of the Mannitol given at 12.00 and how might that how might that be viewed at
22 a CT scan taken at 2.00?

23 PROFESSOR KIRKHAM: I don't think would be able to answer that question accurately.
24 There is no data and there is no data whether Mannitol takes fluid out of the anterior
25 part of the brain or posterior part of the brain, most of the original literature on
26 Mannitol is from 30-40 years ago and they weren't doing scans.

27 MS ANYADIKE-DANES: So is your point still if it did how do we still explain, whatever
28 was going on, at whatever rate it happened, how do we explain the uneven
29 distribution of the cerebral oedema, is that where you are coming down to, is that

1 your position as well Dr Squier.

2 DR SQUIER: Absolutely, yes.

3 DR COULTHARD: I think it has to be said that Mannitol is given because it shrinks the
4 brain, there is a physiological reason to expect it to shrink the brain. We know
5 clinically it can improve people, you have described a case earlier where it turns the
6 child round. So on those grounds it would be surprising if the brain didn't look a bit
7 different after it had been given Mannitol and obviously as you say yourself we don't
8 really know any detail. For all we know it might particularly alter it in the front or
9 the back we just don't know.

10 MS ANYADIKE-DANES: Professor Gross you are listening to this, is there anybody who
11 thinks that there might be in a position to answer the question as to Mannitol would
12 produce a result in an uneven distribution of cerebral oedema.

13 PROFESSOR GROSS: I can't comment on that.

14 MS ANYADIKE-DANES: I should say at this stage that Dr Squier does definitely now
15 have to go to the prior commitment that she has been holding off on doing and I
16 thank her very much indeed.

17 (Dr Squier withdraws)

18 MS ANYADIKE-DANES: I should say that Dr Haynes has returned from his prior
19 professional commitment. For your benefit Dr Haynes, where we were is the
20 discussion on PRES was being conducted in a way to try and see if it might offer an
21 explanation of the uneven cerebral oedema and where that discussion had got to is to
22 see how reliable the CT scan taken at roughly 2 o'clock, he was taken for it at 1.45 so
23 roughly 2 o'clock, would be of the picture of Adam's brain at the time when the
24 cerebral oedema produced his death, given that at noon he received Mannitol which
25 may have changed things and that's just roughly where we were, whether the
26 Mannitol could have changed things sufficiently to have reduced the swelling so it
27 didn't look as severe as...

28 DR HAYNES: It might have been earlier on.

29 MS ANYADIKE-DANES: Yes, exactly, and literally the last point I think as you entered

1 into the room well if that were the case how would you explain the uneven
2 distribution of the cerebral oedema. And now I ask you if you are in a position to
3 help with that or it's just left as one of those things that people don't know
4 sufficiently about.

5 DR HAYNES: I don't think I will be able to comment authoritatively on it other than
6 speculatively.

7 MS ANYADIKE-DANES: Okay. I wonder the time is pressing and we will have to close
8 this but there was one area that we haven't touched really, which is that, although we
9 have started to enter into it which is the effect, if anything, of the different drugs that
10 Adam was given during his time at surgery and whether any of that exacerbated his
11 conditions, produced his conditions. I don't know Dr Haynes, whether you are in a
12 position to help us, but so far as you can those are the drugs that he was given, those
13 are the times he was given and if you flick over the page you can see the amount that
14 was being administered.

15 DR HAYNES: Okay. In answer to your question, yes I can comment on the drugs...

16 MS ANYADIKE-DANES: What, for example, maybe you can help us there is one called
17 Atrac, what is that for?

18 DR HAYNES: I will just gather my thoughts. Going from left to right, Atropine is
19 self-evident. STP stands for Sodium Thiopental. Atrac is short for Atracurium.

20 MS ANYADIKE-DANES: Just for the benefit of those who may not appreciate, what are
21 those things for?

22 DR HAYNES: Atropine was traditionally given and much less so nowadays, but it
23 prevents, it is an anticholinergic drug which will inhibit the effect of stimulation of
24 the vagus nerve which is a major part of the para sympathetic. What the
25 parasympathetic outflow does is it will slow the heart rate usually in response to a
26 stimuli such as manipulation of structures innervated by the branch of the vagus such
27 as the larynx. If you carry out a laryngoscopy in an anaesthetised patient, the
28 stimulus to the larynx often results in the very marked slowing of the heart rate. It is
29 a normal physiological response and Atropine has traditionally been used liberally by

1 anaesthetists and especially by pediatric anaesthetists to counteract this reflex.
2 The other reason it is given is to switch off salivary gland production because many
3 of the irritant, difficult, annoying features involved when you are anaesthetising a
4 patient relate to coughing incoordinate laryngeal movement in response to excess
5 saliva. It is used much less than it used to be but certainly in 1995 it would
6 frequently, routinely be given without a second thought when inducing anaesthesia.

7 MS ANYADIKE-DANES: As a matter of interest why is it used much less now?

8 DR HAYNES: People perceive that there is less of a need to interfere with what is pretty
9 much a normal physiological reflex. Also if it is for a short operation having a very
10 dry mouth afterwards is not at all pleasant.

11 MS ANYADIKE-DANES: STP?

12 DR HAYNES: Sodium Thiopental, it is a barbiturate, short acting barbiturate, used
13 intravenously to induce anaesthesia.

14 MS ANYADIKE-DANES: Atrac?

15 DR HAYNES: Atrac is an abbreviation for Atracurium which is a non-depolarising muscle
16 relaxant. It is an entirely sensible choice of muscle relaxant for a patient with renal
17 failure. Its elimination is not, elimination of its active form is not dependent on renal
18 or liver function that would degrade spontaneously at pH 7.4 at 37 degrees.

19 MS ANYADIKE-DANES: So we are clear, at the end I am going to ask you what effect
20 you think any of these things contributed to his presentation or his condition but the
21 Atrac though was given, it would appear, five times periodically and it doesn't appear
22 to have been given again after 9.30, why would that be.

23 DR HAYNES: If you give a dose of Atracurium sufficient to cause neuromuscular blockade
24 adequate to allow intubation and surgical incision to take place, the duration of
25 action is about 20 minutes to 30 minutes.

26 MS ANYADIKE-DANES: So does that mean they are topping him up?

27 DR HAYNES: Yes.

28 MS ANYADIKE-DANES: But why would they not be topping him up after 9.30?

29 DR HAYNES: Now, comment and it verges on speculation as to why there was no

1 perceived need to top him up, one would imagine that the surgeon was reaching the
2 end of the operation, I can't remember the exact time but it would be 10 o'clock
3 onwards. But one could speculate that...

4 MS ANYADIKE-DANES: If it helps the anastomoses is at 10.30.

5 DR HAYNES: Well they would be closing up around about 11 o'clock wouldn't they.

6 MS ANYADIKE-DANES: So 9.30.

7 DR HAYNES: I would be, it is speculation.

8 MS ANYADIKE-DANES: Well please don't if you don't want to speculate, I just wondered
9 if there was a reason why as an anaesthetist you wouldn't have given any more after
10 9.30.

11 DR HAYNES: Because there wouldn't have been any perceived need, there is usually a
12 surgical plea for can have I some muscle relaxation when closing an abdomen
13 particularly if a large organ has been, an adult size organ would have been
14 transplanted.

15 MS ANYADIKE-DANES: So the surgeons would usually want it?

16 DR HAYNES: Yes.

17 MS ANYADIKE-DANES: If the closing up happened sometime roundabout 11 o'clock
18 when would you be given it to permit...

19 DR HAYNES: You would be trying as an anaesthetist not to give it because the patient
20 won't breathe at the operation because you have given it, but the surgeon wants at
21 that point of time to assist with muscle closer. However fortunately there was none
22 given since 9.30, so when it comes to saying Adam didn't breathe at the end of the
23 operation I think you can discount the effect of Atracurium.

24 MS ANYADIKE-DANES: Of the range of drugs that he was given is there anything that
25 you can glean from them, how much was given, when they were given it in terms of
26 his condition?

27 DR HAYNES: Yeah, I have got the anaesthetic charts somewhere. The Aug is Augmentin,
28 I presume it is Augmentin. Augmentin 500mg was given according to the
29 anaesthetic chart at just before 8 o'clock in the morning, which fits with the thing

1 here, yeah. And that would be a routine profilactic antibiotic given for this kind of
2 operation. The precise antibiotic depends upon the policies and prevalence of
3 (inaudible) organisms in various hospitals, that is a common kind of drug that we
4 used. What is not listed here is the fact that he received Bupivacaine with Fentanyl
5 in his epidural anaesthetic by infusion, perfectly standard regimen. I fail to see how
6 that could have any influence on his ability or inability to breathe at the end of the
7 operation unless someone had made a huge drug error in the volume of Fentanyl
8 added to the syringe.

9 MS ANYADIKE-DANES: Leaving aside his inability to breathe or not, does any of this
10 account for, I think there was some discussion earlier on about whether his
11 symptoms could be depressed or matters that of sort so you wouldn't necessarily see
12 other things which you would but for how he was treated and anaesthetised, is there
13 anything of significance I suppose is what people are seeking to understand?

14 DR HAYNES: No, I think you can sum this up by saying that you cannot read any
15 significance from the drugs used during the course of his anaesthesia including his
16 epidural anaesthetic.

17 MS ANYADIKE-DANES: Does anybody agree or disagree with that?
18 Professor Gross or is that not your area?

19 PROFESSOR GROSS: Yes, I agree.

20 MS ANYADIKE-DANES: Dr Coulthard?

21 DR COULTHARD: It seems entirely routine, yes.

22 MS ANYADIKE-DANES: Professor Kirkham.

23 PROFESSOR KIRKHAM: Yes, it sounds...

24 MS ANYADIKE-DANES: Well I think we have reached that stage where I think we have
25 got through the agenda unless anybody has anything that they want to say at this
26 stage about what is outstanding. No. Okay, what I would like to do is I would just
27 like to explain a little bit about where we go from here. I have explained some of
28 that to Professor Gross because I wasn't sure how long he could be with us. The first
29 thing is that there are, we provided all of you with a note arising out, it's called "Note

1 to agenda" arising out of the discussion on 22nd February. They are all different
2 notes because you all had different things that you were interested in or wanted to
3 revisit or consider and we have tried to assist you by drawing those together in a
4 note. We are not saying it is comprehensive but from our point of view those seem
5 to be the issues that arose for each of you.

6 You all said that you would like to provide a final report which sort of reflects the
7 discussions, other literature that you have seen, your further consideration of the
8 notes and records and generally anything else. The purpose of this note is really to
9 guide you as an aide-memoire as to where you had got to in the meeting last time and
10 we will try and provide something similar in relation to this meeting.

11 We have also circulated to you, and please somebody let Bernie know if you haven't
12 got it, some further documents that have arisen from just prior to the meeting to date
13 to make sure that all of you have the same thing. So some of you had provided
14 supplemental reports, for example, in relation to Dr Taylor's most recent statement,
15 some of you had provided reports commenting on various matters in Professor
16 Kirkham's preliminary report and the object is to make sure everybody has got
17 everything so that you can see what everybody was saying to add to the debate that
18 you have participated in. There were other articles that were specifically raised, for
19 example the.

20 Seiko article, and we have tried to make sure that those documents are circulated to
21 everybody.

22 We tried to respond to some of what you had said about the risk factors by producing
23 this timeline of things to do with Adam and you should all have that and we have
24 also tried to produce, in chart form, his vital signs and so forth during the course of
25 the actual surgery and you should all have that. So they are draft documents, they
26 are working documents and they are by no means meant to influence you in any way
27 simply just to report information or provide information that you have indicated
28 might be significant. Feel free to use them as you will, we just hoped that they might
29 be helpful for you, we are conscious of the time pressures and the volume of

1 information.

2 If there is anything else that you require by way of information or document please
3 let us know so that we can try and help you with that. We know that your time is
4 short, there are huge pressures to get your reports in so that we can it keep to our
5 timetable in the hearing, but there is also a vast amount of information out there not
6 just in terms of Adam's own medical notes and records but also information from
7 different clinicians and so forth involved. So we are trying to help you and if there is
8 anything that you want to know in the same way as somebody asked last time did he
9 ever have an EEG or ECG, for heaven's sake just ask that question and we will do
10 what we can to get you a speedy turn around on those issues.

11 So that's what we have tried to do to help and what we will carry on doing to help
12 but the upshot of the whole thing is that we require from you the reports that you
13 indicated that you wanted to give us so for the benefit of not just the Chairman but
14 the interested parties and everybody else, we can see where you stand now having
15 had the opportunity to debate with each other things that you all considered to be
16 important and what I need from you is what your time is within which you can
17 provide that report. It maybe that you can't give it to me now which as we speak you
18 want to look at your diaries or whatever it is, but we will need to know that really
19 very soon and I would certainly like to know that by Monday, if you could
20 communicate with the Inquiry Office so that you can indicate when you can furnish
21 your final reports. I can't emphasize enough to you how important it is that we
22 adhere to the timeline so that we can progress into the oral hearings with the benefit
23 of as much and as good quality information as we can. But at the end of the day you
24 are producing the reports so we are dependant on you to tell us when you can do that
25 and if there is anything that we at the Inquiry end to facilitate you. Okay.

26 PROFESSOR KIRKHAM: Can I just ask on that, because there is obviously a bit of an
27 Easter break and you are requiring me in court in May, it would be much, much
28 easier for me to finish this off over Easter when I would have a bit more time but that
29 is going to be too late, is it?

1 MS ANYADIKE-DANES: The difficulty about that is that I need to open the oral hearings
2 so that I can set out, if you like, the landscape of where we are going with this part of
3 Adam's case, the clinical part of Adam's case and other people also who wish to
4 participate in terms of knowing which witnesses they want to question about what
5 and the witnesses themselves knowing about what sort of information they should
6 have ready so that they can assist the Inquiry, really need to know the significance of
7 matters as you see it. And so the sooner you can provide your report the better. But
8 as I say I am not asking you to tell me that now I am sure you have to go away and
9 look at your diaries and think about what your other work commitments are, I would
10 invite you please to try and get that information back to the Inquiry Office by
11 Monday because it makes a difference as to what we do.

12 PROFESSOR KIRKHAM: To be absolutely honest, you are going to have to say when you
13 need it by, I mean I have loads and loads of other things to do and if it can't be the
14 Easter holidays then you just need to tell me when it has got to be done by and I have
15 just got to shift everything else. I mean there isn't any other way.

16 MS ANYADIKE-DANES: That is a very fair answer. Well I think that is probably
17 something that...

18 PROFESSOR KIRKHAM: Then you know you get the best we can do in the time available.

19 MS ANYADIKE-DANES: Okay. Then we will communicate that to you over the weekend
20 and then you can let us know by Monday how we stand in relation to that. Okay. Is
21 there anything else that anybody wants to ask me while we are or anybody else while
22 we are here?

23 DR HAYNES: Can I ask, you think you will be pursuing the issues that I raised before I left
24 about brain stem death diagnosis?

25 MS ANYADIKE-DANES: Well it rather depends what all of you say about it, you have
26 raised it, it is now an issue and I am hoping that you will be able to deal with that in
27 your report so that we can see what you are saying about it and what you think its
28 significance is, both in terms of Adam's case and of practice. I should say that we do
29 have a draft witness schedule which I will go through with you just before we leave

1 here and that will indicate something that might help you about when you are going
2 to be likely to be called upon. Although to answer your question as to what you
3 cover in your reports I am not going to be prescriptive about that at all, I mean you
4 are the experts, you cover the things that you think are significant issues. But I think
5 if you have raised issues I think it would be unfortunate to simply raise them on tape
6 and then not address them, particularly something as new and as difficult as that. I
7 think people would be expecting that matter to be covered, in fact I think it would be
8 very helpful if people did cover it. How you go about it is a matter entirely for
9 yourselves, but the matter has been raised and I think it would be unfortunate that no
10 more was said about it if I can put it that way. Professor Gross is everything clear?

11 PROFESSOR GROSS: Yes, I heard you.

12 MS ANYADIKE-DANES: Thank you very much indeed I think then we can bring an end
13 to the meeting. Thank you very much indeed everybody, I am very, very
14 appreciative of the time that you have given to this and those that have moved their
15 diaries around to facilitate this meeting, I am very grateful to you all. Thank you
16 very much indeed.

17