

1
2 (10.30 am)
3 (Delay in proceedings)
4 (10.37 am)
5 THE CHAIRMAN: Ms Anyadike-Danes?
6 MS ANYADIKE-DANES: Good morning. Could I call
7 Professor Swainson, please?
8 PROFESSOR CHARLES SWAINSON (called)
9 Questions from MS ANYADIKE-DANES
10 MS ANYADIKE-DANES: Professor, you have provided one report
11 for the inquiry in relation to this part of its work,
12 dated 20 August of this year; is that correct?
13 A. Yes.
14 Q. The reference for it is 226-002-001. Is there anything
15 in your report that you wish to amend or change?
16 A. No.
17 Q. Thank you very much. So we can take that as your
18 evidence and then build on it in the course of the
19 hearing today.
20 Do you have your CV there, professor? It should be
21 226-002-029. Perhaps we'll just pull that up. From
22 that, we see that you became a doctor in 1971.
23 A. Yes.
24 Q. And you became a fellow of the Faculty of Public Health
25 in 2002, a fellow ad hominem of the Royal College of

1 Q. So you have some view as to what the change might be
2 in the responsibilities between prior to that and
3 subsequent to it?
4 A. Yes.
5 Q. Thank you. Then, in terms of your administrative rather
6 your managerial roles, you were the clinical director
7 for medicine from 1992 and appointed medical director
8 for the Royal Infirmary of Edinburgh in 1996 and medical
9 director for the Lothian University Hospitals in 1999.
10 And you had a period when you were acting
11 chief executive in 1999 and you returned to that
12 position in 2002; is that correct?
13 A. Yes.
14 Q. How long were you acting chief executive in 2002?
15 A. 2002 was about eight months.
16 Q. Thank you. Then you were appointed medical director to
17 the NHS board in 2003 and that position carried on until
18 2010. In addition to that, you were director of studies
19 for the University of Edinburgh from 1986 through to
20 2006.
21 A. Yes.
22 Q. Then if we look at some of the salient features of what
23 you've done in some of those positions. If we look at
24 030, on the right-hand side, under the NHS board, you
25 had the executive lead for clinical governance, which

1 Surgeons in 2007. We also see your present post is --
2 you have a position as EHealth clinical lead for the
3 Scottish government and you have held that since 2011.
4 You are medical director and vice-chair of the Scottish
5 Advisory Committee on Distinction Awards. Is that for
6 the professionals?
7 A. Yes.
8 Q. And you have had that since 2009. If we turn to your
9 career summary, perhaps we will pull up 029 as well as
10 030. If I ask you just to confirm some of the
11 particular aspects of your career that are of interest
12 to us here or bear on the work that you've done for us.
13 You were a practising clinician and retired from the
14 NHS in 2010.
15 A. Yes.
16 Q. And your particular discipline was in renal medicine; is
17 that right?
18 A. Yes.
19 Q. And you retired as a consultant?
20 A. Yes.
21 Q. And you were elected chairman of the RIE physicians'
22 committee in 1991 and you played an influential role
23 in the 1990 part of the NHS then reforms in developing
24 clinical directorates and preparing for trust status.
25 A. Yes.

1 you shared with the nursing director, and for risk
2 management. And you wrote the healthcare governance and
3 risk management strategies that were approved by the
4 board in 2005 and 2008.
5 A. Yes.
6 Q. And part of your role or task was to ensure that there
7 were effective systems for guideline development and the
8 implications and for the promotion of research and
9 evidence-based medicine. Was that an important part of
10 your role?
11 A. Yes.
12 Q. You say that you also established a research governance
13 framework on reporting and systems for approval and
14 monitoring so that whole system, that of validating the
15 position that you've taken in relation to any given
16 task?
17 A. Yes.
18 Q. Thank you. If we pull up the next page, 031, and have
19 alongside it 032. You go on to say that in the course
20 of your work there you built relationships with the
21 medical Royal Colleges, the local universities, the
22 postgraduate dean and other health boards, as well as
23 the GPs and the community health partnerships and the
24 local departments for social work. How important a role
25 was that for you to build those networks for the

1 hospital?

2 A. That was very important because I was the medical
3 director to a population-based health board, which
4 covered all aspects of healthcare for the population of
5 Lothian and surrounding areas. So building
6 relationships with other important contributors to
7 healthcare in that system was very important for its
8 effective functioning.

9 Q. If we look now with the work that you have done at the
10 national level, you say you were a member of the quality
11 assurance subgroup of acute services review. Was that
12 a rolling programme from 1997 to 1998?

13 A. Yes, it was a little over a year's review of how the
14 acute services in Scotland were to be developed.

15 Q. If we translate that into here, that would include
16 intensive care?

17 A. Yes, that included intensive care units and specialist
18 services such as children's hospitals.

19 Q. And that might include paediatric intensive care?

20 A. Yes.

21 Q. Thank you. You also say that later you worked with the
22 working group that established the clinical standards
23 board for Scotland.

24 A. Yes.

25 Q. And you were chair of the Scottish Patient Safety

5

1 paper, I think in 1997, but we began that work then.
2 And we considered how the NHS in Scotland was to be
3 organised in order to deliver against that framework.
4 So how would we deliver national standards, how would we
5 assess that they were being met, what kind of resources
6 might need to be deployed to achieve that? Those kind
7 of considerations.

8 That led us to establish a special health board in
9 Scotland with responsibility for developing standards,
10 the monitoring and the implementation of those, and the
11 assessment of the trusts in Scotland against those
12 standards.

13 Q. Thank you. So in other words, you really were involved
14 from the very embryonic stage of developing those things
15 right up to seeing how those standards were actually
16 being implemented and what the system was for making
17 sure they were delivering the original objectives?

18 A. Yes.

19 Q. You've a number of peer-reviewed articles, and they're
20 there in your CV for people to see. I was going to
21 identify two in particular. One is published in 1985
22 and it's "The learning process in medical education".
23 The other was published in 2006 and it's entitled "The
24 shape of things to come: the clinician in management".
25 If I ask you about the first point, what exactly

7

1 Programme steering group for the NHS. What exactly did
2 that involve?

3 A. The role there was to try and ensure that different
4 interests and groups came together to fulfil the
5 government's strategy for quality improvement that was
6 extant at that time. That started in about 2009 and we
7 stood that group down earlier this year -- its work has
8 been taken over by others -- but it was essentially to
9 ensure that the government objectives for the Scottish
10 Safety Programme were delivered.

11 Q. And you were also a member of the Health Department
12 clinical governance working group.

13 A. Yes.

14 Q. What specifically did you do or were you concerned with
15 when you were a member of that group?

16 A. That was right at the -- that was at the beginning of
17 the clinical governance. We started with a group called
18 the clinical resource and audit group, which was chaired
19 by the chief medical officer. And in 1996, that group
20 began to consider ways in which the quality of care
21 could be brought into consideration by the new trust
22 boards and by the Department and everybody else as
23 opposed to purely financial and administrative
24 arrangements. And the term "clinical governance" wasn't
25 used until after Donaldson and Scally published their

6

1 were you seeking to deal with when you produced that
2 paper on the learning process in medical education?

3 A. I can't remember at this distance the exact things
4 we were talking about, but the discussion at that time
5 was how best to enable, particularly medical students
6 in the last two years, how to effectively learn and have
7 an effective transition from being a student to being
8 a working doctor. It's been a particular interest of
9 mine over most of this period you're talking about. One
10 of the particular issues in New Zealand was the
11 selection of medical students and how to improve the
12 quality of care for the Maori population, the indigenous
13 population in New Zealand, who were very
14 under-represented in the healthcare professions, and
15 particularly in medicine, so we were interested in that
16 particular piece of work and subsequent work afterwards,
17 when I returned to the UK, to identify means by which
18 Maori students could be selected on grounds other than
19 academic attainment, which was the general standard
20 at the time.

21 Q. And in considering how you could improve the quality of
22 their education, did that extend to how do you integrate
23 what is being learnt at the ward-based level into what
24 they might have learnt at university?

25 A. Yes, because the medical course is very much

8

1 a combination of those things in the latter years where
2 the work all takes place and the learning all takes
3 place in a working environment, supervised by tutors and
4 so on, and the student is building on the theory and
5 concepts they've acquired in the, if you like,
6 university part of their education, and learning how to
7 apply that. One of the concerns that we had is how the
8 final year examinations taken by those students
9 reflected both the academic content of their study, but
10 also the practical implications of what they were going
11 to be doing the following year.

12 Q. Thank you. Then if I ask you about your second paper,
13 which is "The clinician in management"; what were you
14 seeking to address there?

15 A. I think that was largely about anticipating the future
16 and learning how to cope with a variety of things that
17 might happen, ranging from changes in government policy
18 or guidance and how medical directors were to handle
19 that, plus changes in the way doctors worked, the
20 introduction of new techniques, perhaps, and the growing
21 importance of new systems that were actually pretty
22 well-established in the UK by that some time, or
23 certainly in Scotland, particularly around the appraisal
24 of doctors and the assessment of education programmes
25 and their relationship to fitness to practise.

9

1 A. Yes.

2 Q. So although the term was new, the activity wasn't; would
3 that be fair?

4 A. No, the activity was there, but I guess it was less
5 prominent before Donaldson and Scally drew attention to
6 its importance, but it was there.

7 Q. You go on to talk about accountability and you say that,
8 in 2001, there wasn't a statutory accountability for the
9 quality of care to patients, and in your view that
10 probably didn't happen in Northern Ireland until 2003.
11 But that doesn't mean that the trust and the
12 chief executives and, in fact, all of the clinicians who
13 are part of delivering care -- that doesn't mean they
14 didn't have responsibilities in relation to the delivery
15 of that care. And you'll have seen the chief executive
16 at the time, Stella Burnside, has accepted that, that
17 she had that responsibility.

18 A. Yes.

19 Q. What I want to ask you is, having accepted that
20 responsibility, at that level of chief executive, what
21 were the implications of that in terms of the systems
22 and structures that she would need to ensure that she
23 was able to discharge those responsibilities?

24 A. Well, the chief executive of any organisation, and
25 indeed the board, would depend on a flow of information

11

1 Q. Thank you. What I'm going to do now for the rest of
2 your session with us is -- I'm not going to go through
3 each and every item that you address in your report.
4 Your report has been shared, it's published and it is
5 out there and people have had an opportunity to see it.

6 In the course of a number of days' hearings there
7 have been witnesses whose evidence has gone to some or
8 other of the points that you cover in your report, and
9 I'm not going to go through that in any great detail
10 either because the evidence is published in transcripts
11 and the chairman has heard it.

12 What I would like to do is to tease out some points,
13 maybe some themes, with you and ask you to comment on
14 them, and also to add to that your own observations, if
15 necessary, to supplement the points that I put to you.

16 One of the first matters that I'd like to draw out
17 with you is the whole sort of clinical governance
18 context. You did say when you were responding to me on
19 your CV that the term clinical governance really came to
20 public attention with that paper, which Professor Scally
21 was a joint author of. Nonetheless, I think in your
22 report you say that that activity was going on because
23 you had to have activity like that as an organisation in
24 order to know what quality of care you were delivering.
25 Is that right?

10

1 from within the organisation to inform their view. They
2 could not be expected to know the detail of every
3 clinical encounter, for example, in a hospital. But
4 they would need to have a flow of information and
5 summarised views and some numbers that would tell you
6 what's going on.

7 So for example, I imagine there was a very good flow
8 of information from the finance reporting system, which
9 would tell a chief executive about expenditure at quite
10 a level of detail and on a monthly basis. Similarly,
11 for the number of patients treated and the time it took
12 them to be treated, there would be a good flow of
13 information about that because those were major areas of
14 accountability at that time.

15 But in order to discharge a more general duty of
16 care, again the chief executive would require a flow of
17 information, and the kind of sources of information that
18 that might come from would be things like complaints, so
19 if you get a regular review of complaints you can see
20 what the themes and concerns are, and if they're
21 organised by department you can see where there might be
22 hotspots or spots of good practice.

23 Similarly, one of the other areas I think that's
24 important is when national reports or guidance are
25 produced, as they have been since 1948, that's then an

12

1 opportunity for a trust or an organisation to look at
2 its own standards and procedures and see whether those
3 conform to what's being recommended by a reputable
4 professional body. So you can use external references
5 to judge the quality of care as well as getting some
6 flow of information from the inside.

7 In the particular incidence of hospitals in the NHS,
8 of course clinical audit was well-established in the
9 1990s, and most hospitals would have a published
10 programme of clinical audit, a committee which would
11 report on the findings of those audits as well as the
12 number and quantity that were done and where they were
13 done. And again, the conclusions from those audits
14 about whether they were meeting the required standards
15 would be another flow of information that would come
16 through, probably, the professional routes of the
17 medical or nursing director, and it could be brought to
18 the attention of the chief executive or the board.

19 Q. Is it part of the chief executive's role to ensure that
20 she does have adequate channels of communication?

21 A. Yes, it's the channels of communication that are
22 important because that's the vehicle by which you learn
23 what is going on, in both formal and informal senses.

24 Q. So if an event occurs, which you learn about in another
25 way but you should have learnt about it through, let's

13

1 that the trust is not responsible for the quality of
2 care provided to patients, which would be absurd.

3 A. Yes.

4 THE CHAIRMAN: But they were being sued regularly, rightly
5 or wrongly, because of a suggestion that they didn't
6 provide quality care.

7 A. Yes.

8 THE CHAIRMAN: And if they were being sued for failure to
9 provide quality care without having a statutory
10 responsibility for care, it must follow that they did in
11 fact have a responsibility.

12 A. Yes, and I think the chief executive illustrated that
13 pretty well for you in her evidence, but I agree, it's
14 a slightly artificial distinction. And of course, it
15 moves on all the time, so I think what people would
16 regard as their statutory accountabilities in the
17 different countries of the UK with regard to quality of
18 care are very different now from what they were when the
19 legislation or the order was first enacted.

20 THE CHAIRMAN: Not in the sense that the statutory
21 responsibility has changed, but what is expected of them
22 to fulfil that responsibility has changed.

23 A. Yes, exactly so.

24 THE CHAIRMAN: Thank you.

25 MS ANYADIKE-DANES: Then in the light of the evidence that

15

1 just say, clinical audit or you learn about trends which
2 should have come to you through mortality reviews and
3 audits, if you see that that isn't working, if I can put
4 it in those layman's terms, is it part of the role of
5 the chief executive then to adjust the system to make
6 sure that the information is coming through the
7 appropriate channels and she or he is receiving quality
8 information on which they make their decisions?

9 A. Yes, I think that would vary from chief executive to
10 chief executive, but if a chief executive had
11 a particular interest and felt a particular
12 responsibility towards the quality of care in the days
13 before that became the statutory accountability, then if
14 you weren't getting the information that you thought you
15 should be getting then you could enquire as to why not
16 and put in place mechanisms to ensure that you did get
17 it.

18 THE CHAIRMAN: Professor, is the statutory responsibility
19 issue a red herring? Because even without statutory
20 responsibility, if I took that point to its limit and --
21 and I know in Northern Ireland the trusts did not have
22 a statutory responsibility for quality of care until
23 2003 -- that would mean that until 2003, if that's the
24 test for accountability, then a trust could have had
25 a disclaimer up at the front door of the hospital to say

14

1 you've read from the transcripts and the other evidence
2 of witness statements and so on, do you have a view as
3 to whether the trust adhered to the expected standards
4 at that time in 2001?

5 A. I think when you look at the --

6 MR LAVERY: It's a pretty broad question.

7 THE CHAIRMAN: It's a sweeping question and I think, in some
8 ways, you've put it in your report that your view on
9 Altnagelvin Trust is neutral in the sense that they had
10 some failings and some strengths; is that right?

11 A. I think when you look at the published information about
12 how they met particular standards that had been
13 published and were extant at that time, the ones
14 I referred to in particular were the 1992 charter,
15 Health and Social Care, then it's clear that they did
16 not meet two of those standards in this particular case.
17 But my view over their position generally in the
18 firmament of trusts and hospitals across the UK would be
19 that some things they were good at and some things they
20 fell short on, and that would be typical of many
21 organisations.

22 MS ANYADIKE-DANES: In the light of the -- perhaps more of
23 the transcripts that you've read of the evidence that's
24 actually been given, do you have any concerns about the
25 strength of the framework for controls assurance?

16

1 A. Yes, I do. When I took the lead for risk management,
2 I required quite a bit of education and training in that
3 area because my medical training had not particularly
4 prepared me for that. One of the things I introduced
5 very quickly to my own organisation was a risk register
6 and that the risk register should be considered by the
7 executive team prior to the board and then the board
8 would look at it roughly quarterly. The risk register
9 is a very important opportunity to consider carefully
10 the risks that the organisation faces and how you're
11 going to deal with them. So that's one mechanism
12 I would have expected to see more clearly in
13 organisations, certainly by 2001, because risk
14 management had been well developed in the public
15 services since the mid-1990s.

16 Q. When you say you introduced that into your own
17 organisation, was it your experience that a risk
18 register was something that, by 2001, was a fairly
19 commonplace tool?

20 A. Yes. The difference would be, I think, that the risk
21 register's been in existence for quite a considerable
22 time. They were often managed by the finance director
23 and largely refer to matters of finance. The approach
24 I took -- and I know was adopted much more widely at
25 around the same time -- was that the risk register

17

1 to what the channels of information were? But how
2 should the trust have known that there were those sorts
3 of deficiencies in its systems and structures and
4 standards, without waiting for an actual death to occur?
5 What was the means by which the trust would have
6 recognised that they had those weaknesses?

7 A. Well, I think the hospital trust is really no different
8 from any other organisation in that respect. I have
9 already spoken about the usefulness of a risk register,
10 but the key things to me are the fact that you audit and
11 monitor those standards which you believe to be
12 important, and you do that on a frequent enough basis to
13 enable change to occur and then for the chief executive
14 or directors of the organisation and the board be
15 assured that (a) the standards are being met or, if
16 they're not being met, there's clearly a plan to enable
17 the organisation to meet them in the future, and as you
18 do repeated monitoring, you see an improvement in the
19 position. It's really exactly the same as recovering
20 a poor financial position, for example. You can do that
21 with complaints, you can do with that critical incidents
22 and so on.

23 So the second area that I think would be certainly
24 extant at that time would be a review process, a review
25 of complaints and of clinical incidents. Clinical

19

1 actually had to cover the work the trust actually did,
2 which is looking after patients. So there had to be
3 quite a clinical flavour to the risk register in
4 a clinical organisation. So that would be one area.

5 The second is that once you've established that kind
6 of mechanism and once you're clear about the kind of
7 standards you're looking for, you need to monitor
8 against those standards, and you need to monitor the
9 things that appear to be important to you or the areas
10 that you consider to be at risk. I haven't seen a great
11 deal of evidence of that. Whether that was the same or
12 different from other hospitals in Northern Ireland
13 at the time, I couldn't say, but it was not the same as
14 the regime that I was used to and had introduced in
15 Scotland at that time.

16 Q. Well, when we actually come to elements of care, you
17 have identified a number of failings, the trust -- not
18 just you, but also the inquiry's experts have, and the
19 individual personnel within the trust have made certain
20 concessions about elements of the care that was
21 delivered to Raychel. And those failings were at
22 a number of levels: clinical, nursing, governance.

23 But what I would like to ask you is, given that they
24 were happening, how should the trust have known, which
25 is a development of the earlier question I put to you as

18

1 incident reporting has certainly grown since the early
2 2000s, but was in place in many organisations by then
3 and enabled a senior team to be able to look at how many
4 incidents were being recorded, what nature, where they
5 were occurring, and then to be able to see that action
6 was being taken to address them.

7 I understand from one of the transcripts I read that
8 there was a Datix reporting system available in the
9 trust and that's a very well-known, very commonly used
10 system which we had in my organisation, and that gives
11 you a rich source of information about things that go
12 wrong or things that do not meet the standards that
13 people expect.

14 THE CHAIRMAN: Professor, can I take you back? Let's look
15 at one thing in particular. The lack of understanding
16 or knowledge about who prescribed post-operative fluids,
17 which seems, on the evidence I've heard, to be a rather
18 unusual, if not unique system in Altnagelvin, where the
19 anaesthetist did not prescribe the immediate
20 post-operative fluid. How should that gap or failing
21 have made its way to the people who would have done
22 something about it before Raychel's treatment?

23 A. Yes, I have thought about that one quite a bit and I'm
24 not clear what kind of monitoring you could put in place
25 that would report that as a particular problem to the

20

1 executive team or, indeed, to anyone else.

2 THE CHAIRMAN: In a sense, does that need to be raised by
3 the anaesthetist who's unhappy that his understanding of
4 the standard procedure across a number of hospitals is
5 not being followed in Altnagelvin?

6 A. Yes, that could be one way of doing it. The problem
7 with incident reporting and mechanisms of that nature
8 is that, of course, you don't get the opportunity to
9 look at anything until you have an incident.

10 THE CHAIRMAN: Yes.

11 A. It's much more difficult to deal with concerns that you
12 might have about practice which is different from what
13 you've experienced elsewhere or that you regard as
14 uncommon or odd. First of all, who do you talk to about
15 it? Normally, you'd talk to your, if it was
16 a consultant you'd talk to your peers, and in this
17 context the head of department or the clinical director.
18 And then you would expect them to deal with it.

19 But in terms of how you could monitor a situation
20 like that, I find that very difficult unless things
21 happened as a result.

22 MR LAVERY: Mr Chairman, of course we must remember as well
23 what Mr Gilliland said when he gave his evidence that,
24 even in the Ulster Hospital where he works today,
25 there's still ongoing changes in relation to fluid

21

1 a systems failure.

2 THE CHAIRMAN: Yes, but the point of my question to the
3 professor is: how do you identify the systems failure
4 before it becomes an incident? Because we know in this
5 case it's a contributory factor to what went wrong
6 in the care of Raychel after the operation.

7 MR LAVERY: Yes, I accept that, Mr Chairman.

8 MS ANYADIKE-DANES: What went wrong with Raychel has been
9 described in a variety of ways as being a number of
10 things that in her case came together. And if some of
11 those things had been different, the outcome may have
12 been different, but they weren't different and they all
13 happened and they came together and the ultimate result
14 was her death.

15 But of those things that have been criticised or
16 commented on adversely, there may have been ways in
17 which that practice, which has been criticised, could
18 have come to light as opposed to the sort of example
19 that the chairman put to you. If I give you an example
20 maybe you can help or you might be able to think of
21 a better one.

22 For example, there was a real question as to the
23 nurses on the ward effectively being those who were left
24 with the task of having to recognise when they had
25 a sufficiently serious concern to warrant contacting the

23

1 management and they're continually trying to improve.

2 THE CHAIRMAN: I think the problem here, Mr Lavery, is
3 a rather strange one, which is that, in effect, the
4 anaesthetist who was going to prescribe post-operative
5 fluids was advised by nurses "No, that's not the way we
6 do things in Altnagelvin, they're prescribed back on the
7 ward". I'm not sure if that's unique, but it was
8 certainly unusual.

9 MR LAVERY: Yes, I have to accept that and I think it was
10 accepted.

11 THE CHAIRMAN: That's why I'm asking the professor. The
12 professor said in his report, in a number of ways, the
13 critical incident review was sound, and Dr Haynes said
14 that when we were here much earlier in the year. He
15 said there were sound elements to the critical incident
16 review. But if you take it back a step and if there
17 hadn't been a previous incident as a result of the
18 confusion, let's call it that, over who prescribed
19 post-operative fluids, I think the professor's evidence
20 really suggests it's a bit more difficult to see how
21 that gap is picked up in the system to be put right in
22 order to prevent an incident occurring.

23 MR LAVERY: Yes, I think the trust accept that and I think
24 Professor Swainson did say in his report that no one
25 individual can be blamed for that and in fact it was

22

1 surgeon because the surgical patients were patients of
2 the surgical team, and then they had the difficulty of
3 trying to find a surgeon to come and assist them, and if
4 a surgeon wasn't there, they would have to resort to one
5 of the paediatricians, and this was not
6 a paediatrician's patient.

7 That, as I understand it from the evidence, that
8 particular concern of the difficulty of getting hold of
9 the surgeons and the feeling that they were the people
10 who effectively were left making important decisions in
11 relation to post-operative paediatric care is something
12 that nurses had raised. They'd raised that in meetings,
13 the director of nursing was aware of that. If that's
14 a problem and that can be seen as being a risk area for
15 patient care, those meetings that the nurses would have
16 had -- with, first, the senior sister, the sister may
17 have had with the director of nursing -- is there not
18 a channel for that sort of concern to get itself to the
19 chief executive if anybody considers that that is a real
20 risk area?

21 A. Yes, I think you've raised a good example of how
22 a concern that one group of staff have about
23 a particular problem can be raised within the
24 organisation and can be raised with those who would help
25 you resolve it. Whether that particular concern will

24

1 get to the level of the chief executive, I'm not
2 entirely sure, but it would certainly get to the level
3 of the nursing hierarchy and the nurse director, and
4 that would be the opportunity to have a conversation
5 with your opposite number, for example, the medical
6 director, and he can take it down through his systems if
7 you can't do it together at the ward level. But that's
8 a good example of how, without waiting for an incident,
9 concerns about problems in communication or anything
10 else or care could have been resolved.

11 Of course, the extent to which people deal with that
12 depends to a large extent on what the consequences of
13 that difficulty are. If it's portrayed as a difficulty
14 in getting hold of the staff for something which
15 everybody else thinks is very minor, then you can
16 understand that that might not get very far in the
17 organisation. But if it's for something major like the
18 prescription of drugs or the prescription of fluids or
19 some major component of the care, then you would expect
20 that to be taken seriously across an organisation.

21 Q. Thank you. So what I was really asking about is the
22 means by which the trust could have been alerted to the
23 sorts of things that came together in Raychel's care to
24 contribute to her death, how the trust would know about
25 that, and you've indicated there are some ways in which

25

1 improvement in its own practice, and that was very
2 particularly surgeons in critical care, anaesthetists,
3 so it was a national survey, but the recommendations
4 were not national guidelines -- and that's a phrase I
5 think Dr Swainson uses. They were not national
6 guidelines, they were not adopted by the Department and
7 commissioners and used as a parameter of quality
8 measurement."

9 That's a chief executive's take on the significance
10 of NCEPOD. I wonder if you'd like to comment on that.

11 A. I think that the way she's expressed that is probably
12 accurate from the point of view of a chief executive,
13 but I would take a slightly different view from the
14 point of view of the healthcare professionals involved
15 and, by implication, the rest of the organisation.

16 My view about all of the confidential enquiry
17 reports is they are all voluntary and they were all
18 non -- statutory until they were taken over by the
19 National Institute for Health and Excellence, three
20 years ago, I think. Their recommendations were all
21 about national guidance, they were not mandatory to
22 anybody in the United Kingdom. And they weren't
23 guidelines, they were national guidance based on the
24 recommendations of a professional group who had looked
25 at the deaths or serious complications of care. In this

27

1 they would know about some of those problems and other
2 problems they may not have known about until you
3 actually have the incident.

4 Of course, when you do have the incident you have an
5 opportunity to examine that closely, identify all those
6 different strata that have come together and that,
7 presumably, is part of what feeds into any change in
8 practice to avoid that happening again, and that's the
9 way that works.

10 A. Yes.

11 Q. That's the point the critical incident --

12 A. That's the purpose of a review, yes.

13 Q. Then if I can ask you then about knowledge. You have
14 mentioned in your report particularly NCEPOD and the
15 reason I raise that is because obviously that became
16 an issue in the course of the surgical clinicians giving
17 their evidence as to the extent to which they were aware
18 of it and its implications for practice and therefore
19 the decisions that were made around Raychel's own care.

20 When the chief executive, Mrs Burnside, was giving
21 her evidence, it was 17 September, page 49, starting at
22 line 3, but we don't need to pull it up. What she said
23 was in relation to NCEPOD:

24 "It was voluntary, it was anonymous reporting. It
25 was a profession trying to improve and influence the

26

1 case, following surgery, but there are confidential
2 enquiries into childbirth and so on as well that you may
3 be aware of.

4 I don't believe any doctor in the United Kingdom
5 would ignore these. These are professional
6 recommendations aimed at improving the quality of care,
7 which is something that every doctor, nurse, healthcare
8 professional, I think, is interested in. I'm very
9 surprised that people said they didn't know about them
10 because they are widely published, they are widely
11 distributed. My understanding is that they always go to
12 the medical director of an organisation, that they go to
13 the Royal Colleges, that they go to the people on the
14 ground who have contributed to those reviews, so if
15 you're a local reporter, as they're often called,
16 contributing information about deaths or complications
17 then you would also get a report.

18 I think they're very important benchmarks, they're
19 very important ways in which you can examine your own
20 standards and processes within an organisation when you
21 don't necessarily have the resources to do that all the
22 time, covering all those fronts. These are extremely
23 useful summary views.

24 Q. When you held a managerial role, or even when you were
25 senior consultant in your hospital, what would happen in

28

1 your hospital when the NCEPOD report was published?
2 A. The NCEPOD was -- a number of national audits and other
3 reports and would come into my organisation. They were
4 disseminated to the relevant clinical directors or
5 equivalent, and the expectation was -- in fact the
6 requirement, as far as I was concerned, was that these
7 reports would be reviewed and discussed and then each
8 department affected would respond as to how it was going
9 to approach these recommendations, whether it was going
10 to adopt them entirely, whether they had already adopted
11 that practice, whether there were some they were going
12 to adopt of the recommendations and some perhaps they
13 couldn't, whether there were resource implications,
14 because that was important to me as a director to ensure
15 that those resources were then made available, and any
16 other implications for the organisation.

17 And in general, those reports were acted upon.

18 I can only remember a very small number of occasions
19 when the response to a report of that nature, a CEPOD
20 report, in fact, was delayed or appeared tardy. The
21 vast majority of directorates and, if you like, clinical
22 units would respond to those usually within two to three
23 months at the most.

24 Q. Would you have been surprised or even concerned at
25 a senior consultant surgeon not being aware of them, not

29

1 MR QUINN: Mr Chairman, can I just make a point here?
2 I recall, Mr Chairman, what you said at an earlier stage
3 about these recommendations, and that was -- you
4 asked -- I can't remember which witness it was, but you
5 did ask very clearly -- if they couldn't implement these
6 recommendations because of budget constraints, should it
7 be noted somewhere, should it be noted and logged in the
8 hospital records somewhere? Perhaps that question, for
9 completeness, could be asked again.

10 THE CHAIRMAN: Professor, what you said a moment ago in
11 terms of each relevant department responding to the
12 recommendations was that one of the options was to say,
13 well, we can do it in part, but we can't do something
14 else because there are resource issues. Then somebody
15 would look at the resource issues and decide whether
16 there is enough room for manoeuvre on those to
17 re-organise or to bring in somebody new or,
18 alternatively, just to say, "Unfortunately, we can't do
19 this". I think the question being asked is, in that
20 event, would you expect to find some sort of exchanges
21 on that and some sort of paper trail? It doesn't need
22 to be prolonged, but you would expect to find something?

23 A. Yes, there may be many reasons why a recommendation
24 couldn't be implemented, but if -- the view I would take
25 is that if you can't do something and you make that

31

1 having any sort of discussion with his team as to their
2 implications for practice? Would that have surprised
3 you?

4 A. Yes.

5 Q. And concerned you?

6 A. Yes, it would. The Royal College of Surgeons strongly
7 supports the National Confidential Enquiries with
8 respect to surgery, as do the other Royal Colleges for
9 the ones that pertain to them. So I find it surprising
10 that a fellow of the college would not be aware of the
11 report, even if they hadn't been sent a personal copy.

12 They're also well trailed in the medical press. The
13 British Medical Journal, for example, would always refer
14 to them and probably have an article or editorial
15 describing the main findings.

16 Q. Altnagelvin itself had two contributors to the work.
17 That's how it operates, isn't it?

18 A. Yes.

19 Q. There's local contributors who gather the information,
20 which is then going to be submitted. One of them was
21 a consultant surgeon, which is Mr Bateson, as you
22 probably know, and then there was Dr Hamilton, as the
23 consultant anaesthetist, and they were the Altnagelvin
24 local contributors.

25 A. Yes.

30

1 clear --

2 THE CHAIRMAN: And you go as close to it as you can do?

3 A. Yes.

4 MR LAVERY: Dr Nesbitt, Mr Chairman, said during the course
5 of his evidence that in a hospital the size of
6 Altnagelvin, a district general hospital, the
7 consultants would have known each other, there was
8 a good working atmosphere, there was a good relationship
9 within the hospital. And effectively although a lot of
10 the staff may not have been aware of the
11 recommendations, they were effectively being put into
12 effect.

13 THE CHAIRMAN: Dr Nesbitt said that, but Mr Gilliland said
14 he wasn't aware of the recommendations.

15 MR LAVERY: He did say that, yes.

16 THE CHAIRMAN: I'm not sure those two pieces of evidence can
17 stand together. I can't accept Dr Nesbitt's evidence
18 that there would have been discussions and so on if
19 Mr Gilliland said, "I didn't know about them in the
20 first place".

21 MR LAVERY: Yes, but it was put to Mr Gilliland also in the
22 context of perhaps more junior doctors being scared, if
23 you like, to contact him, to call him at home over the
24 weekend and he says that wouldn't have been the case.

25 THE CHAIRMAN: If that isn't the case, it rather proves the

32

1 point because if he had been alert to the NCEPOD
2 recommendations about surgery being conducted by junior
3 surgeons and they weren't afraid to call him, then the
4 reason they didn't call him, it seems to me, is there
5 wasn't a system in force because the NCEPOD
6 recommendations just had not been followed, full stop.
7 Isn't that right? I don't doubt that Mr Gilliland would
8 have been disturbed from time to time at home and that's
9 unfortunately part of the job of a surgeon and many
10 other specialists, you are contacted at home and your
11 staff aren't scared to contact you. But if you're not
12 being contacted about late-night surgery for
13 a 9-year-old girl to have her appendix removed, a reason
14 for that in Raychel's case seems to be that the NCEPOD
15 recommendation was just not -- certainly not followed
16 and, query, was its existence known of at all?
17 MR LAVERY: Mr Gilliland has said he didn't know of the
18 existence of the recommendation, but Dr Nesbitt, when he
19 gave his evidence, said that always in his experience
20 a junior doctor, if he had a concern, would contact the
21 consultant. But in this case there was no concern and
22 Raychel was in the hands of more experienced junior
23 doctors.
24 THE CHAIRMAN: Yes.
25 MS ANYADIKE-DANES: Mr Chairman, the point that my learned

33

1 registered it regrettable that there wasn't a clear
2 framework from the Department that would have ensured
3 that serious clinical incidents were reported by trusts
4 and disseminated to the other trusts. By "the
5 Department", do you mean the Department of Health?
6 A. Yes.
7 Q. What might that framework have been that would have
8 achieved that so far as you're concerned?
9 A. The context here is how do organisations in a common
10 health service learn and are able to take action to
11 prevent serious complications or deaths? And given that
12 you have a system where there are a number of
13 independent organisations that have no particular duty
14 to talk to each other about these things, it seems to me
15 that you do need a framework in place to be able to
16 share serious information and to share learning.
17 In hindsight, it's kind of easy to see that over the
18 passage of time with the various cases you've been
19 talking about -- that's why I said it was regrettable
20 that there wasn't a system in place. But in Scotland,
21 all I can refer you to is what we had there at that
22 time, which was that the chief medical officer, who met
23 regularly with the trust medical directors, one of the
24 discussions we had was exactly about this: how do you
25 share information about things that go seriously wrong

35

1 friend Mr Quinn put, that was actually a point that was
2 drawn out of Dr Nesbitt in his evidence on 3 September.
3 It starts at page 72. What was put to him is:
4 "Where a view is taken not to adhere to the
5 recommendations of, for example, NCEPOD, that view
6 should be noted and authority taken from the board about
7 not following it."
8 And what Mr Nesbitt said in response is:
9 "That didn't happen. It's a very valid point.
10 I wouldn't argue with it."
11 So he was, I think, acknowledging the point that has
12 been put to you, Professor Swainson, that if for very
13 good reasons, which presumably the organisation can
14 stand over, it's not going to follow a particular
15 recommendation from NCEPOD, then that's recorded and
16 everybody understands, we're not doing this and, more to
17 the point, understands why we're not doing it so, if
18 circumstances change, that matter can be reviewed to see
19 whether we want to adhere to our current position or
20 maybe the time is now when we will work to bring that
21 recommendation into force. Would that accord with what
22 you would understand as practice?
23 A. Yes, that would be good governance, in my view.
24 Q. Thank you. In your report -- we don't need to pull up
25 the particular section, but it's at 226-002-010 -- you

34

1 in order that others can benefit from that? And the
2 system we adopted was that we would let him know,
3 we would let his office know and send in a brief summary
4 of what the case was and that would be disseminated to
5 the other trusts in the country.
6 THE CHAIRMAN: I presume, professor, like in all of these
7 things, you then have to take a view on how serious the
8 incident is before you report.
9 A. Yes.
10 THE CHAIRMAN: Otherwise you could end up reporting
11 everything and that becomes counterproductive.
12 A. Exactly.
13 THE CHAIRMAN: When you say you were discussing that with
14 the Scottish CMO and that led to a system being put in
15 place, can you put a timescale on that? Roughly when
16 was that system put in place? Because we know, to be
17 fair to Altnagelvin, they did report Raychel's death to
18 the Department.
19 A. Yes.
20 THE CHAIRMAN: So this is an example of such a system
21 working.
22 A. Yes.
23 THE CHAIRMAN: Was that in place in Scotland, to the best
24 that you can recall, before 2001?
25 A. I think it was at around that time. I'd have to go back

36

1 and check exactly, but it was around that kind of time.
2 THE CHAIRMAN: Thank you.
3 A. And it was, as you say, aimed towards particularly
4 serious issues and especially death, preventable death.
5 THE CHAIRMAN: Yes, perhaps a death or perhaps some other
6 serious incident from which lessons could be learnt
7 across the board --
8 A. Yes.
9 THE CHAIRMAN: -- rather than just within a hospital.
10 A. Yes.
11 THE CHAIRMAN: Okay.
12 MS ANYADIKE-DANES: And if we look at information sharing
13 from the perspective of the Children's Hospital or the
14 trust within which it formed part, in your report you
15 refer to the fact that:
16 "The Children's Hospital was an independent
17 organisation and that, as such, it had no obligation to
18 report ..."
19 I'm now reading directly from your report. It
20 starts at 226-002-009, but we don't need to pull it up:
21 "... with no obligation to report changes in
22 clinical practice to other paediatricians in
23 Northern Ireland or elsewhere."
24 You go on to say:
25 "It had no duty to share changes in thinking or

37

1 Services boards.
2 THE CHAIRMAN: Yes.
3 A. There will be regular review meetings of how that
4 commissioning contract was doing. There would at least
5 be an opportunity there to mention any serious issues of
6 quality that were occurring. So, for example,
7 unexpected deaths might have arisen in that
8 conversation. But apart from that very formal
9 mechanism, which might or might not have delivered that,
10 depending on who was present and their view, I still
11 think that there was a professional responsibility to
12 share matters of serious concern where you are the
13 expert in the field or at least you're the best there is
14 available and you would appreciate that other
15 practitioners would not have the same level of knowledge
16 or insight that you do, or indeed may not have seen the
17 consequences of what happened because they weren't
18 in the single specialist unit where the case arrived.
19 If I can give you an example from my own practice.
20 Before I was medical director, I was the lead consultant
21 in renal medicine in my only unit and we had an incident
22 where we strongly suspected poisoning from a particular
23 batch of filters used in dialysis treatment, and we
24 suspected that these were defective and effectively
25 contamination was coming in from the water supply.

39

1 practice."
2 But you qualify that by saying:
3 "I would have thought that there was a professional
4 obligation to share significant changes in practice with
5 other colleagues in the Province, particularly if the
6 change is driven by an adverse incident. After all,
7 it is the only specialist paediatric centre in
8 Northern Ireland."
9 I don't know if you've had an opportunity to
10 consider what the commissioning relationships were with
11 the Children's Hospital or, more specifically, with
12 paediatric intensive care, which was a service that was
13 provided throughout the region. If you've got
14 a hospital or a centre that provides that kind of
15 service, and in fact is commissioned to provide it, does
16 that change, does that bring with it any kind of greater
17 duty to share information from within that specialism to
18 district hospitals for whom that might be important?
19 A. I think so. I have not seen the details of the
20 commissioning document, but if you -- commissioning
21 services at that time included some consideration of the
22 quality of the service. So I think there would be an
23 opportunity in the commissioning process when the
24 provider organisation meets with the commissioners, who
25 I think in this case were the four Health and Social

38

1 We immediately alerted the department to that
2 happening and telephoned all of the other units offering
3 dialysis in Scotland at that time -- there were only
4 five, so it wasn't too difficult -- to let them know
5 this particular batch of filters was suspect. That's
6 before we really knew whether they were, it's just that
7 that was our immediate recognition of the problem which
8 led us to suspect the filters and immediately put that
9 in train. We felt we had to do that because we were
10 in the position of having that specialist knowledge and
11 experience and it was important to share it.
12 MS ANYADIKE-DANES: You'll know from having read the
13 evidence that there is an issue as to whether at some
14 point the Children's Hospital changed its practice
15 in relation to the use of Solution No. 18.
16 A. Yes.
17 Q. I don't want you to comment on that in particular, but
18 just to use this as an example. If that had happened
19 because of concerns that some children, or the category
20 of children, might be at risk to developing dilutional
21 hyponatraemia in certain circumstances with that fluid,
22 and that had resulted in the Children's Hospital
23 therefore no longer using that fluid, is that the sort
24 of thing that was sufficiently important, sufficiently
25 relevant to the practice in the district hospitals,

40

1 which you think that a paediatric centre like the
2 Children's Hospital ought to have disseminated or
3 communicated?
4 A. Yes, I think that's a good example of the kind of thing
5 that could have been. A good deal depends on the
6 context. So if, for example, the context is one where
7 you believe children are being harmed by the
8 administration of this particular fluid and you
9 therefore review the literature, which you know at that
10 time had raised a number of concerns -- although there
11 wasn't a definitive position, I think, agreed at that
12 time, then -- and you decided to change the fluid used
13 in the post-operative management of children and indeed
14 withdraw it from your pharmacy to make sure it couldn't
15 be used, when you do that because of serious problems
16 you had encountered with children post-operatively,
17 that's the kind of thing I think you would share with
18 other colleagues in a way that would alert them to the
19 problem. So not to criticise them for the use of the
20 fluid, not to raise undue alarm, but just to say, "We've
21 carefully considered this, we have changed our practice
22 and we think you should know that (a) we've done it
23 and (b) this is why we have done it".
24 Q. Yes, so in a way you're not necessarily being
25 prescriptive about what they should do, what you're

41

1 in that way informally, but is it also something that
2 the hospital itself might communicate more formally than
3 that?
4 A. Yes, I think, again, it depends on the seriousness of
5 the issue. If it's in relation to things like perhaps
6 supply or cost or labelling or something of that nature,
7 then you might not take such a formal position. But if
8 it's in relation to the safety of people under your care
9 or the quality of care you're giving and you're aware of
10 a serious potential adverse event that might not be
11 common but is clearly linked to the use of whatever
12 it is you're using, then I think that is a more serious
13 and important professional obligation.
14 Q. Thank you. Then sticking with sharing of information
15 from the perspective of the Children's Hospital, in
16 these cases the Children's Hospital was either the
17 hospital where the children started, so they were
18 admitted to that hospital, or they were transferred from
19 a district hospital because it has the only paediatric
20 intensive care in the region. So when that happens and
21 the child, although legally dying in PICU itself, but
22 nonetheless all the damage, if I can put it that way,
23 has been done in the transferring hospital and the
24 specialists in PICU have an opportunity to consider the
25 care that was delivered that has contributed to the

43

1 doing is your are communicating to them what you are
2 doing and why you are doing it.
3 A. Yes, you are sharing information, you are spreading the
4 learning, you are using your unique centre of expertise
5 to help the rest of the medical community.
6 THE CHAIRMAN: There's one argument that that's easier to do
7 in a comparatively small community like
8 Northern Ireland, so the opportunity to do that is
9 perhaps better here than you have in Scotland and
10 perhaps easier in Scotland than it is to do for England
11 or Wales -- or certainly for England.
12 A. Yes, that's probably true. In Scotland, as I'm sure in
13 Northern Ireland, you have at least annual meetings of
14 small specialty groups of the doctors concerned in
15 a particular specialty, and that might be quite a small
16 number of people. You probably know them all quite
17 personally. So there is a good opportunity, informally
18 or at a meeting of that nature or whatever, to share
19 information like that.
20 THE CHAIRMAN: Thank you.
21 MS ANYADIKE-DANES: In addition to doing so informally,
22 which might happen when one's seen the product of
23 a mishap in relation to it from a transferring hospital
24 or it might happen in one of these small groups that
25 meet periodically throughout the region, it could happen

42

1 death from that referring hospital, what sort of
2 obligation do you think that those specialists have to
3 communicating back to the transferring hospital their
4 views as to what happened whilst the child was receiving
5 care from them? Not necessarily in a blame way, but
6 an analysis of how the child developed the ultimately
7 fatal condition.
8 A. I think there are two very important channels of
9 communication that would normally be used. The first is
10 a formal one, which is the discharge summary from the
11 hospital where the child dies back to the referring
12 hospital and copied also to the child's general
13 practitioner. That's a fundamental aspect of recording
14 care and of what has happened to a patient. So the
15 discharge summary might be written quite circumspectly,
16 but it should be quite clear that if there is a major
17 complication of care that's occurred, that that should
18 be highlighted to the -- simply for the purposes of good
19 communication so that the doctors who referred the
20 patient understand what exactly has happened or at
21 least, in this case, the Royal Belfast Hospital's
22 interpretation of that.
23 The other important aspect of the discharge summary,
24 which is I think is very relevant, is that the general
25 practitioner gets the same summary of information which

44

1 enables them to be able to discuss that with the family.
2 For example, when they begin to enquire. General
3 practitioners are often the first person that a family
4 may speak to, the first professional the family they
5 speak so. So that's one aspect.

6 The second is perhaps less formal and probably on
7 the level of a conversation, at least to begin with, and
8 possibly followed by a meeting if that was considered
9 appropriate, where the doctor who's been responsible for
10 the care in the final hospital has a conversation with
11 the doctor who referred the patient -- or doctors, if
12 there's more than one -- to explain to them the final
13 diagnosis and the causes of what happened and explain
14 that in a rational and entirely professional way to
15 enable people to ask relevant questions and to enable
16 people then to review the practice and the care that
17 occurred to that particular child and take steps to
18 prevent it happening again.

19 So I think the communication from the final hospital
20 where the child dies back to the referring hospital
21 should be occurring at those two levels.

22 Q. On that discharge summary, if it's going to perform that
23 role, that sounds like a summary that should be compiled
24 after perhaps the notes have been considered, so that
25 some sort of informed view can be given as to what the

45

1 up in either a formal or an informal way with the
2 referring hospital. Do I gather from the essence of
3 what you've said over the last few minutes that that's
4 just not good enough?

5 A. I find that really very surprising.

6 THE CHAIRMAN: I mean, I have to say to you, a particular
7 concern that I have about that is that if the
8 Children's Hospital will not identify and raise those
9 issues with the referring hospitals, what chance is
10 there that doctors who are somewhat detached from the
11 Children's Hospital -- what chance is there that the
12 Children's Hospital will do that internally when the
13 death is as a result of some inadequate standard of care
14 within the hospital?

15 A. Yes.

16 THE CHAIRMAN: To put it crudely, if you're not going to
17 turn in people who you don't know very well, you're not
18 going to really face up to it with people who you work
19 with every day.

20 A. Yes, I would exactly agree with that. I can perhaps
21 give you an example of my own practice which dates back
22 to, I think, 1990 or 1991, before I ever became involved
23 in medical management. One of the problems that faced
24 kidney doctors at that time was a problem of over dosage
25 of a drug called gentamicin. It's a particular class of

47

1 specialists think has happened.

2 A. It'd be very helpful to have the notes or to have
3 records of the treatment that's been given, sometimes
4 perhaps in summary form, but yes, it'd be certainly
5 helpful to have the notes. And in the case of a death,
6 you would probably want to write that letter after you
7 had at least a preliminary post-mortem report, if not
8 the final post-mortem report.

9 Q. And that discharge summary or the letter that
10 communicates the views of the specialists, is that
11 a document that you would anticipate, when it's received
12 at the transferring hospital, then becomes part of their
13 critical incident review, because that's something that
14 they're going to consider in addition to their own
15 investigations as to what happened?

16 A. Yes, it certainly feeds into that process.

17 THE CHAIRMAN: In short, professor, in the last two cases,
18 I'm looking at, in slightly different ways, Lucy who was
19 transferred from County Fermanagh to Belfast, and
20 Raychel who's transferred from Derry to Belfast. The
21 evidence I've heard is that in both cases there were
22 significant concerns in the Children's Hospital in
23 Belfast about the standard of care provided.

24 A. Mm-hm.

25 THE CHAIRMAN: But that was not, on the evidence, followed

46

1 antibiotic which, if given in excess, results in damage
2 to the kidneys. We would get patients from referring
3 hospitals with serious illnesses because they required
4 an antibiotic, but they were given excessive doses of
5 the antibiotic and developed kidney poisoning. In
6 several cases they developed severe and permanent damage
7 to the middle ear, so they lose their sense of balance.

8 On every occasion, we would not only spell that out
9 in a discharge summary quite clearly back to the
10 referring hospital, that this was a problem that had
11 caused the kidney problem we were treating and needed to
12 be addressed, but we would follow that up with a phone
13 call to the referring consultant to explain that in more
14 detail, to go through it, so they would understand the
15 importance of monitoring kidney function at the time
16 they give such an antibiotic.

17 THE CHAIRMAN: Thank you.

18 MS ANYADIKE-DANES: Thank you.

19 The only document that I think we've been able to
20 find from the Children's Hospital that might be
21 construed as seeking to summarise for external purposes
22 what happened is the inpatient/outpatient advice note.
23 That can be seen at 317-041-001. This format of this is
24 structured to go to the doctor.

25 A. Yes.

48

1 Q. So therefore, this is the information that the
2 Children's Hospital will be providing, and this is what
3 is recorded in relation to Raychel. If this was going
4 to go to Altnagelvin or even to the GP, for that matter,
5 for the purposes of educating them as to how the
6 specialists at the Children's Hospital saw what had
7 happened to her, is this the sort of thing you had in
8 mind or did you have in mind something more detailed?
9 A. No, this is what I would call an immediate discharge
10 summary, in this case an advice note, which is written
11 almost immediately after the person is discharged or, in
12 this case, died, which gives a very brief summary of
13 what happened. And I think you can see that under the
14 comments section. But it says nothing about how that
15 arose or what the possible significance of that was.
16 A discharge summary would be in the form of a more
17 considered letter or pro forma with a degree of
18 commentary, which would enable the doctors receiving it
19 to understand not just the bald facts which are recorded
20 there, but what gave rise to that particular sequence of
21 events and the importance, perhaps, of some of the
22 underlying treatment or other things that had occurred.
23 Q. So that kind of information, irrespective of the form
24 it's put on, that kind of information goes to
25 Altnagelvin, that feeds into their process and assists

49

1 have or ought to have, in line with the standards
2 prevalent at the time, compiled information, data, on
3 the outcomes for the patients in paediatric intensive
4 care.
5 The Paediatric Intensive Care Society produced
6 standards in 1996. We have seen them here. The
7 reference for them is 315-015-015. I'll just see
8 if we can pull that up -- yes. So this is the 1996 and
9 it has come up at this stage because this is just the
10 particular place. It deals with data collection and
11 audit.
12 If you see there, it says:
13 "In order to assess the performance of an intensive
14 care unit, it is necessary to collect information and
15 undertake audit."
16 Then it goes on to deal with the sort of thing or
17 the sort of details that should be collected:
18 "Details of all admissions, collection of patient
19 data, analysis of morbidity and mortality. In addition,
20 data should be collected with particular attention to
21 age, previous health status, duration of stay,
22 diagnosis, diagnostic category, severity scoring, nurse
23 dependency scores, therapeutic procedures, outcomes and
24 complications."
25 So a whole raft of information, which, according to

51

1 them, that kind of information goes to the GP, who is
2 therefore a resource point for the family, presumably
3 they have -- usually families have a better relationship
4 with their GP than they do with the specialist.
5 A. Yes.
6 Q. Their GP can take them though it, particularly in
7 a fatality where there's all sorts of sensitivities
8 about when and how you can communicate information, work
9 through it with them and help them, insofar as it can be
10 done, understand why their child died.
11 A. Yes.
12 Q. That would be the importance of allowing the GP to have
13 that kind of information --
14 A. Yes, exactly.
15 Q. -- and deal with any questions and all that sort of
16 thing?
17 A. Yes.
18 Q. Thank you. And would that be irrespective of whether
19 the hospital had in mind having a meeting with the
20 family? Would you still provide the GP with that kind
21 of information?
22 A. Yes. Yes, of course.
23 Q. Thank you. Just staying with the issue of information
24 and the Children's Hospital specifically. What I want
25 to ask you about is how the Children's Hospital might

50

1 this standard for Paediatric Intensive Care Society,
2 ought to be being collected. This is 1996, of course.
3 By 2001, in your experience, was that kind of data being
4 collected in paediatric care units throughout the rest
5 of the United Kingdom?
6 A. Oh, I don't know about the rest of the United Kingdom,
7 but that's the kind of data that was certainly collected
8 in both adult and paediatric intensive care units in
9 Scotland. Certainly the one I was responsible for.
10 Q. So if one highlights in particular the analysis of
11 mortality, to what extent, if you were collecting
12 information in relation to that, would you be able to
13 identify whether a condition like hyponatraemia had been
14 implicated in the child's death?
15 A. I think the purpose of the collection of data is then to
16 be able to analyse it and to draw appropriate
17 conclusions in order to improve the care of these very
18 sick children or adults. So it's the analysis of the
19 data that's really important. In my experience, the
20 analysis would usually focus on two kind of aspects.
21 One would be on the common things that are going on
22 in the intensive care unit, so if there were common
23 complications, for example, of a chest infection
24 following the insertion of a tube into the trachea, then
25 if that was a particular problem, particularly if your

52

1 trend analysis showed it was getting worse, then that
2 would trigger a whole discussion and further examination
3 of why were we getting more of that complication. And
4 you'd put some actions in place and you would expect, as
5 your monitoring continued, to see that either
6 stabilising or, hopefully, coming down and being
7 resolved.

8 So the analysis of all this certainly focuses on the
9 common things that are going on with the majority of
10 patients, but they'd also focus on the unusual. So if
11 you get unusual complications of care occurring then the
12 doctors -- most doctors I know undertaking this analysis
13 would spot that and if they began to collect one or two
14 or three events over the course of a number of years
15 they would want to draw that to everyone's attention.

16 Because the rare things are very important
17 because (a) they don't happen very often so you need
18 a period of time to collect them. But secondly, if
19 they're rare and fatal, it really is important to try
20 and put something in to place to prevent them happening.
21 You really want to understand that situation rather
22 better.

23 So that, in my experience, is what the analysis of
24 these audits would have concentrated on.

25 Q. And if you were collecting information like that, how

53

1 often would somebody be reviewing it? Because it's all
2 very well to collect it, but in order for it to be of
3 any use, somebody has to be looking at it, understanding
4 what it means and interpreting it.

5 A. The major analysis would be carried out, I'd imagine,
6 every year. The majority of intensive care units -- in
7 fact all of them in Scotland at least and, I think,
8 across the UK -- will prepare an annual report, which is
9 nowadays publicly available, probably not in 2001, but
10 certainly available within the institution and across
11 the healthcare system. So that would be annual. But
12 there's plenty of opportunity during the course of any
13 one particular year, if an unusual number of odd things
14 happened, for the person looking at that data to alert
15 their colleagues to the potential for something unusual
16 going on.

17 I think most of the doctors who maintain these
18 databases -- there are two things. One is they'd
19 probably look at the data every month to see if there's
20 anything odd happening, but secondly, as they're the
21 ones who often input the data or validate it when others
22 are putting it in, they would spot something unusual at
23 or soon after the time it was entered or noted.

24 Q. There was a report done on paediatric intensive care,
25 the "Framework for the Future" report --

54

1 A. Yes.

2 Q. -- which was a report that was considered in
3 Northern Ireland as well. It was a report for the
4 National Coordinating Group on Paediatric Intensive
5 Care, specifically to the chief executive of the
6 NHS Executive, but the outworking of it were shared in
7 Northern Ireland as well. 1997 is the date of the
8 report.

9 If one goes to 315-016-054, this is how the report
10 deals with audit and research here. It talks about the
11 implications for audit and the requirement to build up
12 a picture of the current pattern of care for critically
13 ill children within that area. The second significance
14 of audit is:

15 "It relates to ongoing clinical audit of the
16 standards of care being provided."

17 Then it goes on to -- if we go over the page to
18 055 -- how you're going to do that, and I think this
19 echoes something of which you have said. If one looks
20 at paragraph 116 it talks about clinical audit. They're
21 saying that's well-established in 1997. The view was:

22 "All those providing paediatric intensive care
23 should collect, as a matter of routine, information on
24 case-mix, including illness severity, method, type and
25 source of admission, the mean and median length of stay,

55

1 main therapeutic interventions and the outcome for
2 critically ill children who have been treated in the
3 hospital."

4 And of course, the outcome might be death.

5 Then over the page, at 056, it goes on to develop
6 that by saying that, at present, the only outcomes that
7 they were at that stage recording and considering were
8 mortality or survival. But then they go on to want to
9 drill down a little bit more into the data to look at
10 how the care has reflected the quality of life, which is
11 an even more subtle thing to try and assess.

12 So if that was happening in 1997, or at least that
13 was what was thought ought to be happening, what
14 you have just been describing to the chairman as the
15 benefits of doing it and what you would anticipate was
16 going on, is that something that would relate to 2001?
17 The systems that you described in relation to paediatric
18 intensive care, data collection, how that would be used,
19 are we talking about 2001 or are we talking about 2013?

20 A. No, I think we would be talking, certainly in the early
21 2000s, that a majority of units would have responded to
22 that report very positively and started collecting the
23 data. It depends partly on how well they were set up
24 for data collection in the first place. There is a cost
25 to collecting data, so the more data you collect then

56

1 you have to consider whether the people working in the
2 unit can collect it at the time or whether somebody has
3 to be given particular time to do it or whether indeed
4 somebody else is employed to input it, in a very large
5 adult unit, for example.

6 But by certainly 2001 to around that time, I would
7 have thought that the majority of intensive care units
8 would have been collecting that level of data, and
9 certainly they'd be collecting data on morbidity and
10 complications as well as mortality. And they would be
11 collecting some process data in terms of treatment that
12 was given. That might have focused on the respirator
13 side of things, but would probably also include
14 antibiotics and common drugs that were given.

15 Q. When you talk about the costs of -- all these things
16 have costs in the same way as you discussed with the
17 chairman the cost of perhaps implementing all of
18 an NCEPOD set of recommendations. But does that not
19 require decision-making?

20 A. Yes.

21 Q. Somebody makes a decision as to what is the kind of data
22 that we're going to collect --

23 A. Yes.

24 Q. -- and so somebody has to or a group of people have to
25 turn their minds to: what do we require, why do we

57

1 a picture as to what was happening in relation to
2 certain sorts of things, certainly in relation to the
3 incidence of hyponatraemia.

4 And you probably appreciate that the CMO at some
5 stage wished guidelines in relation to hyponatraemia to
6 be developed and for those purposes a working group was
7 established. And as part of that, Dr Taylor was asked
8 to put together a background piece and he took it upon
9 himself to, in addition to doing that, to actually
10 compile a bar chart to indicate the incidence of
11 hyponatraemia. We can look at it, it's 007-051-103.

12 That bar chart was sent to the person who was
13 chairing the working group, Paul Darragh, and it has
14 found its way into other places as well. Dr Taylor has
15 always said that that was a draft, it was raw data and
16 shouldn't be relied on. That's not indicated on that.
17 Can I just pause there and ask you that: if you were
18 providing a chart like that, which should be qualified
19 in that way, is that something that you would expect to
20 see on the chart itself?

21 A. Well, either on the chart or in an accompanying letter
22 or document that came with the chart --

23 THE CHAIRMAN: He says that the meeting at which this
24 information -- the bar chart was not before the working
25 party, he gave the information, but he says he

59

1 require it and what is the best way of collecting and
2 compiling it?

3 A. Yes. That's right.

4 Q. In terms of the evidence that we've heard about the data
5 that was being collected, the PICU system had a separate
6 system from the rest of the hospital and its data, which
7 we've been given to understand is not particularly
8 unusual, that did happen. Would that be your
9 experience?

10 A. Yes.

11 Q. And the last actual audit of PICU data was done, at
12 least that Dr Taylor who was a consultant paediatric
13 anaesthetist recalls, was done in about 1994, and there
14 hadn't been one as at the time of Raychel's death in
15 2001. His view of the data that was being collected
16 is that it had its failings and largely those failings
17 were due to the way it was inputted because the data is
18 obviously only as good as the person who's putting it
19 in, and he hasn't explained whether there was
20 a validation system. But in any event, the clinicians
21 were putting the data in themselves, the PICU secretary
22 was the one who would collect it and make it available
23 to anybody who wanted to use it. So he described that
24 as a flawed system and one that couldn't really be
25 relied on to give you, with any degree of accuracy,

58

1 emphasised that it was imperfect.

2 MR UBEROI: I might also add that in the covering e-mail
3 alluded to by the witness, he referred to draft
4 documents.

5 THE CHAIRMAN: Yes. So what happened, perhaps curiously,
6 is that this chart was not put before the meeting, but
7 that the doctor who'd prepared it provided the
8 information on the chart at the meeting, but says that
9 he told the meeting that it was draft or couldn't
10 absolutely be relied on, which would seem to be the
11 equivalent of what you would expect on a covering note.

12 A. Yes.

13 MS ANYADIKE-DANES: Then would you have expected, though,
14 Dr Taylor to be able to access -- we're talking about
15 2001 now -- accurate information to provide to any
16 meeting which concerned the incidence of hyponatraemia?
17 Would you have expected a system to have been in place
18 which would have allowed him to do that?

19 A. Yes. All data collection systems are at risk of being
20 inaccurate because of data input and the risk rises
21 exponentially with the number of people inputting the
22 data. So it is extremely important, when you're
23 compiling an audit system, particularly one which is
24 dealing with very serious issues, including death and
25 major morbidity, to agree precise definitions for

60

1 things. Death is fairly obvious, but other things are
2 not. And to agree who puts them in and probably under
3 what circumstances, because you don't want them to be
4 distracted, for example, while they're inputting the
5 data. They should have time to do that.

6 So it is very important, when you use a data set
7 like this to drive an argument for change or
8 improvement, to understand the limitations of the data
9 and be very clear about that.

10 Q. Yes.

11 A. And just looking at this, one immediate observation
12 would be that if you didn't know some of the background,
13 you would imagine that between 1991 and 2001 there had
14 been a low level of hyponatraemia up until 1994, and
15 then in the intervening three years there was a sudden
16 increase in the number of cases. The explanation might
17 be rather more mundane, which is that the 1997 report
18 was being enacted and actually more was being recorded
19 subsequent to 1997 than in previous years. So I guess
20 that's an illustration of how important it is to
21 understand the genesis of any diagram like this and its
22 limitations before anybody else puts a good deal of
23 weight on it.

24 Q. Yes. Dr Taylor, in fairness to him, was doing the best
25 that he could with the information that was available to

61

1 So the term hyponatraemia is associated with her and
2 she has a case note discharge summary -- I'll give the
3 reference, but not to be pulled up, 090-009-011 -- and
4 in her case note discharge summary, under "other
5 diagnosis" is recorded:

6 "Hyponatraemia after cerebral oedema and
7 status epilepticus."

8 The "other diagnosis" is "hyponatraemia". So
9 hyponatraemia is there on the paperwork, if I can put it
10 that way, in relation to Claire. But nonetheless, it
11 did not find its way into the PICU system so that when
12 somebody like Dr Taylor wants to interrogate it to see
13 what the incidence is, he can't get that information
14 from it.

15 If I give you the other example, which is
16 Lucy Crawford --

17 A. Can I just respond to that one?

18 Q. Yes, of course.

19 A. So in relation to the guidance issued in 1997, that's
20 actually a pretty good list of the kind of things they
21 were asking for, and it does include a number of
22 procedures, it includes fluids that were given, it
23 includes complications as well as the fact that the
24 child died.

25 Now, I don't know how the PICU system was set up,

63

1 him, which he has readily conceded was imperfect. But
2 that's all that he had.

3 A. Yes.

4 Q. What I want to ask you about is whether that should have
5 been all that he had. In fact, three deaths are missing
6 from there. Adam was a death in which hyponatraemia was
7 implicated in 1995. That death is not on there.
8 Dr Taylor was aware of it, but it wasn't in the system.
9 So if he's asking for the information to be generated by
10 the system, it's not coming out of the system.

11 But the other two, Lucy Crawford and Claire Roberts.
12 If we start with Claire Roberts. She died
13 in October 1996, so you can see that death is not there
14 either. What they did have in relation to Claire on the
15 PICU system, if we just pull this up, 090-055-203 --
16 that's a PICU coding form. We've been told by the DLS
17 that the PICU coding form was mainly to record
18 admissions and treatments. It wasn't to record
19 diagnosis in that way. But nonetheless if you look
20 down, you certainly can see the admission and you can
21 see the treatments and therefore the resources that have
22 been used. But you can also see that there is some
23 diagnosis on it or appears to be. "Hyponatraemia" is
24 there, "hypernatraemia" and "hypokalaemia", which she
25 developed.

62

1 but there the doctor or somebody has gone through that
2 and recorded all these things that they think are
3 relevant that they want to code and put into the system.
4 The question I would have is: was the system set up to
5 deliver that? Were there codes in the system for all of
6 these things or not? And it may be that one of the
7 things that intensive care units had to do following the
8 1997 report was to either buy a new system or do some
9 work configuring the existing system so that all of
10 these terms could be coded, if you see what I mean. You
11 might need to enlarge the dictionary very considerably.
12 If your dictionary had been relatively short and
13 confined to kind of Florence Nightingale's work --
14 discharged or died, or whatever the three categories
15 were -- if that's all your dictionary was, and that was
16 the state of affairs in 1996/97, then you would have to
17 work quite a bit to change your system to include a much
18 larger number of terms that are described very well by
19 that report.

20 Q. You said that that was obviously what the doctor wanted
21 to have recorded. This is a senior paediatric
22 consultant anaesthetist who signed that, Dr McKaigue.
23 So if your system couldn't record the things that the
24 clinician thinks ought to be recorded, then does that
25 not become a point of discussion as to what are we going

64

1 to do about this? Do the clinicians really think that's
2 quite important and decisions have to be made or is that
3 just them simply giving a list of all that occurred in
4 relation to that child and they don't envisage a need to
5 have it all recorded? Some decision-making would have
6 to take place, would it not?
7 A. Yes, it would. You'd need to ask him, but I imagine he
8 wouldn't have spent time constructing this list if he
9 didn't intend to put it into the system, if he didn't
10 intend for it to be of some use.
11 THE CHAIRMAN: If you look at the bottom line of the form,
12 professor, the form is to be retained in the unit for
13 the coding clerk.
14 A. Yes.
15 THE CHAIRMAN: So that sort of gives the game away, that's
16 exactly what it's to be used for.
17 A. I think there's a distinction, though, because the
18 coding clerk might not be the coding clerk for the PICU
19 system; I would think it's more likely to be the coding
20 clerk for the hospital. So in the main hospital system,
21 Patient Management System or Patient Administration
22 System, all of these things would be coded because these
23 are covered by what are known as ICD10, or in those days
24 it would have been ICD7 or 8, codes. That's the
25 international coding classification system used in

65

1 Dr McKaigue had wanted to record things and couldn't,
2 that I'm sure would lead to a conversation and
3 discussion between consultants, who would need to agree
4 what it was they were going to record because they would
5 need to commission somebody from the IT department or
6 a separate supplier to ensure that those fields were
7 available for coding within the system. So there would
8 have to be conversation and agreement about what we're
9 going to do going forward.
10 Q. If we just look at Lucy, that has an additional document
11 and I'm going to ask you your interpretation of it. Her
12 equivalent of the PICU coding form is 319-019-002. So
13 this is now 2000 as opposed to 1996. It's signed off by
14 the same consultant, McKaigue, and you can see his list,
15 what she arrives with, what happens, and then the
16 resources used, the central line, the arterial line,
17 CT scan, and also some diagnostics. Hyponatraemia is
18 included in there.
19 A. Yes.
20 Q. How she's coded -- I'll pull up two pages for you to
21 see, 319-067e-002 and then 003. If I can have them
22 alongside each other. So you see that this is Lucy,
23 Dr McKaigue is the consultant. You see when she's
24 admitted, the time and discharge, that's the date of
25 death and so on. The transferring hospital, the Erne:

67

1 hospitals in the United Kingdom to record both what
2 happens and also what is done to a patient.
3 So that list could be retained for that purpose as
4 well as inputting into the PICU system. It's not clear
5 to me which.
6 MS ANYADIKE-DANES: If it was going to both then you would
7 certainly hope, if you were doing any interrogation of
8 the systems, to find out the incidence of hyponatraemia.
9 You would get it one way or the other.
10 A. Exactly, but if the PICU system didn't have those terms
11 in it and they couldn't be entered, then you wouldn't be
12 able to retrieve it later. That would be one weakness
13 of it. And one of the reasons for keeping a written
14 form is that you have got a backstop, you've got
15 something you could go back to and look through manually
16 later if you really had to.
17 Q. So if you knew your system was rather limited in its
18 categories, that would suggest that you would go and
19 look at -- well, actually, it'd be very difficult, would
20 it not, because you don't know what you're looking for?
21 Nobody's going to tell you this is the file you ought to
22 look at because in there is a PICU coding form that has
23 "hyponatraemia" on it. That then makes it very
24 difficult to investigate.
25 A. Yes, it does, and you were asking earlier about how

66

1 "Primary diagnosis, cerebral oedema. Other
2 diagnoses, hyponatraemia."
3 And you see the codes that you've been referring to.
4 A. Yes.
5 Q. So that would suggest it's in the system somewhere, or
6 would it? I should have asked that as a question.
7 A. Certainly of the things we've just been talking about,
8 they're now coded in the system and so they could be
9 retrieved, yes.
10 Q. So if you were seeking to see what the incidence of
11 hyponatraemia is and that's your search word, then the
12 way it should work is that this should become available
13 to you?
14 A. Yes.
15 Q. Thank you. And in the course of your work as medical
16 director, or even your work as an executive in the
17 hospital, how important to you was the compiling and
18 retaining of data?
19 A. Well, in some senses very important indeed. So for
20 example, audit data was very important in terms of two
21 aspects, really. One was identifying whether there were
22 deficiencies in care in a department, and therefore
23 steps needed to be taken by the clinical director and
24 others locally to improve that position and a re-audit
25 would happen to show that that was happening. It's also

68

1 a superb opportunity to find excellence in a department,
2 so if an audit or data set you're looking at shows that
3 the performance and the quality of care is excellent,
4 that's also extremely important to be shared with others
5 so they can see which aspects are being dealt with
6 particularly well and learn from that and find out how
7 they could do it too.

8 It's very important for public assurance, so I would
9 use data a great deal in my bi-monthly reports to the
10 board, both as a trust and then as a health board. The
11 use of data to me has always been extremely important in
12 demonstrating whether or not we have good quality
13 services, whether we have excellent services that we can
14 be proud of, or whether we have services where further
15 work is needed to bring them up to the standard of
16 everybody else. So in those senses, data is absolutely
17 vital.

18 It's extremely important also to keep data so you
19 can -- at least for a period of maybe five years, maybe
20 longer, depending on exactly what it's about -- see the
21 trend over time and you can be assured that in the
22 organisation things are getting better or they're
23 staying the same or they're getting worse. Is that what
24 you're asking about?

25 Q. Yes.

69

1 develop its own system. And that didn't actually come
2 in until 2003, and that's referenced in the same thing,
3 "Governance in the HPSS: Risk management and controls
4 assurance, 5/2003".

5 So we'll get those, but it would appear that,
6 whatever was going to happen in the rest of the
7 United Kingdom in 2002, the Department here didn't want
8 trusts to respond to that until they had issued their
9 own guidance, and that didn't happen until 2003.

10 Can I ask you, before 2002, were trusts in any event
11 keeping, if they're not called risk registers, something
12 to perform that function?

13 A. Well, certainly mine was and I'm aware of others that
14 were, because it was -- during the 1990s, risk
15 management had been one of the kind of dominant themes
16 running through the NHS, as it were, prior to quality
17 and safety. So certainly in 1996, I was then at that
18 point compiling and developing a risk register for my
19 organisation. I'm aware that other medical directors in
20 Scotland were doing that as well.

21 Q. Thank you. I want now to take you to the review that
22 was conducted at Altnagelvin into Raychel's case. You
23 say in your report, which we don't need to pull up, but
24 it's 226-002-013, that:

25 "The trust should have been aware of these gaps

71

1 A. So data in those senses is absolutely essential and
2 really has been, I think, since the 1990s.

3 MS ANYADIKE-DANES: Thank you very much.

4 Mr Chairman, I was going to go on to ask the
5 professor to deal with the review. Since that's
6 a different area, I wonder if that might be a time to
7 take a short break.

8 THE CHAIRMAN: Yes. Professor, we have to take a break for
9 the stenographer, so if you'll allow us 10 or 15
10 minutes, we'll resume then.

11 (12.18 pm)

(A short break)

12 (12.42 pm)

13 MS ANYADIKE-DANES: Mr Chairman, I should draw your
14 attention to something which my learned friend
15 Mr McAlinden has kindly pointed out to me. It relates
16 to the risk registers. There was a circular sent out
17 from the Department in 2002. We will get these
18 paginated so people can see them, but suffice it to say
19 it's titled "Governance in the HPSS: risk management.
20 HSS (PPM) 13/2002". What it essentially says is that
21 although risk registers may be something that are going
22 to be required in the rest of the United Kingdom, for
23 Northern Ireland purposes, the trusts were not to
24 institute that until Northern Ireland had been able to

70

1 [those gaps being the gaps that were identified] in
2 clinical care, but these were not addressed until after
3 the tragic death of Raychel."

4 That picks up a little bit a line that the chairman
5 was exploring with you: how do you know that you need to
6 know something until something has happened like the
7 death of a child? What did you mean by that statement
8 in your report that the trust should have been aware of
9 these gaps in clinical care?

10 A. Well, I think I was highlighting there two particular
11 aspects. One was whether Mr Gilliland had the
12 opportunity in his normal working timetable to devote
13 time to going to the paediatric ward when he had
14 children that were there. That seemed to me -- I was
15 unclear about whether he routinely did that or whether
16 there were days when he didn't do that when there were
17 children there, and that may well have been because
18 he had other constraints on his time.

19 Q. You mean in terms of a post-take ward round?

20 A. A post-take ward round. In those circumstances, I find
21 it difficult to believe that a clinical director at
22 least wouldn't have been aware of that sort of
23 constraint and time pressure.

24 The second area was in relation to the NCEPOD report
25 and the issue of whether the junior doctors should be

72

1 informing the consultants about patients admitted under
2 their care and certainly before they were going to
3 undertake surgery. If that report had been examined and
4 the practice at Altnagelvin examined against that
5 standard, then they would have known that that was not
6 routinely happening. So it was those two particular
7 aspects that I was concerned about.

8 Q. Thank you. Then very shortly after Raychel's death, the
9 trust establish a group to look into and investigate her
10 death, and they use their critical incident protocol to
11 do that. We can pull that up. It's 095-011-059a. In
12 terms of a protocol, do you have any comments about
13 that?

14 A. No, I think it's, in general, a good protocol. It
15 indicates that the relevant people are informed.
16 Importantly, there's a record made of the incident. And
17 then the rest of the protocol goes on to describe what
18 should happen next and what the review team or meeting
19 should do. Interestingly, the chief executive is to be
20 kept informed throughout the investigation and then
21 there's to be a written report and conclusions with
22 recommendations and timescales. So that's a very good
23 process.

24 Q. So that's the output. And if you have that and you've
25 got your timescale, that allows you to revisit and to

73

1 part of the process, as indicated by the flow chart, and
2 that the lead director to take charge of this is the
3 medical director. That seems to me a good way of doing
4 it and ensuring these sort of right things for the
5 organisation are considered. And it also gives a level
6 of authority, which is important.

7 But irrespective of that process, I think there are
8 other processes that ought to be occurring at the level
9 of the clinical team, which may not be investigated in
10 detail by the trust-wide process simply because they
11 might not go into that level of detail or, if they do,
12 they might expect others to carry it out, or indeed the
13 team examination of what went on would inform the
14 trust-wide critical incident review, and indeed, in many
15 organisations, that would be the kind of way in which
16 some of the work would be sub-divided, as it were.

17 So one area that I haven't seen much evidence of
18 in the paperwork I've been provided with is what
19 happened within the surgical team for a start. So here
20 you had a situation where the consultant didn't know the
21 patient was in the hospital, didn't know that they'd had
22 an operation, subsequently didn't know the things that
23 flowed from that operation; for example, there was no
24 temperature, normal white count and the appendix was
25 normal, so that side of things. And then subsequently,

75

1 see whether the recommendations have been complied with
2 within the timescale and, if not, why not, and also,
3 presumably, how effective they've been in addressing the
4 original assessment of the problem.

5 A. Yes, exactly so. The output of a critical incident like
6 this, as you can see, drives the clinical audit and
7 other data collection.

8 Q. So this is a good example?

9 A. It's a good example, yes.

10 Q. Thank you. Then if I ask you about the kinds of
11 investigations that actually happened into Raychel's
12 death. This was obviously a protocol to guide the
13 critical incident investigation. If we leave the
14 investigation that Dr Fulton, who was in charge of this
15 process as medical director, to one side and if I ask
16 you: in your view, was there any other sort of maybe
17 lower level or slightly different investigation that
18 should have been carried out by any of the clinical or
19 nursing teams?

20 A. Yes, I think the consideration of a critical incident
21 would normally occur at multiple levels in an
22 organisation, perhaps sometimes the bigger the
23 organisation, the more the levels. Starting from the
24 top, this was a very serious clinical incident and so it
25 was quite right that the chief executive is informed, is

74

1 there's a whole issue about the prescribing of fluids
2 and the supervision of the post-operative care and who
3 was to be monitoring the post-operative situation in
4 order to ensure that the child recovered in the way that
5 everybody expected after a completely uncomplicated
6 operation and not a severe illness.

7 So I would have expected some kind of meeting
8 between the principals involved, either the surgeon or
9 the clinical director for surgery, but preferably the
10 surgeon, together with the junior doctors and probably
11 the nurses, to look at the detail of: well, where did we
12 go wrong, what sort of things were happening that we
13 could begin to put right, what is our understanding of
14 what led to this tragic, tragic event, what were the
15 roles we played individually and how could we consider
16 doing things differently, what latent defects are we
17 discovering in how we work and how can we put those
18 right? So it's a huge opportunity for learning.

19 I think it's very important for the functioning of
20 a team to be able to have that discussion because people
21 will be feeling terrible, really terrible, over an event
22 of that nature, particularly when it's such an unusual
23 event. I imagine the death of a child in that ward
24 would have been appalling for all of those who were
25 concerned. And that flavour comes out very much from

76

1 people's witness statements and what they have said
2 here.

3 So to enable people to deal with that, I think
4 having the conversation about what went on and reviewing
5 everyone's part in it is extremely important because it
6 enables people to say what they really feel, to say the
7 problems they have encountered and also to reflect on
8 some of the really good things that happen that they
9 might want to reinforce.

10 It opens up a lot of possibilities and it enables
11 a much richer discussion to occur at the operational and
12 detailed level of the people who are involved than any
13 trust-wide organisational review will do, unless they
14 convene themselves, rather as this inquiry has done, and
15 call all these people in and interview them, which would
16 be the alternative way of doing it.

17 Q. So the result of that kind of discussion could be
18 something that would feed into standards and practices
19 elsewhere?

20 A. Yes.

21 Q. If I give you an example and see if you think this is
22 a possibility. One of the issues was to do with record
23 keeping, and let's assume that the consultant surgeon
24 has got his team together and that would include the
25 very junior doctors who responded at the latter part of

77

1 difficulties getting hold of the junior surgical staff,
2 so the nurses were concerned and had difficulty getting
3 hold of people -- that's the kind of thing that could be
4 discussed at that kind of operational level. And I'm
5 sure those people would find a solution to that if they
6 were empowered to do so. So that's one kind of meeting
7 of the immediate team, which I think is important.

8 It has another important effect to, which is,
9 I think, it helps to build the team, it helps to build
10 the confidence of people in each other. If they have an
11 open acknowledgment that they can discuss these things
12 when they go wrong, I think that generally raises the
13 level of trust and effectiveness of a team.

14 Q. Would you have expected, in 2001, for that sort of
15 meeting to be taking place after an event like Raychel's
16 death?

17 A. Well, certainly, where I work, that's what happens, so
18 that would have been my expectation generally. I can
19 well understand there are differences between hospitals,
20 which vary considerably in all sorts of ways, but that's
21 certainly what I would have expected in 2001.

22 Q. Then you said that was one sort of meeting.

23 A. Yes. The other sort of meeting I would most certainly
24 have expected is that this case would have been
25 discussed in the surgical mortality and morbidity review

79

1 that main day of her treatment. It may emerge from that
2 that he would have expressed a little disquiet that
3 Dr Devlin hadn't recorded in Raychel's notes the fact
4 that he had been called at a particular period of time
5 and had administered an anti-emetic because, when
6 Dr Curran comes later on, he can't readily see that that
7 has happened and exercise any judgment about the
8 significance of the fact that it hasn't alleviated the
9 vomiting, for example.

10 A. Yes.

11 Q. That might lead, might it not, to some sort of issue as
12 to whether we need to reinforce our training about
13 record keeping, which could go somewhere else, to the
14 training subcommittee or something? Is that the sort of
15 thing you have in mind?

16 A. Yes, that is the kind of thing. Just to use that
17 example, as I recall it, the trust policy for the
18 prescribing of medicines to children requires two people
19 to agree that something needs to be given and
20 administered, and I think that was demonstrated by the
21 two anaesthetists who were looking after the child at
22 the beginning, but didn't happen subsequently. There's
23 that.

24 I think the issue that has been referred to before
25 in transcripts and in witness statements about

78

1 meeting. Because it was unusual and a death in a child,
2 I would have expected it to be forensically examined.
3 My experience of surgeons is that, certainly in 2001 and
4 in the years before that, is those mortality and
5 morbidity meetings are taken seriously and the surgeons
6 concerned are very concerned to examine deaths -- and
7 particularly unusual deaths -- but also took the time
8 then, and still do now, to examine complications. For
9 example, bleeding or wound infections or whatever it is.

10 I haven't seen any evidence that that has happened.
11 It may well have happened, it may just not have been
12 recorded, but that again is an extremely important forum
13 to have the discussion and for at least two reasons.
14 The first is that you're able to discuss this with your
15 peers, so these are consultants who are working in not
16 just the same institution, but are facing the same daily
17 pressures and difficulties that you are, so there will
18 have been other surgeons who would have been on call at
19 other times and operating on children and so on and
20 looking after children in Ward 6. And that would enable
21 them to share experiences, share their knowledge about
22 what goes on and take a serious look about what they
23 could do to prevent such a tragedy happening again. And
24 that will almost certainly have brought up the whole
25 issue of ward rounds, about the supervision of junior

80

1 staff, about communication in the evenings and so on and
2 so forth. And I would have thought that was
3 an important mechanism.

4 I can well accept that that might not have been
5 recorded. In 2001 those were not commonly recorded or
6 reported through the organisation. It was seen,
7 I think, as a largely professional domain. But as the
8 medical director, I would have expected my doctors to be
9 doing that and, in fact, I know that that's what they
10 did do. So that's the second kind of meeting I would
11 have expected, a purely internal one.

12 Q. In terms of the critical incident review which you say
13 was happening at sort of a higher organisational level,
14 would you expect the medical director to have been
15 informed that either of those sorts of meetings that
16 you're talking about have actually taken place, or that
17 they were going to take place?

18 A. He may have expected that the routine mortality and
19 morbidity meeting of the surgeons would include this
20 case and I think he would have expected some feedback
21 from that meeting into his review, probably through the
22 clinical director. That would be the normal route. It
23 wouldn't necessarily be written down, but I think there
24 would be some clear messages or recommendations coming
25 from the group of surgeons, because, after all, this is

81

1 THE CHAIRMAN: It touched a number of the bases. So could
2 we focus on any areas in which the review was, by the
3 standards of 2001, defective? On the protocol, which is
4 on the screen in front of you, I'm not so much worried,
5 subject to whatever you say about the lack of a written
6 report to start with, I'm more worried about the lack of
7 a written report and recommendations at the end.

8 A. Yes, I'd agree. It's the output that is important. But
9 in the process, it says there to:

10 "Clarify the circumstances surrounding an incident
11 and identify further investigations."

12 That requires people to be able to stand back and
13 look a little laterally at all of the things that were
14 going on. And to be fair to the people concerned, to do
15 that well, you do need a bit of experience. You need to
16 have done this before or to have other people in the
17 room who have undertaken a review before in order to
18 understand how wide and how deep you need to go. And
19 I don't know what the experience of the people was.

20 THE CHAIRMAN: To put Altnagelvin in perspective, what had
21 happened was that in order to help draw up this
22 protocol, they had brought over to the hospital a lady
23 who was the co-author of a book.

24 A. Miriam Lugon?

25 THE CHAIRMAN: Yes. Which of course must be a very positive

83

1 their opportunity to improve things, this is their
2 opportunity to enable some change perhaps in systems
3 that they find frustrating to work in. That's one good
4 reason for doing it. Yes, I would have expected some
5 two-way traffic between the medical director and the
6 surgeons.

7 Q. Then if we go to the conduct of the critical incident
8 review itself, so the process that was instituted by
9 Dr Fulton. Can you comment on, in your view, how that
10 should have been conducted, who should have been part of
11 it, what should have happened to the outcome of it?

12 THE CHAIRMAN: Can we approach it in this way: on the
13 evidence I have heard, professor, and subject to
14 anything that you're about to add to your written
15 report, there were some aspects of the critical incident
16 review which were actually handled pretty well.

17 A. Yes, there were.

18 THE CHAIRMAN: And there were many relevant lessons learnt,
19 which were entirely appropriate to learn.

20 A. Yes.

21 THE CHAIRMAN: Perhaps not all, but at least some of them.

22 A. Yes.

23 THE CHAIRMAN: So this wasn't some sort of hopeless review
24 at all.

25 A. No.

82

1 step for the hospital to have taken.

2 A. Yes.

3 THE CHAIRMAN: And it does suggest they were taking this
4 area seriously. This is obviously before Raychel died.
5 It's on the back of her contribution that they draw up
6 a protocol and, as you've indicated, the protocol, in
7 its essence there, is entirely appropriate and should
8 work well if it's followed. And in various aspects it
9 was followed. But as I understand the evidence, this
10 was the first time that there had been a critical
11 incident review using this protocol, so subject to
12 correction, nobody who was involved had any previous
13 experience. Does that perhaps explain some of
14 the shortcomings?

15 A. Yes, I think it does. I notice that at one or two
16 points in the evidence you have heard that
17 Miriam Lugon's book was referred to, and somebody had
18 a copy that they referred to quite a bit, it was well
19 thumbed, I think, was the phrase. I can't remember who
20 that was, but that book I know quite well and it does go
21 into this issue of circumstances and identifying all of
22 the circumstances that could be important, and it
23 particularly talks about looking at some of the latent
24 conditions that might exist in your environment that
25 allow things to happen. That was one of the things

84

1 I was referring to in my report.
2 But whether or not you're able to examine those
3 properly and think about them, I think largely depends
4 on whether you've either got someone advising you who's
5 experienced or whether you're experienced yourself. So
6 the kind of things I think were -- the critical incident
7 review concentrated very much on the immediate, more
8 technical aspects of what went wrong, so there was
9 a heavy emphasis on Solution No. 18, a heavy emphasis on
10 the proper supervision and administration of fluids, an
11 emphasis on the checking of the urea and the blood
12 electrolytes when somebody was on intravenous fluids,
13 the recording of fluids, the recording of vomit, better
14 record keeping. All of those things which are kind of
15 more immediate and concerned around the immediate things
16 that went wrong.
17 There was some reference to the ability to contact
18 the junior staff. I think Sister Millar raised that,
19 I think, at the initial incident, and it was recorded.
20 But I'm not sure how much that was followed through and
21 if people understood the implications of that. And
22 there was certainly reference as well to the fact that
23 Mr Gilliland hadn't been able to get to or didn't go to
24 the ward that morning and perhaps didn't on other
25 occasions, and that was in the context of doing other

85

1 prescribes it. And although all of that came along
2 later and then the national guidelines came, if there
3 hadn't been national guidelines, would that
4 consideration really --
5 THE CHAIRMAN: I think, to be fair to Altnagelvin, they had
6 started to change things in advance of the Northern
7 Irish guidelines emerging.
8 A. They did.
9 THE CHAIRMAN: So it's another positive aspect of the
10 review. They just didn't say, "We have notified the
11 Department", which of course you would praise as the
12 appropriate step, but even in advance of the
13 Department's working party cranking up and coming out
14 with guidelines, "We'll do something ourselves in the
15 hospital".
16 A. Yes.
17 MS ANYADIKE-DANES: Professor, when you were responding to
18 the chairman, you said that the review had focused very
19 heavily on the clinical issues, if I could categorise
20 them in that way. And when you started to give
21 illustrations of those, they seemed very much the sort
22 of thing that you had previously said you thought might
23 emerge out of either the team meeting, the clinical
24 team, or the mortality review that they would have had.
25 And what you seemed to be doing was distinguishing

87

1 things. So this whole business of the surgical team
2 actually having a life and work somewhere else in which
3 the paediatric ward didn't really figure as part of the
4 routine day, although that was acknowledged, I didn't
5 see anything that followed that through and, as it were,
6 dealt with it.
7 Then that leads on to a whole lot of other related
8 issues around staff training and education, which
9 is that if you're looking after children on an
10 occasional basis and if very occasionally terrible
11 things go wrong, what should be the educational and
12 training response that an organisation would need to put
13 in place to try and prevent that? That's really quite
14 a difficult question, but does need examining. So what
15 would you do, for example, with the postgraduate
16 programme for the trainees, particularly the surgical
17 trainees? Well, here is an excellent example where
18 you've got an incident which involves at one level the
19 administration of a fluid that has led to a serious
20 complication. So that could trigger, for example, an
21 educational session within the normal programme for
22 these doctors about fluid management after surgery. And
23 that, of course, opens the possibility of other people
24 contributing to that and thinking more deeply about what
25 fluids they were using, how, who monitors it, who

86

1 between those sorts of things and more systemic things
2 that the critical incident process might have focused on
3 if it was being fed the clinical issues from these other
4 meetings that you've described.
5 I wondered if I could ask you whether what you had
6 in mind in terms of the kind of investigation that could
7 have happened at that more systemic level is the
8 carrying out of a root cause analysis to look at some of
9 those potentially more systemic failings? I think you
10 refer to the root cause analysis being a tool that was
11 fairly common in 2001. Is that something that you think
12 might have been profitable to have conducted?
13 A. It might have been, but the root cause analysis is
14 a particular technique that you have to learn. You are
15 required to learn it and understand it and practice it.
16 So for example, I never did the training in root cause
17 analysis, but I was aware of its importance as a tool.
18 In fact, I ensured that one of our clinical governance
19 staff in fact did know how to conduct root cause
20 analysis and they were extremely good at it. So that
21 was in use in my organisation, not on a daily, weekly or
22 even a monthly basis, but two or three times a year, a
23 serious clinical incident would be investigated in that
24 way. And it's a very systematic way of covering all the
25 bases, if you like, and it's a very useful tool.

88

1 Although it was in use in my organisation and some
2 others, I wouldn't want to give the impression it was
3 common across hospitals in the United Kingdom, not at
4 all. And indeed, the smaller the hospital, the less
5 likely it would have been in evidence because it would
6 have required somebody locally to have been trained
7 in that to understand it and to be able to apply it.
8 Q. If we go back to the more systematic approach that
9 you've talked about and looking to what the systems or
10 practices might be that required change or reinforcing,
11 one of the things that came out was the reliance --
12 which was considered ultimately, I think, to be an
13 overreliance -- on a very junior doctor, pre-reg
14 surgeons, who were really the first point of contact for
15 the nurses, and they were making decisions which may
16 have been decisions that were perhaps too serious for
17 them to make given the level of their training and their
18 expertise.

19 So the result of that or the change that came from
20 that was to remove them, if you like, from the wards so
21 they weren't the first point of contact. When you were
22 echoing the chairman's view that you thought that at the
23 end of this process it would be very useful to have
24 recommendations in a written report, if that's going to
25 be one of them, that having assessed what's going on,

89

1 thing to do, but if you haven't improved the system of
2 communication then it's unlikely to be any more
3 successful. So you would need to check that the change
4 you had made was effective.

5 Q. And leaving aside the fact of there not being a written
6 report coming out of this process, have you seen any
7 evidence that they had set up a system to monitor the
8 outcome of the process to audit, to review it, to
9 institute any revision to the changes that might need to
10 be made? Have you seen anything like that?

11 A. Well, there were some audits done subsequently in
12 subsequent years around fluid management and I think
13 around record keeping and so on, but I didn't see
14 anything that addressed the issue of staff
15 communication. I think that was --

16 MR LAVERY: I think in fairness, Dr Nesbitt did say during
17 the course of his evidence that Raychel's case would
18 have been discussed at mortality meetings, at morbidity
19 meetings. Unfortunately, the minutes of those meetings
20 only go back to 2004 and we don't have the minutes of
21 those meetings, but that was his evidence.

22 THE CHAIRMAN: I accept that, Mr Lavery. I think the
23 specific point is this: that a concern in Raychel's
24 treatment is the level of seniority of Dr Devlin and
25 Dr Curran who came to Ward 6 on the Friday afternoon and

91

1 one of the failings was that the junior doctors who
2 dealt with this really were too inexperienced and we
3 shouldn't really have them as the point of contact for
4 the nurses. If that was to come out of it then would
5 you not expect some system to be implemented to test how
6 effective that recommendation had been and to see
7 whether it causes other problems, for example, the other
8 issue that was identified, which was the lack of access
9 of surgeons to the nurses?

10 So if you remove the first layer that they were
11 supposed to contact, are you going to change something
12 at the SHO level to make sure they do now nonetheless
13 have adequate contact with the doctors in charge of the
14 patient? Would you expect something like that to be put
15 in train so you could monitor that and evaluate how well
16 that change in the system was working?

17 A. I think it's that monitoring and evaluation point that's
18 very important. If you recognise that one particular
19 set of circumstances is contributing to what went wrong
20 and you then change those circumstances, then at the
21 time you change it you'd also want to consider what
22 monitoring or evaluation you were going to put in place
23 to ensure that the defect you were remedying was in fact
24 remedied. And so changing the grade of staff who were
25 looking after patients is, in some senses, a reasonable

90

1 evening, and that played in with the nurses' concern,
2 which was discussed afterwards, about the level of
3 responsibility which they were given. A decision was
4 subsequently taken that from then on, if doctors were
5 required, it would be more senior surgeons who would
6 turn up.

7 MR LAVERY: Yes.

8 THE CHAIRMAN: I think the point that Ms Anyadike-Danes and
9 the professor are on is this: since it was already
10 proving very difficult to get any surgeon to the ward,
11 which is why the junior surgeons were turning up, was
12 there any subsequent monitoring of whether the more
13 senior surgeons did subsequently attend in a reasonable
14 time in response to contact? It seems to me that there
15 must be a risk -- I mean, it's a positive step to say in
16 these perhaps more complex cases or potentially more
17 complex cases involving children who can deteriorate
18 very quickly, the level of experience that a junior
19 doctor can bring is, through no fault of that doctor,
20 lacking, so we'll bring in a more senior surgeon. But
21 if the more senior surgeon is already running left,
22 right and centre, then how do we know how well that
23 system worked? Or more to the point, how did
24 Altnagelvin measure how well that system worked?

25 MR LAVERY: Yes. Mr Chairman, there's perhaps a dearth of

92

1 documentation in respect of that, but I should say that
2 root cause analysis as such didn't come in until 2003.
3 THE CHAIRMAN: Absolutely, and the professor's said that,
4 but we're really here on the follow-up to the review, so
5 changes have been made, Raychel has died,
6 it's June 2001, changes were made, they're introduced,
7 some of them very quickly, some of them over the next
8 weeks or months. Six months later, does anybody say,
9 "Right, now let's see how things are functioning. Let's
10 see, for instance, are the nurses still exposed or are
11 the more senior surgeons coming reasonably quickly?"
12 It's not by any means the central point in the case, but
13 it's one about governance generally. Is that fair?
14 A. Yes, I think it is a fair summary.
15 MS ANYADIKE-DANES: Thank you. Just finally on the review
16 itself, latterly those who took part in the review, in
17 their evidence, some of them have made some frank
18 concessions about the limitations of the process and how
19 things might have been done better. Of course, that's
20 always easy with hindsight to see that. But when you do
21 conduct a review like that, particularly when it's the
22 first time using the system, in your experience, is the
23 very process something that you should, once you have
24 completed that review, then look at it again and see how
25 well did we carry that out, did that satisfy the

93

1 coming out of the review, which is close to but not
2 quite the same point that we're on now, Mr Lavery.
3 It seems to me -- and I think we're about to lead
4 into it -- that the two big, big concerns about
5 Raychel's death are, first and foremost, the death
6 itself and how it came about and, secondly, not so much
7 the review, but the fact that in no meaningful way were
8 the most important people involved, namely the Ferguson
9 family, informed of the outcome of the review, of the
10 mistakes which had been made and the lessons which had
11 been learned. And as Mrs Ferguson's sister said
12 yesterday, if that had been done at the meeting
13 of September 2001, we might not be here today, and I'm
14 afraid at the moment, and subject to anything that
15 anybody says in submissions or later today, that seems
16 to me a major, major concern about what happened.
17 MS ANYADIKE-DANES: Thank you, Mr Chairman. That was
18 actually the final question I was going to ask on the
19 review.
20 At the moment you have been discussing about the
21 clinicians, nurses being involved, the senior executives
22 being involved. In your experience, to what extent do
23 the families get involved, and if not necessarily
24 directly, by some sort of communication with them about
25 what was going on and what the outcome of it was? By

95

1 objectives we set ourselves for critical incident
2 reviews? Is there any way in which you look at the
3 process itself?
4 A. Yes. I remember the first critical incident review that
5 happened in one of our directorates, the year prior to
6 this, 1999 or 2000. It was the first time they had to
7 conduct a review about an unexpected death of a patient.
8 So they had quite a bit of support from other people who
9 had done that, including one of the risk management -- a
10 similar post to the risk management coordinator here.
11 And then what we did, after that, when they'd completed
12 the review is we had a debrief of the staff involved,
13 about two weeks later, which looked at the process of
14 the review itself and what they had learned from it and
15 what we could tell other people in the trust about the
16 difficulties of arranging a review, the success factors
17 and anything else that could be learned.
18 MR LAVERY: Mr Chairman, there was Mrs Brown's evidence that
19 Dr Fulton on the trust board would have been updated
20 over the weeks and months after the incident, and there
21 was a review meeting, a review group, which took place
22 in April 2002. I appreciate, Mr Chairman, it was
23 10 months after the death, but her evidence was that
24 Dr Fulton would have been updated in the interim.
25 THE CHAIRMAN: Yes. I think that's updating on what was

94

1 directly, I mean literally being part of it.
2 A. In 2001, I think that would have been extraordinarily
3 rare. I'm not aware of any --
4 Q. For them to have been in the room?
5 A. For them to have been involved in a review in that level
6 of detail.
7 Q. But in terms of informing them that one was being
8 carried out and what the outcome of that was, in 2001,
9 what do you think would be the experience there?
10 A. A lot of that would depend on the context with which
11 you -- or the process with which you dealt with the
12 family after such an incident. Because the process you
13 use, it depends -- the process you use dictates to some
14 extent both the amount and the timing of the information
15 you might give them. So if you didn't see the family at
16 all and decided you're never going to do that, then
17 you have no opportunity to do that. If you do see them
18 and then the time at which you see them then dictates
19 what you're able to tell them because you will only know
20 at that time what it is you've found out.
21 Q. Yes.
22 A. I think in this context I would certainly have expected
23 the family to know that there was a review going on into
24 not just what happened, but what would be done to
25 prevent that happening, and that would have been true

96

1 prior to 2001 for one overwhelming reason, which is that
2 families consistently, in my experience over many, many
3 years, have always said that what they are interested in
4 is not just what happened to their own child or
5 relative -- child in this case -- but what is being done
6 to stop that happening again to anybody else. I'm
7 always hugely impressed by that level of altruism in
8 relatives and families. They're certainly interested in
9 what happened to their own person, but also concerned to
10 make sure it doesn't happen to anybody else.

11 So understanding the process of review and
12 communicating with them broadly the lessons learned and
13 what has been put in place, I think, is a key piece of
14 the interaction with the family.
15 Q. Maybe we could go on to deal with that now. As you
16 know, there was a meeting established with the family on
17 3 September. The critical incident review had started
18 very, very shortly after Raychel's death in June. So
19 there's a period of time. Even if the family didn't
20 feel they could actually meet anybody from Altnagelvin
21 in that period of time, what do you think should have
22 been happening in relation to Altnagelvin and the
23 family?
24 A. The General Medical Council's booklet, Good Medical
25 Practice, is very clear about the responsibility of

97

1 under the care of the particular surgeon, that it would
2 have been that person who would have either initiated or
3 certainly have been part of an early meeting with the
4 parents to explain what had happened.
5 Q. And from what you have read as the evidence of what had
6 already happened -- if you're leaving a few days, then
7 the first critical incident review meeting has already
8 taken place. From the evidence that you have heard of
9 what happened and what the views were in relation to the
10 clinicians and nurses, what is it that you think should
11 have been being communicated to Raychel's family at that
12 point?
13 A. I think an explanation of why her brain -- well, first
14 of all, there was gross swelling of her brain that
15 caused her death. I'm not clear whether the Fergusons
16 understood that at that point. Secondly, that that was
17 caused by the sudden drop in the serum sodium levels,
18 plasma sodium, so it's associated with this term
19 hyponatraemia. And I think that this initial meeting
20 would have to spend a little time explaining some of the
21 medical terms and so on involved because otherwise, as
22 these get bandied about, and particularly there's an
23 inquest and everything else coming later, it's helpful
24 for the relatives or parents to have some understanding
25 of what you're talking about.

99

1 doctors in 2001 following the death of a child.
2 Although it doesn't give a timeline, I think it is clear
3 in the intent that you would want to see the family and
4 give them an explanation about what had happened and
5 apologise for any failings that may have been known at
6 that time or subsequently appear, really within a few
7 days of this happening.
8 Q. And in the context of Raychel's case, who do you think
9 should have been the persons from Altnagelvin doing
10 that?
11 A. Well, I think it depends largely on where you take
12 the -- where you decide the responsibility for her care
13 and progress really rests. In my view, that essentially
14 was with the surgeon who was responsible for her care.
15 Although he didn't see her, although he may not have
16 been aware of what happened, as far as everybody else
17 was concerned that seems to be the notion, that he was
18 in charge of her care. And although I accept and
19 I agree that he needn't have been involved in the events
20 of the early morning of 9 June when she was having the
21 seizure and all that was happening, because there was no
22 surgical contribution at all -- in effect her care had
23 been taken over by other consultants -- I think in the
24 context that here's a girl who was brought into hospital
25 by her parents for an operation and had an operation

98

1 I think it would also include an explanation that
2 there is a review, we are doing a detailed review of
3 this particular incident and sharing some of the
4 findings of that review, at least some of the earlier
5 ones: we think the solution was of pivotal importance
6 here; we recognise that your daughter was not recovering
7 in the way that a normal, uncomplicated child after an
8 appendicectomy is recovering; the vomiting, although
9 initially acceptable, as the day and the evening wore on
10 was clearly out of line with what was expected, and that
11 was understood, I think, at the time.
12 So I think the initial communication would include
13 those concerns as well and, "These are the things we are
14 looking at in detail", and would be then followed up by
15 an invitation saying, "We'll provide you with further
16 information as it becomes available and can we agree to
17 meet in X period of time?"
18 The other very important source of communication,
19 I would imagine, for most families -- I don't know about
20 this particular family -- would be with the general
21 practitioner because the general practitioner is
22 normally the person people turn to because they're
23 in the local area and there's usually some expectation
24 that they would have some understanding of what had
25 happened. Often, they're the person who referred them

100

1 to the hospital in the first place.
2 I go back to the importance of the discharge
3 summary. Although the one we were talking about
4 couldn't have been prepared immediately, certainly
5 within several days it could have been because the
6 post-mortem's carried out quite quickly and the
7 pathologist's report was really quite clear, and other
8 factors were quite well understood, say four or five
9 days after Raychel's death. So again, a properly
10 constructed discharge summary would have enabled the
11 general practitioner to have had some sensible
12 communication with the parents.

13 And even more, I have to say I was troubled by the
14 evidence, I think provided by Mr Gilliland, that the
15 communication with the general practitioner on this
16 occasion took place in a supermarket at some point after
17 the event. I think I've got that right.

18 THE CHAIRMAN: Yes.

19 A. Apart from my surprise at the appropriateness of having
20 a conversation about this in a supermarket, I do
21 understand that in a community like Northern Ireland you
22 do bump into people in the supermarket and it mightn't
23 be entirely inappropriate to make some reference to it,
24 but in my view that would trigger an immediate
25 professional response: look, I need to speak to you, can

101

1 Q. The senior executive did offer a meeting --

2 A. Yes. She did, yes.

3 THE CHAIRMAN: Yes, there was a meeting offered.

4 MR LAVERY: I should say, Mr Chairman, there was the letter
5 that Mrs Burnside wrote on 15 June, in which she
6 expressed sympathy and indicated also that there was an
7 offer to meet the family if they felt that that would
8 have been of any help. That came very shortly after the
9 death.

10 THE CHAIRMAN: Yes. So that was an appropriate letter?

11 A. Yes, I thought that was -- that was very good of the
12 chief executive to take that lead in this particular
13 circumstance is good.

14 MS ANYADIKE-DANES: Then what are you saying should have
15 happened thereafter? That's why I prefaced my earlier
16 question to you with: if the family didn't feel they
17 could meet immediately, what do you think should have
18 happened afterwards?

19 A. I'm really talking about the doctors. I think the
20 doctors involved had a clear, professional
21 responsibility. I think it's set out very clearly
22 in that GMC Good Medical Practice, to -- I can't
23 remember the exact words, but paraphrasing it, to give
24 a full and frank account of what has happened,
25 particularly following the death of a child. In my

103

1 we have a phone call on Monday, can I come and see you?
2 Or indeed, if a discharge summary had been provided,
3 there would be an opportunity to have a follow-up
4 telephone call with a general practitioner, perhaps
5 after a few days or a week or the day after the
6 discharge summary had been received, to say "Can
7 I explain this to you any further and tell you what
8 we're doing?", so if the family contact you, you're in
9 a good position to tell them. Those are the kind of
10 things that I would have expected.

11 MS ANYADIKE-DANES: In fact, what happened was, apart from
12 the discussion that the family had or the information
13 that they were given at Altnagelvin before Raychel was
14 transferred and the information they were given at the
15 Children's Hospital after she had been transferred,
16 after she died they didn't really have a clear idea or
17 an opportunity -- well, they didn't have a clear idea
18 until the meeting of 3 September, which is some
19 considerable time. Is that --

20 A. That's a long time. That's a long time gap. I don't
21 know whether individuals attempted to contact the
22 Ferguson family by telephone or by other means --

23 Q. Well, in fact --

24 A. -- in between times and were unable to meet with them
25 because they were too distressed --

102

1 view, the spirit of that is that should be done
2 relatively quickly, not three months later.

3 So irrespective of what Mrs Burnside and the trust
4 was going to do to meet with the family and others, at
5 an official level, I think there's a professional
6 obligation to be fulfilled. It may be that that was
7 tried and the family felt quite unable to meet with
8 anybody, and I can completely understand that, but I'm
9 not clear whether it was offered.

10 Q. So then if we come to the meeting that was scheduled and
11 took place on 3 September. What sort of preparation
12 do you think should have been made for a meeting like
13 that at the trust's end?

14 A. This is a very important and crucial meeting. It's the
15 first meeting that the chief executive and other senior
16 staff are having with the family following an unusual
17 and tragic circumstance. So I would have thought there
18 are a couple of issues that I picked up.

19 The first is that within the trust, I would have
20 thought you'd have some kind of meeting beforehand for
21 the chief executive to be fully briefed on where the
22 investigation had got to and what the staff currently
23 understood as being the circumstances that led to
24 Raychel's death. So in no particular order, that would
25 include the role of Solution No. 18 and what Dr Nesbitt

104

1 subsequently learnt, which I think he did communicate,
2 it seems, I think, from ... He did talk about that in
3 quite a bit of detail at that meeting.

4 I think the role of the excessive vomiting had been
5 recognised at the critical review meeting the day after.
6 I think I'm right in saying that.

7 THE CHAIRMAN: Well, it had been, except that at the
8 critical incident meeting Dr Fulton became aware that
9 there was a difference between the family's perspective
10 on the extent of Raychel's vomiting and the nursing
11 perspective on the vomiting. He has said that he wasn't
12 able to form a view on that because what the nurses were
13 in effect saying to him was, "Well, the family thought
14 it was worse than we thought. We thought it was normal
15 or not abnormal". That has now turned into a major
16 issue.

17 But the chief executive did not know that that was
18 an issue at all until she picked it up at the meeting on
19 3 September, which means, really, on what you just said
20 a few minutes ago, that she wasn't actually fully
21 briefed going into the meeting.

22 A. Exactly. I think if she had been, she might have been
23 able to deal with that issue.

24 THE CHAIRMAN: Or she might have been able to say, "What is
25 the outcome? Has that been investigated? What is the

105

1 one, as I say, leaves aside the rest of the pages and
2 just stays with the general description of it, the role
3 is:

4 "To be a focal point for patients and relatives."

5 And the purpose, you see at (i) and (ii), is:

6 "To ensure that the patients and relatives are
7 assisted in making known their concerns and
8 dissatisfactions and the administration of patients' and
9 relatives' concerns and dissatisfactions so that the
10 quality of the service can be optimised."

11 And then there's a list of responsibilities and key
12 tasks, presumably that have been identified as hopefully
13 leading to achieving that objective. And you can see
14 there:

15 "Assisting individual patients with their
16 complaints. To support patients and relatives in making
17 a complaint. Ensure that each complaint is fully
18 investigated."

19 At the stage of the meeting of 3 September, there
20 had been no official complaint in that way, but
21 notwithstanding that, do you think that some
22 consideration might have been given to the use of the
23 patient advocate in the way described at (i) and (ii)?

24 A. Yes, I think the key responsibility I would pick up
25 there is:

107

1 outcome?"

2 A. Yes.

3 THE CHAIRMAN: Because on any view, Raychel was not expected
4 to be vomiting late into Friday night.

5 A. No.

6 THE CHAIRMAN: She was expected at that point to be probably
7 off fluids and to be eating, if not normally, then
8 something close to it.

9 A. Yes.

10 MS ANYADIKE-DANES: So you would have thought that there
11 would be some sort of meeting where the chief executive
12 would be briefed, she'd know what the up-to-date
13 position was. Leaving aside decisions such as how we're
14 going to manage the meeting, who should be there and
15 that sort of thing, but do you think there should have
16 been any consideration given as to whether we should,
17 ahead of the meeting, involve the patient advocate?

18 A. Yes.

19 Q. If I just help you with that, we have heard from the
20 patient advocate, and if you have read her evidence
21 you'll know her extremely limited role at that meeting.
22 But if one puts up even just the first page of her job
23 description, which is at witness statement 325/1,
24 page 8, these tasks and roles applied to 2001, even
25 though this happens to be a version from 2005. Even if

106

1 "To assist individual patients with their
2 complaints, concerns, enquiries and commendations on
3 a confidential basis."

4 I think given the importance, given the sensitivity,
5 given the high emotional state of some of the people
6 participating in that meeting, particularly from the
7 family's perspective, that the patient advocate could
8 have fulfilled a very important role there, particularly
9 if she'd had a pre-meeting with the family. Because
10 that would have enabled her, in advance, to understand
11 what the family's complaints, concerns and enquiries
12 were. It would have enabled her to help them frame them
13 in a way that the senior people at the meeting would
14 understand, would have helped them to have -- well, they
15 could have had a discussion about: do you want to ask
16 these questions or do you want me to ask some of these
17 questions? Because sometimes it's very difficult for
18 family members to question senior individuals,
19 particularly clinicians, and the role of a patient
20 advocate, certainly according to this description, could
21 have included that role.

22 So the key bit here where "patients and relatives
23 are assisted in making known their concerns and
24 dissatisfactions" could have been fulfilled by the
25 patient advocate having a pre-meeting with the family to

108

1 determine exactly those things and then to be there for
2 support during the meeting. My understanding of the
3 role here is that the patient advocate is there for the
4 patients or family, in this case; it's not there on
5 behalf of the organisation. And although they might
6 make notes for their own file, that wouldn't have been
7 their principal role in the meeting. And if they were
8 concentrating on taking a minute for the organisation,
9 then they would find it difficult to be able to assist
10 the patient because they would have difficulty listening
11 to the conversation and understanding where help was
12 required. So I think that was an opportunity missed.

13 MR LAVERY: I think in fairness, Mrs Burnside, when she gave
14 her evidence the other day, said that the role of the
15 patient advocate would be to listen and then
16 subsequently to act with the family as they wished to go
17 forward, and the minutes of the meeting show that, on
18 a number of occasions, Mrs Burnside did indicate to the
19 family that if they did want to meet with any of them
20 subsequently, the door was open and the patient advocate
21 would have been introduced --

22 THE CHAIRMAN: That's right --

23 MR LAVERY: -- to the family at the beginning of that
24 meeting.

25 THE CHAIRMAN: That's right up to a point, Mr Lavery, but it

109

1 trust knowing that this has gone badly and that the
2 family are still upset, that's the end of the contact.
3 I think that the idea behind the meeting was fine, the
4 fact that the meeting was offered through the
5 chief executive is a sign, another sign that
6 responsibility was being taken on Altnagelvin, but it's
7 hugely frustrating that the implementation of that idea
8 was so defective.

9 MR LAVERY: I accept that there were deficiencies,
10 Mr Chairman. The point I was trying to make was that
11 during the course of the meeting Mrs Burnside realised,
12 obviously, that things weren't going well and did
13 indicate that the family would have more questions to
14 ask.

15 THE CHAIRMAN: But how would the family have the confidence
16 to come back to the trust, which it had had such a poor
17 meeting with, to get answers to the questions when it
18 wasn't getting answers to the questions in any
19 comprehensible way during the meeting?

20 MR QUINN: Mr Chairman, if I can come in on behalf of the
21 family, and could I ask Mr Lavery and then the witness
22 how on earth the patient advocate ever satisfied
23 paragraph 1 of the criteria that says:

24 "Patients and relatives are assisted in making known
25 their concerns and dissatisfactions."

111

1 all rather drifted away because Mrs Burnside recognised
2 that the meeting hadn't gone well. She knew and
3 everyone -- I mean, Dr McCord, it is, who's described
4 the meeting as a disaster. Mrs Burnside knew the
5 meeting had drifted away and ended unhappily. But then
6 Mrs Burnside said she thought that the family was so
7 upset that she shouldn't contact them in the coming
8 weeks and then there was no contact with them
9 whatsoever. So if --

10 MR LAVERY: She left the door open for them.

11 THE CHAIRMAN: Look, I will take submissions on this, but
12 frankly I have to say that, at this stage, my view
13 is that that's not good enough. One of the major
14 problems here is Mrs Burnside has told me this was
15 a unique meeting in her experience. She is
16 a chief executive meeting the family and I think the
17 professor has said that's very, very commendable and
18 very, very unusual. If you have that meeting with the
19 family, you have to put some preparation into it. The
20 preparation was absent. The meeting then takes place,
21 the trust side have a record of the meeting, the family
22 don't. The trust side have a record of the meeting,
23 which is sent round three people to give them an
24 opportunity to correct it or amend it. The family never
25 gets a record of the meeting. And then, despite the

110

1 I would like --

2 THE CHAIRMAN: You won't ask Mr Lavery that, okay?

3 MR QUINN: I'd like to ask the witness then if he can think
4 of any way that in this case on this day that the
5 patient's advocate assisted the family.

6 THE CHAIRMAN: But she didn't because she wasn't -- that
7 wasn't her understanding of that meeting.

8 The lady who was the patient advocate, professor,
9 had done that job on a part-time basis until the start
10 of the week in which the meeting was held. So she knew
11 what a patient advocate did, but she was brought into
12 the meeting on 3 September in effect to keep a record of
13 it. But not, at that time, with the function that is
14 set out here. That's another problem because, as you've
15 said, if she was brought in to fulfil that function she
16 would almost certainly have needed an advance meeting
17 with the family to understand their concerns and to try
18 to agree with the family, look, this is what I can offer
19 you, I can ask the questions, as you've already said.
20 But she didn't do it.

21 MR QUINN: That's the point I'm making. Mr Lavery is on his
22 feet to defend Mrs Burnside's behaviour in this meeting.
23 But when anyone looks at this criteria, one cannot say
24 in any respect whatsoever how the patient advocate in
25 any way assisted the family.

112

1 THE CHAIRMAN: Yes, I've got the point.
2 A. I wanted to return to one of the other aspects of
3 preparation for the meeting, apart from the patient
4 advocate. That is how the organisation, how the trust
5 was going to deal with the advice from the HSS on
6 creating a climate of openness and so on to give a clear
7 explanation to the family, and I think the phrase used
8 is, for the purpose of avoiding -- excuse me if I just
9 look at what I quoted "an environment of openness".
10 This is from the HSS F20 1998 and, same number, 2002.
11 MR QUINN: If I may, sir, it's in paragraph 26 of the
12 expert's report.
13 THE CHAIRMAN: Thank you.
14 A. "... which seeks to create an environment of openness
15 that encourages parties to resolve duties, reduce delays
16 and reduce requirements for litigation. The trust
17 encourages staff to offer apologies and/or explanations
18 as soon as an adverse outcome is discovered."
19 I think a pre-meeting would have been essential to
20 develop that theme for the chief executive, not just to
21 be briefed on what was going on, but to be clear with
22 everybody that all the things that they already knew
23 were to be brought out and communicated clearly with the
24 family. I think that would have been a central part of
25 the preparation.

113

1 MS ANYADIKE-DANES: So you were saying, in terms of
2 preparation, that would involve those who were going to
3 be present with the representatives of the nursing staff
4 or the clinicians to actually have been able to help the
5 chief executive by some view as to how they thought
6 things had gone, so one's going in with some sort of
7 understanding of what one's going to communicate to the
8 families.
9 A. Yes.
10 Q. If the patient advocate had got from the family the
11 family's concerns of what their expectations of the
12 meeting was you might be able to structure the meeting
13 around not only conveying what you want to convey, but
14 making sure you have addressed the family's particular
15 concerns. If they haven't done that, should there not
16 at least be some sort of plan as to what it is we're
17 going to tell the family, how we're going to approach
18 them in this circumstance?
19 A. Yes. I don't think you can go into a meeting of that
20 nature without some preparation.
21 Q. Obviously, one can say that anecdotally, that makes
22 a lot of sense, but in your experience as to how these
23 things might be conducted, is this kind of meeting with
24 its deficiencies, unfortunate as they were, was that
25 something fairly typical or does this have particular

115

1 MS ANYADIKE-DANES: Would that have meant that the
2 clinicians themselves, from the medical point of view,
3 would have to reach some sort of agreement as to what
4 they thought had gone wrong so that when one's engaged
5 in the meeting, one actually has some coherent
6 expression of what happened rather than each individual
7 speaking from their own discipline or their own
8 experience of the case at that time?
9 A. Yes, that would have been helpful, to give a clear
10 picture.
11 THE CHAIRMAN: And if it's right that the nurses were
12 saying -- and this is one of the things that clearly
13 hurt the family -- at that meeting that they had no
14 concerns about Raychel through the day, would that worry
15 you about whether there was some fundamental point which
16 had been missed?
17 A. Yes. I do refer to that in the report. Because with
18 that level of vomiting, there are only two
19 possibilities. The first is that that's what happens to
20 every child after an operation, so it's true, it's
21 common, and it occurs. But that actually doesn't seem
22 to be the case. Or they've failed to recognise that
23 this was not a normal post-operative recovery.
24 THE CHAIRMAN: Yes.
25 A. There isn't anything in between those two, really.

114

1 concerns for you?
2 A. No, it does have concerns for me, because I think it
3 demonstrates in part a limited understanding of what the
4 meeting was really for and what might happen during it.
5 Because this is now three months after and there has
6 been no communication -- at least no formal or written
7 communication -- with the family about what they're
8 worried about, what they're concerned about. So I find
9 it difficult to understand -- sorry, let me rephrase
10 that. I am surprised that that's how it was organised
11 and run, and certainly my experience would have been at
12 that time -- and indeed in years before -- quite
13 different.
14 But I go back to one of the points I made before,
15 which is, if this has never happened to you before, if
16 you've never had to have a meeting of this nature
17 before, then I can understand that you might not
18 understand the importance of preparation, the importance
19 of the chairman of the meeting, in this case the
20 chief executive, being very fully briefed by everybody
21 else.
22 Q. Could you really not?
23 THE CHAIRMAN: Sorry, just let the professor finish the
24 point.
25 A. This is the first time they'd ever done that and I can

116

1 understand the lack of preparation. They might have
2 thought that this is not a particularly difficult
3 meeting and we'll just answer the questions and that
4 will be that and we'll all go home. Because there does
5 seem to have been an element of surprise in that the
6 meeting went rather badly.

7 THE CHAIRMAN: The meeting, to a degree, seems to have ended
8 up as being counterproductive. Instead of helping the
9 family, on the evidence that I've heard, it's become
10 a source of deep frustration, if not anger, for the
11 family.

12 A. And that's a terrible shame because, even given the gap
13 between when Raychel died and this meeting occurs, it is
14 at least the first meeting. In my view these matters
15 are not dealt with by a single meeting; this is
16 a process you need to take people through because it's
17 complicated and it's difficult. So at the very first
18 meeting, you might conduct it in a way that would expect
19 at least one other meeting, and maybe more than that, to
20 occur and you'd do it in a way that the family felt they
21 were learning something and were happy to come back and
22 learn more once they had digested what you'd already
23 told them. Because you cannot take this in in
24 a two-hour meeting, that level of detail, of medical
25 terminology, of concerns about what was going on and so

117

1 Q. Yes. Clearly, those who attended in different respects
2 have thought that it was unsatisfactory, it didn't
3 achieve what they wanted. So from the trust's point of
4 view what do you think should have been the result, the
5 next steps?

6 A. Yes, I think if you have a meeting like that, which is
7 deeply unsatisfactory and you, as the chair -- or any
8 participant -- recognises that, you'd want a debrief,
9 you'd want to get together as soon as possible and
10 reflect on: what did we hear, what happened in that
11 meeting, where do we think we are as a result? If
12 everybody feels they're in a worse position now than
13 they were previously, then you would want then to
14 consider what steps you took next to retrieve the
15 situation and to enable the family to gain the kind of
16 understanding that they want.

17 Q. Yes.

18 A. I have been involved in that, later than 2001. Round
19 about 2005 we had a -- there was a death of an adult in
20 one of our hospitals that was essentially caused by
21 a failure to administer the correct dose of antibiotics,
22 and in fact a failure to really -- there's a variety of
23 things around that. But one of the key bits of
24 information -- this was the multiple-resistance
25 staphylococcus aureus, MRSA, which I'm sure you've heard

119

1 on.

2 THE CHAIRMAN: Thank you. Let's move on.

3 MS ANYADIKE-DANES: Is it really the case that in 2001, with
4 a child's death, that it can have been a reasonable
5 expectation that you went into a meeting like that with
6 a family without engaging in some preparation? Would
7 that really have been a reasonable expectation?

8 MR LAVERY: Mr Chairman, it's not fair to say there was no
9 preparation whatsoever going into that meeting. There
10 had been a number of meetings between the clinicians
11 over the months since the death and ...

12 MS ANYADIKE-DANES: Sorry, I should rephrase that. I mean
13 preparation for that meeting. That's what I mean.

14 Could that really have been a reasonable
15 expectation?

16 A. Yes, it would, particularly if it was the first meeting
17 that those individuals were having, I would have
18 expected some preparation.

19 Q. You would have expected some preparation?

20 A. Yes.

21 Q. Thank you. Given how it went, and you now have seen the
22 evidence as to the outcome of that meeting, what do you
23 think, from a governance point of view, should have
24 happened afterwards?

25 A. After the meeting?

118

1 about in hospitals, a big, big issue, particularly in
2 Scotland and in England. The initial meeting with the
3 family was a little like this, people felt that the
4 right things hadn't been discussed, the family were
5 clearly angry, in fact they walked out, and this came
6 through to me then as "What are we going to do about
7 it?" So I called a meeting of the people involved and
8 went through exactly that debriefing procedure, who said
9 what, what went on, what did you feel you said well and
10 what did you leave out and what was the attitude of the
11 family? And it turned out in the course of that debrief
12 that two of the individuals concerned -- one of them the
13 consultant and one of them the senior nurse -- felt
14 unable to admit that the offending organism was MRSA and
15 that they knew that, but had not communicated that to
16 the family. And as the meeting went on and got a bit
17 angrier, they felt even less able to say that.

18 So the upshot of that was that my associate medical
19 director who was responsible for that area said he would
20 reconvene another meeting. He telephoned the family and
21 he then wrote to the family and acknowledged the meeting
22 was unsatisfactory and said there was further
23 information we wanted to share with them, which they
24 were entitled to know. They agreed to come back, got
25 the doctor and nurse in the room and one other person

120

1 and the pre-meeting briefing was very clear: it was that
2 you tell them exactly what it is they need to know and
3 you don't hide anything further, you tell them all they
4 need to know, which they agreed to. The upshot of that
5 meeting turned out to be praise from the family that
6 people had at last been open and candid with them, and
7 nothing more was heard. That could easily have turned
8 into a piece of litigation.

9 Q. Thank you.

10 THE CHAIRMAN: Sorry, just on that last point, whether it
11 turns into litigation or not is really beside the point,
12 isn't it?

13 A. Oh, it's irrelevant, yes.

14 THE CHAIRMAN: I will come back to that at the end with you
15 about the litigation defensiveness. But whether the
16 family end up suing or not suing is -- they may go ahead
17 and sue and they're perfectly entitled to. Some do,
18 some don't, and that's just the way it is. But whether
19 a meeting like that avoids litigation or doesn't avoid
20 litigation, the meeting has to take place anyway.

21 A. Yes.

22 MS ANYADIKE-DANES: One of the many things that concern the
23 family is they feel they didn't have answers, that there
24 wasn't candour, and one of the focal points for that
25 became the nurses because they felt they had their own

121

1 angry or very dissatisfied with it.
2 Q. Thank you. Then to move on: to have a meeting like
3 that, as the chairman has rightly said, was a positive
4 thing, to want to have one and to have the
5 chief executive chair it, that was a positive thing, as
6 was notifying the CMO of a problem which they thought
7 might be something that should be addressed region-wide,
8 and participating in the working party and trying to be
9 part of the design of guidelines that would minimise the
10 chances of such a thing happening again. All those were
11 positives.

12 A. Yes.

13 Q. But if I can ask you a little bit about the guidelines
14 because I noted when we were going through your CV that
15 you have had some experience of introducing guidelines
16 and changes in practice.

17 Can I ask you, firstly, in terms of the process?
18 We can see from the evidence that we've had and the
19 evidence that the chairman has heard that various
20 clinicians were invited to be part of a working group
21 and they were representative, as it turned out, from the
22 hospitals where each of these children had either had
23 their treatment and transferred to the
24 Children's Hospital and the Children's Hospital itself
25 was represented by two consultant paediatric

123

1 direct experience of what was happening, which was not
2 being reflected in what the nurses were saying.

3 The chief executive had wanted a meeting where
4 it would be open and candid, she said that, and in her
5 evidence she had encouraged the clinicians and nurses to
6 conduct themselves in that way, and that was in fact one
7 of the only instructions she gave them, apart from being
8 gentle and kind, but also to be that.

9 A. Yes.

10 Q. You have read the notes or the minutes of that meeting
11 and you've heard all of the evidence, and there are
12 differing views as to the strengths of what was said or
13 not. But do you have any abiding impression about
14 whether the openness that the chief executive wanted to
15 convey -- and you can only read it from the minutes of
16 the meeting and from the transcripts, but do you have
17 any impression as to how successful they were in trying
18 to do that from their point of view?

19 A. The impression I have is that the aspect of openness and
20 candour was not as successful as it might have been and
21 I think that's probably the major reason that -- if the
22 family feel dissatisfied with the outcome of the
23 meeting, that's the major reason I would think that lies
24 behind that. In my experience that's usually why people
25 feel that the meeting was a waste of time or they become

122

1 anaesthetists. They gathered there and we have heard
2 evidence from those who were part of that group that
3 they didn't really discuss the cases with which they had
4 had direct association, either because they had treated
5 the child or because they were aware of the child's
6 death in some way through mortality meetings or so on.
7 And the reason that's been given for that is because
8 we weren't there to discuss individual cases -- I'm
9 summarising evidence -- we were actually there to
10 produce guidelines, to discuss what ought to go into the
11 guidelines and subsequently to design them in a way that
12 would be useful region-wide to cover the situation
13 generally, albeit local protocols might be required.
14 And that's the reason they say they didn't discuss
15 individual cases. Out of your experience of bringing in
16 guidelines, does that surprise you, that they might have
17 been involved in actual cases involving dilutional
18 hyponatraemia but not discussed them with each other
19 when they first met?

20 A. It does seem a little surprising. It may be that
21 whoever chaired the meeting gave such an instruction and
22 didn't want to encourage any discussion of individual
23 cases, but I think it's extremely difficult to divorce
24 the process of constructing a guideline from the context
25 which has required it to be developed. And indeed, in

124

1 my experience, most doctors who are involved in
2 developing guidelines or changes in practice ask
3 themselves the question "Why are we doing this? What is
4 the problem that we're trying to solve?" And they will
5 refer, at least in their own minds, back to whatever
6 cases it is where that problem or set of problems arose.
7 So I think it's extremely difficult to divorce the
8 individual cases that have given rise to the context in
9 which you now want to produce a guideline.

10 The other aspect of this is that if you are involved
11 in developing a guideline, once you've made good
12 progress, you would want, certainly internally, to check
13 with yourself that a guideline you were producing was
14 material to the case or cases you might have been
15 involved in that prompted it in the first place. So
16 you'd want to test yourself, if this guideline were in
17 place, would it have made any difference to what
18 happened to the patient I was looking after or patients
19 I was looking after? And I would have thought that, in
20 a group discussion around a small number of cases,
21 it would be very difficult to avoid that logic. So
22 we've got so far with this guideline, it's looking good,
23 we think it's consistent with the published evidence
24 that we have, so now looking at the cases we have all
25 experienced, would this guideline make a difference?

125

1 or whatever is the particular feature of the experience
2 you've had that you think is not being reflected or
3 would not have been affected by the design.

4 So in some way, if I have you right, not only might
5 you be doing that amongst yourselves, but that's the
6 sort of information you'd be sharing amongst your
7 co-working party members who were designing?

8 A. Yes, I think you would. I think you would be wanting to
9 discuss what you did next in the context of what you had
10 already experienced, which is severe hyponatraemia in
11 a small number of children, if I understand it
12 correctly. I can understand that you might not discuss
13 the individual cases in detail around a table in the
14 sense of comparing notes about what went on, but as
15 I say, I don't think you can divorce the context in
16 which you're doing the work from the work itself. And
17 I still think you'd want to test the assumptions and the
18 conclusions you were coming to against your experience
19 of those cases. I guess that process you're referring
20 to about people going back to base, as it were, would
21 assist with that. That's where you could have a more
22 detailed discussion perhaps of the individual case with
23 the people who are familiar with it.

24 Q. Then when the guidelines come out, and they are
25 issued -- in fact they are issued by the Department

127

1 THE CHAIRMAN: So you cross-check your draft guidelines
2 against the circumstances with which you're familiar so
3 as to ensure that the guidelines don't need tweaked or
4 added to in some way?

5 A. Yes, because it would be a great pity if you spent all
6 that time devising a guideline that then had no effect
7 on the kind of cases that gave rise to it.

8 MS ANYADIKE-DANES: In fairness to them, the counsel for one
9 of the parties who was involved in that, though not at
10 the first meeting, a Dr Jenkins, she said that the
11 intention was from that larger group of people were to
12 be a smaller working party who would actually be engaged
13 in the design. Those members of that working party
14 would go back to their respective hospitals and they
15 would discuss amongst their own colleagues, if you like,
16 their work, and so they became the hub of the discussion
17 and then the members of the small working party would
18 share their contribution to the design amongst each
19 other. But it's still all quite a small group and I'm
20 wondering, even if you were doing that, if you wanted to
21 emphasise, for example, we think that Solution No. 18
22 really ought to be explicitly mentioned, then I presume
23 from what you are saying you'd be saying the reason why
24 is, unless you do that, I'm not sure it would have
25 avoided the circumstance that we had with the death here

126

1 in March 2002, so it's quite a speedy process from
2 identifying that we've got a problem that we need to
3 address regionally to producing actual guidelines.

4 When that happens, what is the process that happens
5 at the hospital when they receive a guideline like that
6 in terms of making sure, not just that it's positioned
7 in the appropriate places, as they've been directed to
8 do, but so that people actually understand the change in
9 practice that these guidelines are introducing? What do
10 you think in your experience should be happening?

11 A. Well, typically, if say a clinical director had that
12 particular responsibility for a new guideline or method
13 of working, they would have in their heads a plan of how
14 they were going to ensure that it was implemented. So
15 certainly you've got the bit about putting posters up,
16 reissuing leaflets and so on. That would be important
17 as reminders to people about what we are now doing as
18 opposed to what we did before.

19 You would almost certainly have briefing meetings of
20 relevant staff, probably in uni-professional groups, so
21 the nursing staff would be brought together, medical
22 staff would be brought together, at one of their routine
23 meetings, and you'd have an explanation and
24 a presentation of the guideline: this is what it is,
25 this is why we are doing it, this is why it is

128

1 important, and this is what we do from now on. So you
2 would combine those visual reminders with some
3 educational input so the staff have the opportunity to
4 ask questions and to ensure that everybody involved
5 understands what is now going on. You get some
6 difficulties with that, of course, because if you do it
7 at a particular time of day, unless you repeat it, you
8 may miss some members of staff, so there's always that
9 risk. You can't get the whole staff group, particularly
10 when people are working on shifts.

11 But generally, if you have most people there and
12 then other staff will remind staff who maybe weren't
13 there that we have a change here, we're doing things
14 differently. So there's an important educational input.

15 Then the third bit is that you would then have some
16 monitoring of compliance with the guideline, so you
17 would have some routine audit that checked -- the case
18 of this where post-operative fluids were to be changed,
19 you would check that the next 20 patients or whatever
20 all got the correct amount of fluid.

21 So you've got reminders and prompts for what to do,
22 you have an educational input, the relevant staff
23 groups, and you have some monitoring that the new
24 guideline is being followed.

25 Q. If I ask you this, first of all: apart from the

129

1 cumulative problem. But for one like this I would have
2 thought that was sufficiently important to devote
3 a reasonable amount of time and trouble to getting it
4 right.

5 Q. Thank you. And then you referred to, apart from putting
6 it up in relevant places and having some education about
7 it and why it was being introduced and so on so that
8 you are really trying to ensure the best possible
9 adherence to it, you then said the other element to it
10 or aspect of it would be the audit. The CMO's cover
11 letter to the guidelines had already indicated that she
12 wanted those guidelines audited and the local protocols
13 which were going to be designed alongside it and there
14 had been differing references in various meetings about
15 the need for audit or monitoring and so on. But even if
16 none of that had been said, are you saying that when
17 you -- not you personally, but when the hospital
18 receives a set of guidelines like this it's incumbent on
19 the trust to institute an audit system for them?

20 A. Yes. If you're going to adopt a guideline -- I should
21 have said that one of the other steps, as you have just
22 indicated, you would develop a local protocol that
23 fitted it to your circumstances and your organisation.
24 But yes, if you're going to do it you then need some
25 means of monitoring it as being delivered, otherwise

131

1 reminders and prompts, is the receipt of a set of
2 guidelines like this considered to be -- or would you,
3 if you received them from the Department like this,
4 consider it to be a significant set of guidelines?

5 I presume that a hospital can receive many practices,
6 procedures, guidelines in the course of its calendar
7 year. But a set of guidelines like this that comes
8 under cover of a letter from the CMO after the CMO has
9 taken particular interest in it, how significant is that
10 or could that be quite normal?

11 A. No. CMO guidance on clinical matters comes out, in my
12 experience, fairly infrequently. It's much more common
13 to get administrative advice from the CMO and,
14 of course, CMOs always give advice about vaccinations,
15 immunisations every year, that kind of thing. But
16 a CMO-sponsored guideline for a change in clinical
17 practice would be an unusual and significant event and
18 it would be highly unusual not to take very great care
19 over implementing that.

20 The context, as you say, is quite correct, not in
21 2001, but by 2006 or 2007, my organisation was getting
22 something like 30 or 35 new guidelines every year and
23 that becomes a different order of magnitude about how an
24 organisation processes and deals with and follows up on
25 that many -- and that's 35 every year, so you have this

130

1 there's little point in adopting it.

2 THE CHAIRMAN: Okay.

3 MS ANYADIKE-DANES: Thank you. I just have one final area
4 of questioning for you, which relates to -- in 2003,
5 there was an inquest into Raychel's death, and as part
6 of the preparation for that, the trust engaged experts,
7 and you'll know that one of the experts they engaged was
8 Dr Warde and he produced a report that seemed very much
9 to reflect, at least in terms of the vomiting aspect of
10 it, views of the expert that the coroner had engaged and
11 ultimately that report wasn't shared or at
12 least provided to the coroner or anybody else really at
13 that stage. Given what you have said about openness and
14 so forth, what is your view about that and how -- just
15 if I add a rider so you see the context of it. Not only
16 what is your view about it but, in your experience, what
17 would have happened to a report like that had you
18 received it?

19 A. I'm unfamiliar with the details of the coroner's system
20 in Northern Ireland, but I imagine it's similar in
21 principle to the procurator fiscal in Scotland, or
22 indeed a court anywhere, which is that it is important
23 that, if the court is to make a determination as to
24 fact, then you have to provide it with all the
25 information that is available. So I'm surprised that

132

1 the trust withheld a report that contained a significant
2 opinion about the death in question.

3 My own experience is that I would have ensured,
4 together with the trust solicitor or the NHS solicitor
5 that we use in Scotland, that all of the staff concerned
6 absolutely understood the requirement to make everything
7 competent available to the coroner. There would be no
8 question of not doing that. And certainly any internal
9 reports that I or other senior executives had initiated
10 in order to better understand the problem internally,
11 we would certainly provide those to a procurator fiscal
12 or other court, and we would accompany that with
13 a commentary of what we had done in the interim to deal
14 with the problems raised. That may be a feature
15 peculiar to Scotland. One of the functions of
16 a procurator fiscal is to not just determine the cause
17 of a death, but also to make recommendations about
18 whether systems should be improved if it's in the public
19 interest.

20 So organisations like mine would feel it important
21 to bring the court fully up-to-date, at the point
22 they're examining you, with progress you've made against
23 any particular internal or external report so that his
24 judgment can reflect that.

25 Q. The report wasn't shared on the basis that -- well, the

133

1 either submit a report or submit it in a different form
2 and I've been happy to discuss that, but I have never
3 agreed to not submitting a report that was available
4 that would be of clear relevance to court proceedings.

5 MR LAVERY: Mr Chairman, I think you have said on a number
6 of occasions that the trust were legally entitled to
7 claim privilege for that report, and really your concern
8 was why.

9 THE CHAIRMAN: But that's Professor Swainson's point. He's
10 received similar advice in Scotland not to provide
11 a report, not to produce a report, or produce a report
12 in a certain form, and you have just told us that your
13 position has been that you've never agreed not to submit
14 a report that was available which would be of clear
15 relevance to court proceedings. So it comes down to the
16 question of why: why did the trust decide to in this
17 case? Okay?

18 Can I just pick up that point before I invite any
19 questions from the floor? You may have come across the
20 name of Dr Ian Carson in the papers here, who was the
21 medical director in the Royal Group of Hospitals for
22 some time and then became Deputy Chief Medical Officer.
23 One of the issues which he said -- and has been echoed
24 by others -- is that while this problem has eased
25 a little in recent years, there still remains perhaps

135

1 trust took the view that it didn't have to and it
2 subsequently claimed privilege in relation to it until
3 reasonably recently. And that, of course -- sorry,
4 I don't want to say "of course". At the same time,
5 there was either litigation in being or it was
6 anticipated that there would be. Does that sort of
7 thing have, in your experience, any effect on your
8 duties in relation to the procurator fiscal?

9 A. I'm not a lawyer, so I couldn't answer that in
10 a strictly legal sense.

11 Q. I beg your pardon, I should have re-phrased it. I mean,
12 you sitting there as the chief executive, what would
13 have been your approach and would it have made any
14 difference to your approach, the fact that there might
15 be aspects in a report that could have an effect on
16 either actual litigation or intended litigation?

17 A. The principle I would adhere to is that you make a full
18 disclosure of whatever information you have because of
19 two reasons. One is it helps the process, it can only
20 be helpful. Secondly, if you don't, it'll come out
21 later anyway, if matters proceed any further and you are
22 required to disclose it in any event. So my overriding
23 principle is that in these situations your duty is to
24 assist the court, or whatever, as far as you're able.

25 I have been advised by solicitors previously not to

134

1 too often a culture of litigation defensiveness. In all
2 of the aspects that you've been discussing this morning,
3 what's produced to the coroner, what's said to the
4 families, how willing people are to face up to each
5 other -- for instance, even in Altnagelvin, the critical
6 incident review, the meeting on 12 June, was not minuted
7 or noted in any way because of concerns expressed about
8 any notes being subsequently available in the event of
9 litigation. Would be I right in assuming that you've
10 had similar issues in Scotland?

11 A. Yes.

12 THE CHAIRMAN: And are they still as apparent as before or
13 has there been any change or easing of that culture?

14 A. I think there's been a very considerable change over the
15 past 10 or 15 years by everybody. Certainly in 2001, if
16 it was clear that litigation was being contemplated or
17 had actually started, then there was, I think, a very
18 natural defensiveness from solicitors and from those
19 individual doctors who sought their advice. I can well
20 understand that. But I think that that has changed
21 tremendously in the past 15 years and I think there's
22 far more of a culture now of openness and sharing and an
23 understanding that there really isn't much to be gained
24 by hiding key documentation or facts or opinions.

25 I was also very much guided by the advice I had

136

1 from -- I remember attending a couple of conferences at
2 an organisation called the Association of Victims of
3 Medical Accidents, who were advised by one of the large
4 London solicitor firms, in which they made the point
5 that at a meeting with a family or relatives or
6 a patient, indeed, who was still alive, a medical
7 practitioner was perfectly safe in acknowledging any
8 damage or harm done to that patient and their role in it
9 in that informal sense, even if litigation was pending,
10 because that's not the same as an admission of
11 liability. And the two processes -- that is of dealing
12 with patients and dealing with the court -- are really
13 two quite different things and you really do need to
14 distinguish them.

15 If I think back to 2000/2001, many people found it
16 very difficult to distinguish those processes and
17 responsibilities and the argument I'm advancing was
18 probably quite unusual and would often be challenged.
19 But I have never seen any adverse outcome arising from
20 that and I think the tide of opinion has changed very
21 much towards that now, in 2013, such that those sort of
22 defensive measures I think would now be quite unusual.

23 THE CHAIRMAN: Thank you very much.

24 Any questions from the floor? Mr Coyle?

25 Questions from MR COYLE

137

1 a side room or an anteroom and are invited to attend
2 regarding a precise issue which they're on top of or au
3 fait with to assist the whole group. Is that something
4 you have seen deployed?

5 A. Yes, I'm aware of people using that so you have a core
6 group of people who are in the room most of the time and
7 then you have experts, like I'm doing here, coming in to
8 offer their particular bit. And I think that's probably
9 better, but that's quite difficult to take in, still,
10 even if you're a family member, people might have an
11 additional five or six people popping in and out. It's
12 difficult to remember then who they were, what they
13 said, and if you think of something later you want to go
14 back and ask them, it's quite difficult. So I think the
15 preference is to have a smaller number of people who are
16 very well briefed, hence the importance of the
17 preparation meeting.

18 Q. In terms then of the positioning of people at a meeting,
19 would it be the patient's advocate -- what would you see
20 as good practice in that regard, paragraph?

21 A. How do you mean?

22 Q. The logistics of the meeting. Where ideally should the
23 patient's advocate have been positioned to give the
24 correct designation of her role?

25 A. I think probably right next to the family in the sense

139

1 MR COYLE: If I could ask Professor Swainson to perhaps
2 expand on matters he's touched upon. One is the numbers
3 of people attending the sort of meeting that occurred on
4 3 September.

5 What would you consider to be good practice from
6 a trust's or board's point of view in placing the number
7 of people at a meeting with the family?

8 A. Yes, the difficulty you face is having enough people
9 there who understand what happened balanced against the
10 fact that you've got a small family group who could be
11 easily intimidated by just the sheer number of people in
12 the room, let alone how many it is. I guess the ideal
13 for me is probably an equal balance of family and
14 professionals, with maybe a chair, so that's slightly
15 weighted towards the organisation, but that's difficult
16 to achieve in complex investigations and requires that
17 the people attending have been very well briefed and
18 thoroughly understand all the aspects in which the
19 family might have an interest. But I think if you go to
20 the opposite extreme and -- I don't know how many were
21 at that meeting, I can't recall now from the minute, but
22 if you have 10 or 12 people and only two or three family
23 members, that's quite intimidating to a family.

24 Q. On that point, have you ever seen it deployed that
25 people who can speak specifically to an issue are in

138

1 of seating arrangements.

2 Q. And a point you made there in terms of an issue arising,
3 and people may wish to return to it, was that dealt with
4 in your evidence in respect of a series of meetings
5 where the family might absorb a point or an issue occur,
6 but then be able to return to it on a later occasion.

7 A. Yes, I think there are a number of ways of doing that.
8 One other technique is to have the first part of the
9 meeting for 30 or 40 minutes and then take a break.

10 Q. Yes.

11 A. And the particular role of the patient advocate then
12 would be to withdraw with the family, review what has
13 been said and what has been heard, discuss whether there
14 are any things you want to return to or review
15 again: these are the things we want to hear about next.
16 So you get the chance to assimilate what you've heard
17 and then go back to it and reconvene the meeting.
18 I have seen that work very successfully.

19 Q. Lastly, professor, if you could assist. As we know
20 here, there was an offer to make available to the family
21 the notes and records pertaining to Raychel. How
22 adequate a discharge of the duty of candour or frankness
23 do you see that as being? In other words, providing
24 laypeople with dense medical notes and records?

25 A. I think it's very helpful to give them the notes, but

140

1 it's even more helpful if you couple that with the
2 opportunity to discuss them. So one of the -- I'm not
3 clear about the law in Ireland, but certainly in
4 Scotland there's an Access to Health Records Act, where
5 people can require to see their own records; they just
6 have to write in and ask to see them. The code of
7 practice that goes with that is not that you hand
8 them the record and here's a room you can read them in
9 or you can take away a photocopy, but to offer to sit
10 down with the person and go through the record at the
11 pace that they require in order that they can understand
12 it. And if it's complicated, you probably would have to
13 do that -- well, I know you do have to do that more than
14 witness.

15 Q. It may require writing paper, people being allowed the
16 opportunity to make notes and perhaps take away with
17 them the definitions of medical terms?

18 A. Yes, absolutely, of course.

19 MR COYLE: Professor, thank you for answering my questions.

20 THE CHAIRMAN: Mr Lavery, do you have anything?

21 Questions from MR LAVERY

22 MR LAVERY: Perhaps one brief point through you,
23 Mr Chairman. Can I preface it by saying that the trust
24 believe that Professor Swainson has provided a very
25 balanced report for the inquiry. Indeed, he says at the

141

1 THE CHAIRMAN: Thank you very much. You can step back.
2 (The witness withdrew)
3 Timetabling discussion
4 THE CHAIRMAN: Let me just finish, ladies and gentlemen, by
5 saying that, with the professor's evidence, that brings
6 to an end all of the three elements of Raychel's case
7 that we have been looking at, starting with the
8 aftermath of the death of Lucy Crawford, then the
9 clinical aspects of Raychel's case and the governance
10 aspects. That being the case, I will write formally to
11 all the parties next week, but if any party wants to
12 make written submissions on any or all of those aspects,
13 I'd invite you to start working on them now if
14 you haven't already started and I will lay down some
15 timelines next week for that to be done.

16 We will adjourn in a few minutes and we will resume
17 four weeks yesterday on 16 October to deal with the
18 aspects of the treatment and death of Conor Mitchell
19 that we're looking at. All of the parties, I think,
20 have the original files from what was the
21 Craigavon Trust, what was the Royal Trust, and from the
22 coroner. At our end, as I announced previously, we've
23 engaged Dr Scott-Jupp to do a report. We will have that
24 report available to circulate to the parties on Monday,
25 perhaps tomorrow, but more likely Monday.

143

1 end of the report:

2 "Many of the actions taken by individuals, such as
3 Dr Nesbitt, led by Dr Fulton and supported by the trust
4 and driven nationally by the CMO, ensured that accurate
5 and considered fluid management of ill children is
6 better now than in 2001."

7 And the question that I wanted really to ask through
8 you, Mr Chairman -- and it might provide some comfort
9 for the family -- is does Professor Swainson believe
10 that the actions taken by those individuals perhaps
11 saved lives that perhaps wouldn't have been saved?

12 A. It's hard to answer that precisely, but probably yes.

13 Bearing in mind that these deaths from hyponatraemia are
14 relatively infrequent and rare, it might be a few years
15 before you could be certain of that. But yes, the
16 intention to deliver safer guidelines for the
17 administration of fluid and particularly the requirement
18 to check the blood electrolytes when people are on
19 fluid, yes, that would certainly improve the situation.

20 MR LAVERY: Thank you.

21 THE CHAIRMAN: Nothing further?

22 Professor, thank you very much for your written
23 report and for coming today. Unless there's anything
24 further that you want to add, you're now free to leave.

25 A. No, I don't think so.

142

1 That report is based on the files to which I've just
2 referred. He hasn't yet seen any witness statements
3 which the inquiry has sought, and in terms of those
4 witness statements we've asked 12 individuals for
5 statements. They're due tomorrow with the exception of
6 two people for whom we've given an extension until next
7 Wednesday, and a third person, who I think has suffered
8 a recent bereavement, and we're not entirely clear when
9 that person will be able to report to provide a
10 statement.

11 We also have some outstanding information requests.
12 The reason I'm going through that is twofold. One is to
13 emphasise to the Southern Trust through DLS that we
14 absolutely need these witness statements now. Okay?
15 Secondly, to say that Dr Scott-Jupp will, if he thinks
16 it's appropriate, do a supplementary report based on any
17 fresh information which comes in in the witness
18 statements. So if some points are clarified for him or
19 any fresh issues arise, he will deal with that in
20 a supplementary report.

21 I said when we last dealt with this issue that the
22 Southern Trust as successor to Craigavon can take a line
23 in relation to Dr Scott-Jupp by either engaging its own
24 expert or relying on its witness statements, or a third
25 line might be for the doctors involved to do a position

144

1 paper together.
2 Mr McAlinden, can you help me on this? Are you
3 engaged in this element?
4 MR McALINDEN: I am, I recently received instructions
5 in relation to this element.
6 THE CHAIRMAN: I understand why you will want a few days to
7 look at Dr Scott-Jupp's report in order for the trust to
8 see how critical or otherwise it is or what areas he's
9 critical of or not. But I would like to know at the
10 earliest possible opportunity whether the trust is going
11 to respond through the witness statements it already
12 has, it's making, through engaging its own expert or
13 through the third option I have just suggested of
14 putting together a position paper to which there will be
15 a heavy contribution from those involved.
16 MR McALINDEN: I will hope to be able to give you an answer
17 to that issue by the end of next week.
18 THE CHAIRMAN: Thank you very much. The reason I'm going
19 through this is partly to explain the next stage of the
20 inquiry, starting almost four weeks from now, but also
21 to emphasise that we need this information, in
22 particular we need the witness statements because
23 we have to define interested parties, we have to issue
24 Salmon letters and so on. That will be the next stage.
25 The stage after that, as you know, begins on

145

1 THE CHAIRMAN: Okay. I'll look at this morning's exchanges
2 and, if needs be, we'll come back to that. Thank you
3 very much.
4 That leaves the week of 11 November, when we will be
5 dealing with the current positions, primarily to deal
6 with what has been raised yet again this morning as the
7 family's main concern to see the extent to which things
8 are better now than they were between 1995 and 2001, to
9 see the extent to which the families can be reassured
10 that these same events won't happen again.
11 There's one further issue in Claire's case,
12 Mr Quinn. We have provided Dr Giles's report. It only
13 went out yesterday. I will write to the interested
14 parties, obviously including Mr and Mrs Roberts, through
15 your solicitors at the start of next week, but that,
16 I think, is the only outstanding issue in Claire's case.
17 MR QUINN: I'm obliged, sir. It strikes me that Mr Green
18 should be included in that correspondence.
19 THE CHAIRMAN: Particularly Mr Green and his solicitor, but
20 all of the interested parties will be sent Dr Giles's
21 report.
22 MR QUINN: And I will consult with Mr and Mrs Roberts and
23 their solicitor and prepare a response in due course.
24 THE CHAIRMAN: You'll understand that I'm anxious to sort
25 that issue out fairly quickly over the next week or so.

147

1 20 October. That involves the departmental end. We've
2 circulated and agreed in the absence of contrary
3 suggestions the limited issues on which this part of the
4 inquiry will proceed. We have sought 11 witness
5 statements for which the -- I think the deadline is
6 30 September. We have received three, but one of the
7 concerns, I think, Ms Rodgers, if I can raise this with
8 you, in least one of the statements we've received to
9 date, the witness has answered as best he can, but he's
10 said, "I've been retired for a number of years and
11 I don't have access to the department's documents".
12 With all due respect, that's of limited value to us, and
13 I wonder if for him -- and we'll deal with this in
14 correspondence -- but for him and for other witnesses
15 who have retired, could there be some engagement between
16 your office and the department and those people to
17 ensure we do have access to the documents?
18 MS RODGERS: Mr Chairman, a response has been issued to
19 Ms Dillon this morning. The department's position has
20 been in receiving each of the witness statements to go
21 through it and identify any relevant documentation that
22 it holds and it has served that through the witness
23 statement request. All documents that we hold of
24 relevance have been served with the witness request and
25 no other documents can be found to assist the witnesses.

146

1 MR QUINN: Mr Chairman, you did mention timetabling, written
2 submissions in relation to Raychel's case. There hasn't
3 been much of a mention of timetabling in relation to
4 submissions in relation to Claire's case.
5 THE CHAIRMAN: That's because we haven't quite ended
6 Claire's case.
7 MR QUINN: Yes, of course. I understand.
8 THE CHAIRMAN: I can make that decision once we decide what
9 we're doing on foot of Dr Giles's report.
10 MR QUINN: Yes, sir. I understood that was the delay, but
11 I just wanted to clarify that.
12 THE CHAIRMAN: I think one two people might have sent in
13 submissions already in anticipation, but we'll come to
14 that.
15 That's everything for today. Ladies and gentlemen,
16 thank you for your co-operation over the last four
17 weeks, and we'll meet again on the morning of Wednesday,
18 16 October. I'm not sure it will necessarily be
19 a 10 o'clock start, but we'll let you know in due
20 course. Thank you very much.
21 (2.40 pm)
22 (The hearing adjourned until Wednesday, 16 October)
23
24
25

148

I N D E X

1
2 PROFESSOR CHARLES SWAINSON (called)1
3 Questions from MS ANYADIKE-DANES1
4 Questions from MR COYLE137
5 Questions from MR LAVERY141
6 Timetabling discussion143
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25