

1
2 (10.30 am)
3 (Delay in proceedings)
4 (10.38 am)
5 THE CHAIRMAN: Just before we start, Mr Wolfe.
6 Mr Stitt, when we reached the break in
7 Mr Gilliland's evidence on Thursday afternoon. He
8 covered a lot of territory and we were reviewing this in
9 the inquiry on Friday. Although he wasn't directly
10 involved in Raychel's care, he gave a witness statement
11 in which he covered the decision to operate, the
12 administration of Cyclimorph and whether an
13 appendicectomy was major surgery.
14 These are areas, as you know, which are going to be
15 covered by Mr Foster and Mr Orr on Thursday of this
16 week. Mr Gilliland is going to have to come back at the
17 governance segment of the inquiry. Unless you
18 particularly want him called and the family particularly
19 want him called to give evidence about those three
20 issues, I'm quite content to take his volunteered third
21 witness statement as the view of an expert and not
22 require him to go through that orally. Do you want to
23 think about that or are you content to take that
24 approach?
25 MR STITT: Personally I've just been advised of it and it

1 THE CHAIRMAN: Thank you very much. Mr Wolfe?
2 MR WOLFE: Good morning. The next witness, sir, is
3 Ms Sally Ramsay.
4 MS SALLY RAMSAY (called)
5 Questions from MR WOLFE
6 THE CHAIRMAN: Have a seat please, Ms Ramsay. Welcome back.
7 A. Thank you.
8 MR WOLFE: Ms Ramsay, as the chairman's welcome implies,
9 you have previously given evidence to this inquiry in
10 respect of the deaths of both Adam and Claire; isn't
11 that right?
12 A. That's right.
13 Q. And for the purposes of the inquiry's investigation into
14 the nursing care aspects of Raychel's case, you have
15 provided the inquiry with four reports; isn't that
16 correct?
17 A. That's right.
18 Q. They should be in front of you --
19 A. Yes.
20 Q. -- in the file. They are in the sequence 224-002,
21 224-004, 224-005 and 224-006; isn't that correct?
22 A. Yes.
23 Q. Subject to a number of typos I know that you propose
24 dealing with, would you wish to adopt those reports as
25 your evidence to the inquiry, subject to the oral

1 seems sensible. Obviously, the procedure is entirely
2 a matter for you, but that having been said, you have
3 paid us the courtesy of asking our views and I would
4 like to report that back. My personal recommendation
5 would be to go with that.
6 THE CHAIRMAN: I should say that this message was passed to
7 DLS on Friday in order to try to save Mr Gilliland from
8 rearranging his commitments for this Friday coming and
9 we have received a message this morning that he has made
10 himself available for this Friday afternoon. If he
11 feels particularly strongly about it or the Trust feels
12 particularly strongly about it, I won't prevent him
13 giving evidence, but I'm not sure how necessary that is.
14 MR STITT: That's a helpful indication. Would you permit
15 me, sir, to speak to him on this specific issue?
16 THE CHAIRMAN: Of course.
17 MR STITT: Thank you.
18 THE CHAIRMAN: Okay. You have no --
19 MR QUINN: We have taken instructions from the family and
20 they have no issues with this, so they are quite happy
21 to go along with the inquiry's suggestion and that is to
22 have him recalled in the governance.
23 THE CHAIRMAN: I have his views on those surgical issues, so
24 it's --
25 MR QUINN: The family are happy with that.

1 evidence you'll give this morning?
2 A. Yes.
3 Q. There are a number of typos in your second report; isn't
4 that correct?
5 A. Yes, that's right.
6 Q. Could I bring you to that report? If we could have up
7 on the screen, please, 224-004-025.
8 THE CHAIRMAN: The last paragraph?
9 MR WOLFE: It is the last paragraph, yes.
10 Could you highlight that for us, the point you wish
11 to make?
12 A. "In my experience, omissions from nursing records ..."
13 I have written "were not usual" and it should read
14 "were not unusual".
15 Q. Yes. Could we move five pages forward in the same
16 report, please, to 030? In that paragraph commencing
17 "custom and practice", about three paragraphs from the
18 bottom, is there a typo therein?
19 A. Yes. It's the first point there where I've made
20 a mistake and it should be "4 per cent dextrose and 0.18
21 saline".
22 Q. So the sentence should read:
23 "Custom and practice on Ward 6 resulted in the
24 administration of ..."
25 A. "... 4 per cent dextrose and 0.18 per cent saline

1 preoperatively."
2 Q. Okay. Just for the purposes of the record for this
3 segment of the proceedings, could we take a few moments
4 to look at your career history and curriculum vitae?
5 The inquiry will have this evidence, obviously, as part
6 of the earlier segments, but just for the purposes of
7 the record. Could we start at 224-002-003, please?
8 This is the commencement of the first report you
9 provided to the inquiry. And in the first paragraph you
10 reflect the fact that you are registered with the NMC as
11 both an adult and a children's nurse.
12 A. That's correct.
13 Q. You've managed children's services in both the NHS and
14 the independent sectors and your specialist fields are
15 the nursing care of sick children, clinical governance
16 and professional nursing issues. And there you refer us
17 to appendix 2 of this statement. If we could go there,
18 please, and appendix 2 can be found at 031 of the same
19 report.
20 Here, Ms Ramsay, you set out in greater detail your
21 career history; is that correct?
22 A. That's correct.
23 Q. You describe your current employment as being a
24 self-employed children's nursing adviser.
25 A. That's correct.

5

1 hospital. So I went back to my roots, so to speak.
2 MR WOLFE: So in terms of your clinical management
3 experience, that started in Guy's Hospital; is that
4 correct?
5 A. No, I was a clinical nurse manager at
6 Great Ormond Street first, and then I went to Guy's and
7 did a job there. Then I went off to Ealing and did
8 a clinical manager's job there and then I went back to
9 Guy's.
10 Q. And much of this was in the paediatric setting?
11 A. It was all children's. I didn't have responsibility for
12 any adult services.
13 THE CHAIRMAN: So in summary, from 1972 you've been a nurse
14 and, more specifically, then a paediatric nurse at
15 active nursing level, clinical managerial level and then
16 as director of nursing?
17 A. Yes.
18 THE CHAIRMAN: And that took you through until 2003, so it
19 covers the period of the deaths of all of the children
20 the inquiry is investigating?
21 A. Yes.
22 THE CHAIRMAN: And then after 2003, when you left the
23 Portland Hospital, you continued to do some nursing, but
24 you have also carved out a career as a nursing adviser
25 in a way that's summarised at the top of page 31?

7

1 Q. And you have set out then, within that page, some of the
2 work which is entailed in performing that kind of role.
3 A. Yes.
4 Q. Could I go forward to the next page, please, and if you
5 like, take your career in a more chronological fashion?
6 We now know that you are self-employed, a children's
7 nursing adviser. In terms of your practice as a nurse,
8 could you outline that for us, please?
9 A. How far back do you want me to go?
10 THE CHAIRMAN: You started work in -- is it 1972?
11 A. That was when I first registered.
12 THE CHAIRMAN: Right.
13 A. So I then spent time as a staff nurse, then registered
14 as a children's nurse. And I did a variety of jobs,
15 first of all as a staff nurse. I then trained as
16 a children's kidney nurse or a kidney nurse. Then I had
17 various jobs as a nurse manager, but they were
18 clinically-focused jobs, and eventually became
19 a director of nursing, which I did in total for about
20 eight years. After that, I left that post in 2002.
21 I then had a chief nurse job in the independent sector
22 in a women and children's hospital. And then when
23 I finished all that, I spent some time over a period of
24 a couple of years where I worked as a bank staff nurse
25 on a general children's ward in what was then my local

6

1 A. Yes.
2 MR WOLFE: Moving away from your career history, in terms of
3 the materials which the inquiry has provided to you for
4 the purposes of carrying out your various reports, they
5 are set out in detail in your reports, you've referred
6 to them and listed them in, I think, appendix 4 of your
7 second report. In terms of the materials that were
8 provided to you, you did receive a copy of a report
9 obtained by the Police Service of Northern Ireland and
10 provided by Susan Chapman; isn't that right?
11 A. That's right.
12 Q. And she provided a report to the police in connection
13 with their investigation into the care of Raychel in
14 Altnagelvin Hospital. It's dated 24 September 2005.
15 I wish to bring you to that report and perhaps we could
16 have it up on the screen, please. 095-019-079. Just
17 before I ask you some questions about this report, do
18 you know Susan Chapman?
19 A. I do.
20 Q. She worked in Great Ormond Street Hospital at the same
21 time as you?
22 A. She did.
23 Q. And you would have respect for her as a paediatric
24 nurse; is that right?
25 A. Very much so.

8

1 Q. Plainly, at the time of writing her report, she wouldn't
2 have had the benefit of any of the materials which the
3 inquiry has gathered as part of its investigation, and
4 in particular the witness statements obtained by the
5 inquiry. We can see that if we go over the page,
6 please, to 080. What she did receive from the police
7 were the case notes from Altnagelvin Hospital,
8 depositions and statements from Raychel's mother and the
9 medical and nursing team interviewed after Raychel's
10 death, reports from Dr Jenkins and Dr Sumner, the
11 autopsy report, and the verdict on the inquest into
12 Raychel's death. So she had many of the relevant
13 documents which this inquiry has seen, but not,
14 of course, the inquiry's witness statements.

15 Could I put a number of points raised in this report
16 to you for your comment, please? At paragraph 2.5,
17 which is two pages further on, Ms Chapman reflects that
18 Staff Nurse Patterson completed Raychel's initial
19 assessment thoroughly. Do you see that in the last
20 sentence of that paragraph?

21 A. Yes.

22 Q. Have you any comment to make to the contrary?

23 A. No.

24 Q. Do you agree with that comment?

25 A. I agree with that comment.

9

1 Q. Yes. And then just in a paragraph or two below that,
2 4.4:
3 "The nursing staff observed and cared for Raychel in
4 the immediate post-operative period to a good and
5 appropriate standard."

6 Comment on this, please.

7 A. I would agree with that.

8 Q. Moving through the report, I think it's the next page,
9 paragraph 7.5 and 7.6. No, it must be a few pages
10 further on. I'm told page 090.

11 Rather more general observation from Ms Chapman:

12 "From the documentation I have reviewed, it would
13 appear that Raychel's nursing care was both appropriate
14 to her needs and delivered to a good standard overall."

15 Would you care to comment on that, please,
16 Ms Ramsay?

17 A. Well, I think from some of the evidence that I had,
18 there appear to have been some omissions in the fluid
19 balance records, which would lead me to suggest that
20 there were some aspects that didn't meet the standards.
21 So some of the record keeping. And there appears to
22 have been some vomiting that wasn't recorded and some
23 other observations and, in particular, the urine output.

24 Q. We'll look at those matters as we continue this morning.
25 But looking at 7.5, you're saying you disagree with that

11

1 Q. If we could go then to 4.2 at the bottom of the page:

2 "The child should have frequent observations of
3 pulse, respirations and conscious level initially and
4 the blood pressure and temperature should be taken at
5 regular intervals. Any wounds should also be checked at
6 these times for signs of excess bleeding, inflammation
7 or any other abnormalities."

8 Going over the page:

9 "The child's pain should also be assessed and
10 analgesia administered as appropriate. Staff
11 Nurse Patterson, in planning Raychel's post-operative
12 care, documents the level of observation expected on
13 page 108 [and that is within the episodic care plan
14 which we are all familiar with], which is appropriate
15 for a child of Raychel's age and condition."

16 You have obviously seen the observations which had
17 been planned for Raychel by Staff Nurse Patterson.

18 A. Yes.

19 Q. Would you care to comment on whether they were
20 appropriate for a child of Raychel's age and condition?

21 A. I think they were appropriate and I think in my report
22 I might have said that the frequency was probably more
23 excessive than some people would have implemented. So
24 I think that initial post-operative care was
25 appropriate.

10

1 as an overall conclusion?

2 A. I think that the conclusion at 7.5 applied earlier on
3 in the day and I think that there are aspects of the
4 care that have led me to say slightly differently to
5 what Susan Chapman has said.

6 Q. Then at 7.6 she goes on to say:

7 "Although concerns have been raised about the amount
8 and type of fluid administered to Raychel, the nursing
9 response reflected the appropriate nursing role (which
10 was primarily to ensure the fluid was administered
11 correctly within local and professional guidance) and
12 was within the accepted custom and practice for
13 Altnagelvin Hospital. Likewise, the nursing response to
14 Raychel's nausea and vomiting was appropriate."

15 We'll go into these issues in detail in due course,
16 but in terms of your overall response to that
17 paragraph --

18 A. I think the first part of the paragraph -- and I think
19 it's just the first sentence up to "the custom and
20 practice for Altnagelvin in terms of the fluid
21 administered" -- I would agree with that. The second
22 part, "the nursing response to Raychel's nausea and
23 vomiting", I would have some comments to make that would
24 suggest that there were some aspects of that that
25 weren't appropriate.

12

1 Q. Paragraph 8.2:
2 "Overall, the documentation by the nursing team
3 caring for Raychel appears to be clear and
4 comprehensive."
5 Stopping there: is that your view?
6 A. Some of it is clear and comprehensive and then some of
7 it has elements that haven't been recorded, so ...
8 Q. When you say "haven't been recorded" --
9 A. Well, if the documentation is taken as being all the
10 documentation, all the nursing documentation, then as
11 I said earlier, I think there have been some omissions
12 in some of the charting of information, which would mean
13 that the documentation isn't always clear and
14 comprehensive.
15 Q. So when she goes on to say, "Generally the observation,
16 fluid balance and prescription charts have also been
17 completed appropriately," you have concerns about the
18 fluid balance?
19 A. Yes.
20 Q. And in terms of observations, if that's limited to
21 temperature, pulse, respirations, et cetera, is that
22 appropriate in terms of the recording?
23 A. Sorry?
24 Q. In terms of the recording of such --
25 A. Yes. Those direct observations have been recorded and

13

1 Firstly, if we could have up on the screen, please,
2 Ms Ramsay's final report at 224-006-002. Within your
3 report here at section 5, you deal with nursing
4 qualifications. You reflect the fact that some of the
5 nurses at that time who were responsible for caring for
6 Raychel did not have or were not registered as
7 children's nurses and it would appear that Staff Nurse
8 Noble wasn't a children's nurse and Staff
9 Nurse Gilchrist obtained her qualification after she had
10 cared for Raychel. What is the significance of the
11 point that you're making? If I could place in context
12 the fact that each of these nurses had fairly
13 significant periods of paediatric nursing experience
14 prior to caring for Raychel.
15 A. Yes, and I'm sure they were very experienced, but -- and
16 at one time it was acceptable to have general nurses
17 working on a children's ward. But in the last 20,
18 30 years there has been a big drive to have the bulk of
19 the workforce -- well, in fact all the workforce -- as
20 registered children's nurses. And the difference with
21 being trained as a children's nurse is that you go
22 through a formal process of education that teaches you
23 the differences physiologically and emotionally and all
24 manner of other ways that children are different from
25 adults. So it does give you a solid foundation for

15

1 charted appropriately and then there are other
2 observations maybe not.
3 Q. I know that you have a point in your report about the
4 frequency of observations in the context of the child
5 vomiting, which we will turn to. Then she goes on to
6 make a point in relation to a confusion in the fluid
7 balance chart about the "amount" column, and that's
8 a point you've dealt with in your report, I think.
9 A. Yes.
10 Q. And then if we could go over the page, please, to
11 paragraph 9.2. Again, this may be repetitive of
12 something you said in the middle of the report:
13 "Overall, the nursing care of Raychel Ferguson
14 appears to be comprehensive, appropriate and performed
15 to a good standard."
16 Again, your comment, please?
17 A. Well, I had some criticisms or comments to make about
18 the nursing and there were aspects of the care that were
19 appropriate and then there were other aspects of care
20 that I feel maybe weren't. So I would have a different
21 conclusion to this one.
22 Q. Let's commence then a process of exploring those.
23 Before we do so, within your report you've a couple of
24 general observations to make, which I wish to pick up
25 on.

14

1 caring for children and working with children and
2 families. If you haven't gone through that, then you
3 are dependent on learning things as you go along and
4 while, on a day-to-day basis, people might be quite
5 competent, I feel that they might not have the
6 underpinning education to give them a sound knowledge
7 base about how children are different to adults.
8 THE CHAIRMAN: In very broad terms, it has been described to
9 me a number of times throughout the inquiry that while
10 children can be very resilient and make a very quick
11 recovery, they can also go downhill very quickly.
12 Is that one of the significant differences in children's
13 nursing from adult nursing?
14 A. Yes. You're also dealing with children at various
15 stages of their development and so you need to know how
16 a 1 year-old differs from a 12/13 year-old. So yes, as
17 a general principle that's correct.
18 THE CHAIRMAN: So in fact it's not just experience of
19 children's nursing as against adult nursing, it's the
20 differences between children at different stages of
21 their development?
22 A. Yes, and also children can't always articulate what's
23 wrong with them, so your powers of observation perhaps
24 have to pre-empt things, a child with a tummy ache may
25 not have a tummy ache, that might be their way of

16

1 telling you they've got a headache. So there are
2 various nuances about children that require you to have
3 quite well-developed observational skills and also
4 working with the family is different to working with
5 adults because invariably, as an adult nurse, you don't
6 involve the family to the same extent.

7 MR WOLFE: Some of the nurses who were involved with
8 Raychel's care were, of course, registered children's
9 nurses, and some of them were exceptionally
10 experienced -- I am thinking in particular of
11 Sister Millar whose training went back to the early
12 1970s, if my recollection serves me correctly. Is there
13 an issue there in terms of the period of time from
14 training that you could comment on?

15 A. There can be an issue because when you need to update
16 yourself and have further education, you're then
17 dependent on what's available to you at the time and you
18 might identify what your development needs are yourself
19 or it might be that your hospital provides a certain
20 amount of retraining around key issues and that's what
21 you do. So it's probably ongoing training that people
22 have and not necessarily some ongoing education. And
23 there sometimes has been discussed the turnover of
24 nursing staff, and so it's bad when you have people
25 leaving and you need some consistency, but also there

17

1 are rare and the post-operative care of the
2 non-perforated appendix is the same as for most
3 abdominal operations. It is likely that for this reason
4 few, if any, authors described any post-operative care
5 specific to the child who has undergone a
6 straightforward procedure."

7 A. Yes. I was unable to find very much written in what
8 I regarded as being some common texts at the time
9 specific to post-operative care of an appendicectomy.

10 Q. You've identified a statistic that 80 per cent of
11 children are discharged within 48 hours.

12 A. Yes.

13 THE CHAIRMAN: Was that your own experience as well?

14 A. Yes. I think that -- yes.

15 THE CHAIRMAN: Thank you.

16 MR WOLFE: Then you go on, on that page in front of us on
17 the right-hand, to say:

18 "The key elements of post-operative care are to
19 ensure recovery from the anaesthetic and surgery,
20 observe and monitor the child for any complications,
21 assess and manage any pain, nausea and vomiting, monitor
22 fluid intake and output, assist with getting out of bed
23 and support the child and family."

24 So these are the straightforward nursing tasks or
25 objectives in an appendicectomy situation?

19

1 can be a downside of having a static nursing workforce
2 that's the same team working together over many years.
3 Maybe the new ideas and the challenges to old practices
4 and the reflection don't come about as regularly as if
5 you've got bright young things coming in and asking you
6 questions.

7 Q. In terms of then, moving this along, to the reason for
8 Raychel being in hospital, she came in with an
9 appendicitis and received her surgery in the early hours
10 of 8 June 2001. And the surgeon recorded that this was
11 a mildly congested appendix and you would have seen that
12 in the records in 020-010-018, the surgeon's report.
13 I want to ask you some questions about appendicectomies
14 and the key elements of post-operative nursing care.

15 If we could open your report at 224-002-008. Just
16 maybe go on to the next page. That appears to be
17 a rogue reference. If we could have 8 and 9 together,
18 please. At the bottom of page 8 on the left-hand page,
19 Ms Ramsay, you cite the work of Wong. Who is Wong?

20 A. Wong is -- she's an American author who wrote and still
21 edits, I think, the definitive or one of the key nursing
22 texts. So Wong was very popular in the 1990s and so she
23 does know a lot about it, about nursing.

24 Q. She wrote in 1995:

25 "Following a simple appendicectomy, complications

18

1 A. Yes.

2 Q. And you will have observed from the episodic care plan
3 the approach adopted by the nurses and, in particular,
4 Staff Nurse Patterson, who formulated that plan.

5 A. Yes.

6 Q. And I think you've indicated earlier that the plan that
7 was on paper was appropriate.

8 A. Yes.

9 Q. You go on to say that, from the records, you've
10 concluded that Raychel's operation was straightforward,
11 and you set out what a nurse might have expected arising
12 out of a straightforward operation.

13 A. Yes.

14 Q. Can you just explain that to us?

15 A. I'm not so sure I understand.

16 Q. All things being equal in Raychel's case, given that the
17 operation proceeded straightforwardly and it was
18 a mildly congested appendix, explain what the nurses
19 might have expected going forward.

20 A. Well, that when she came round from the anaesthetic, she
21 would be waking up a bit. If her pain was under
22 control -- she'd had some intraoperative analgesia, I
23 think, and then for her to slowly mobilise, get out of
24 bed, to start drinking at some stage during the day and
25 to decrease the intravenous fluids at the same time to

20

1 compensate for that. Possibly to -- well, probably to
2 be a bit sleepy at times. You don't suddenly recover
3 from abdominal surgery just like that, but to gradually
4 have improved as the day wore on.
5 Q. You've used a phrase in your report quite often, "normal
6 recovery pathway".
7 A. Mm-hm.
8 Q. Is that what you mean by that?
9 A. Yes. There's been a tendency over the years to look at
10 what would be normal progress around certain conditions.
11 That's what you then call the pathway. So the majority
12 of children coming in with X, you would expect this and
13 this and this to happen. So that's what I would call
14 a normal recovery pathway.
15 Q. And you've said in your report or reports, I think, that
16 you considered that it was initially reasonable for
17 nurses to expect that Raychel would follow the usual
18 post-operative recovery pathway.
19 A. Yes, because they weren't given any indication from the
20 surgeons or from whoever is handing over in the theatres
21 that there was anything to be particularly concerned
22 about. So to think that she had had a straightforward
23 procedure, I think it was reasonable to expect that she
24 would then go on to have a straightforward recovery.
25 Q. Yes. But presumably, Ms Ramsay, a nurse or a nursing

21

1 the sorts of things that you'd be looking for I suppose
2 are the child's behaviour, their demeanour, their
3 colour, their response, their observations that you're
4 recording, changes in those observations, intake,
5 output, any deviations from what you would regard as
6 normal at that stage of recovery.
7 Q. The inquiry has seen some evidence which suggests that
8 nausea and vomiting in a post-operative child might be
9 regarded as normal or to be expected.
10 A. Yes. A significant number of children experience nausea
11 and vomiting post-operatively.
12 Q. Yes. A question does arise -- and maybe for convenience
13 we'll take it now. Raychel had an initial period of
14 eight hours without apparent nausea or vomiting, the
15 first vomit being recorded at or about 8 o'clock on the
16 first post-operative day. Of course, she was asleep in
17 the period before that. Can you assist the inquiry in
18 terms of whether that initial period of time without
19 vomit then followed by vomiting is an unusual course?
20 A. I think that I probably can't say. It's individual to
21 children. I think there's other factors that might come
22 into play that would affect the pattern of vomiting and
23 maybe while you're lying quietly in bed, all can be
24 okay, and then once you get up and start to move around
25 a bit, that might provoke something. So I'm not so sure

23

1 team should be sensitive or alive to the potential that
2 an initial smooth or appearing to be smooth recovery may
3 not persist?
4 A. Well, you always have to be open to the idea that all
5 children are not the same and they can respond
6 differently, but I think over time maybe, if you haven't
7 seen somebody who has gone awry, maybe in the mists of
8 time one can forget that on occasions that things might
9 not go smoothly, so you have to be constantly aware of
10 the fact that things can go wrong.
11 Q. And I think, as we will see as your evidence develops,
12 you've expressed a concern that the nurses, nursing
13 team, got boxed into an expectation of a normal recovery
14 and weren't alive to some of the factors that were
15 suggesting that the child was deteriorating.
16 A. Yes.
17 Q. Could we establish perhaps as a baseline the
18 following: what are the kinds of factors that a nurse
19 should be alive to as suggesting a departure from, if
20 you like, normal recovery?
21 A. Bearing in mind that the nurses won't have known the
22 child in a well state, they need to take account of what
23 the parents are saying because they're often the best
24 judge of whether behaviour is normal or not normal. So
25 you have to use what the parents' perceptions are. But

22

1 that I would be happy to impart a general rule to this
2 because it's individualised.
3 Q. We will go on in your evidence and look at the specific
4 area of at what point in time, if at all, the vomiting
5 which did happen should have been regarded as normal or
6 abnormal. It's an issue that we will look at in detail.
7 Before we get that, I want to ask you about some of the,
8 if you like, building blocks. We know that an episodic
9 care plan was developed and you have said in your report
10 that this was a computer-generated plan, and we've heard
11 evidence from Staff Nurse Patterson in relation to that.
12 A computer-generated plan in 2001, was that a fairly
13 normal device that was used in paediatric settings?
14 A. I think it was something that lots of places had
15 developed, so it wasn't unusual, and there was a trend
16 towards computerising care plans at that stage and
17 in the 90s.
18 Q. You've said in your report -- we needn't bring it up on
19 the screen, but the reference is 224-004-026 -- that:
20 "The care plan shows appropriate problems and
21 actions in relation to post-operative care, including
22 observations, IV therapy, monitoring fluid intake and
23 output."
24 But you go on to say:
25 "However, nausea and vomiting are not identified as

24

1 actual or potential problems."
2 And you say:
3 "Considering the frequency of nausea and vomiting in
4 children, I consider that the omission to plan for that
5 was a failure in care planning."
6 A. Yes, and I think that probably reflects a personal slant
7 on care planning. Care plans probably have 100
8 different approaches to them and so because, as I've
9 said, it's something a lot of children experience, then
10 perhaps I would have put it in as a possibility for
11 people to look out for. Somebody else might have viewed
12 that differently because some people did only input
13 actual problems. I think that the computer-generated
14 care planning is sometimes an important factor in what
15 goes in and what doesn't go in because if things are
16 already set up on the computer, so you're actually
17 downloading something that's already been prepared, it
18 might be more difficult to add problems and potential
19 problems.
20 Q. Yes. So your approach, which you describe as a personal
21 approach, would have been, if you like, to front load
22 the issue of vomiting?
23 A. Yes.
24 Q. It might occur because it's a common feature --
25 A. Yes.

25

1 Nurse Patterson, who developed this particular care
2 plan, which is that because Raychel wasn't vomiting
3 at the time the care plan was written, it would be an
4 equally valid approach not to include it at that time,
5 but once vomiting occurs, then you might revise the plan
6 because it, in her words -- or perhaps my words put to
7 her -- it's a living document that can be developed as
8 changes occur.
9 A. Yes, that's appropriate if the problem then gets put in
10 at some stage.
11 Q. Yes. You said in your report at 224-004-026 that:
12 "Care should be reviewed against the plan and any
13 departure noted and the plan changed as necessary."
14 A. Yes.
15 Q. Could you elaborate on that for us, please? We've heard
16 something about the need to evaluate the plan as things
17 developed and, in the context of this ward, the plan
18 appears to have been written up or added to at the end
19 of a shift.
20 A. Yes, it would be usual practice to look at what you
21 intended doing, evaluate whether it worked, make
22 a record of it and change it at the end of a shift.
23 Of course, if you have the care plan at the bedside you
24 can make some changes as you go along, as events happen,
25 but if the care plan is elsewhere it makes that more

27

1 Q. -- of this kind of surgery?
2 A. Yes.
3 THE CHAIRMAN: That would mean you would include it in every
4 nursing care plan for a child who'd been under general
5 anaesthetic?
6 A. Yes.
7 THE CHAIRMAN: Right.
8 A. Maybe a child who'd had surgery, not necessarily a ...
9 MR WOLFE: Could I put -- sorry.
10 A. Well, children have general anaesthetics for other
11 things, so I --
12 THE CHAIRMAN: Yes, for different reasons besides surgery.
13 A. -- think that probably someone who was just having a
14 quick anaesthetic for an investigative procedure might
15 be less likely to vomit so I wouldn't put that in, but
16 if a child had undergone some surgery, then I would
17 include that as a possibility. The other element of
18 care planning, if I could just add, is as a teaching
19 tool and if a ward has students, then I'd be of the
20 opinion that you need to include things so that other
21 people can learn from that situation. So that's what
22 would cause me to put it in as a potential.
23 THE CHAIRMAN: Okay.
24 MR WOLFE: Can I put the other perspective? It came through
25 the evidence of some of the nurses, including Staff

26

1 difficult. But it would be usual to say whether or not
2 things had worked and to do some changes.
3 Q. And how should that appear? Let me put it by way of
4 a hopefully accurate example. The plan for Raychel, as
5 we know, didn't start with vomiting or nausea contained
6 within it, but by lunchtime on 8 June she had three
7 recorded vomits on her fluid balance chart. What would
8 you expect nurses to be doing in terms of the care plan
9 by that point in terms, first of all, of what they would
10 record?
11 A. Well, to identify that it was a problem and where on the
12 care plan it's listed all the things that had to be done
13 like the observations and what have you, to add another
14 one at the bottom that said "vomiting" and then to list
15 the elements that were necessary to manage Raychel while
16 she was vomiting. So that would be things like monitor
17 the amount of vomiting, give anti-emetics as prescribed,
18 accurate fluid balance, checking that she's comfortable.
19 So it would be the problem and then the elements of
20 nursing that were needed in order to help alleviate the
21 problem.
22 Q. And in terms of good practice, would it be good practice
23 to do that contemporaneously as the problem arises, or
24 is it satisfactory to do it at the end of a shift?
25 A. Well, ideally these things should be done

28

1 contemporaneously. So the next person that happens to
2 come along in an hour's time, could if they wanted to,
3 see what's going on. I think in practical terms though,
4 particularly around that era, people tended to wait
5 towards the end of a shift and then wrote up everything
6 ready for the next people coming on duty. So it would
7 not be unusual to have everything done at the end of
8 a shift as opposed to as it happened.

9 Q. The episodic care plan, as we've been told, wasn't
10 available at the bedside of the child, it was
11 a computer-based document, whereas what was available
12 at the bedside were the fluid balance chart, the drug
13 kardex and the observations sheet. Could you assist us
14 in terms of whether that was a typical approach to
15 documentation at the bedside?

16 A. I suppose there's a difference of opinion with regards
17 to how one views computerised care planning. And
18 of course, at this time some of it wasn't very well
19 developed. The whole idea of a care plan is that it's
20 a communication tool, not just for the next nurse that
21 comes along, but in my experience it's something that
22 the parents have access to as well, so they can see what
23 the people caring for their child intend doing. So
24 having it by the bedside has the advantage of it being
25 information there and readily accessible for whoever

29

1 And the explanation given to me over the last couple
2 of weeks has been that that's precisely what the nurses
3 didn't want, to have it readily accessible to whoever
4 came along. That would be so that, for instance,
5 visitors -- for example, non-family visitors -- wouldn't
6 just be able to have a look at it in the -- that would
7 be regarded as inappropriate -- or anybody passing by
8 the bed. It can become a bit far-fetched, the cleaner
9 on the ward is hardly likely to want to read the care
10 plan, but for instance a non-family visitor.

11 A. I have to say that's not been particularly my
12 experience. For many a year, the care plans have been
13 by the bedside in a folder so somebody who shouldn't be
14 reading it would be readily obvious to the passer-by
15 that they would have to have gone to a little bit of
16 trouble to read it. So maybe it's one of those things
17 that your past experience has influenced what you decide
18 to do. If there are parts of the document that you feel
19 are particularly highly confidential, then you can tuck
20 those away somewhere, but I don't share the same
21 experience.

22 THE CHAIRMAN: It's not a fundamental criticism that the
23 care plan was at the nursing station. If I understand
24 you correctly, you're flagging up the idea that a
25 consequence of that is that it's not quite as

31

1 comes along. Otherwise, if you've got to go and
2 retrieve information from a computer, you've got to get
3 access to that computer and the possibility is that
4 there's only ever one station and people are queueing up
5 to use it, so you can less readily go to check what's
6 already happened, whereas if the care plan is already in
7 front of you, you can have a quick look at what's
8 happened, what somebody has said before. But I am aware
9 that computerised care plans were in the machine and not
10 run off by the bedside, although there should have been
11 a -- and I think there probably was -- a facility to run
12 it off and keep a copy by the bedside.

13 Some of the reluctance to keep care records beside
14 the bed was perhaps that sometimes people felt that
15 parents shouldn't be able to readily see them. I'm not
16 of that opinion. I think you should not have been
17 writing things that you couldn't readily share with
18 parents.

19 THE CHAIRMAN: The more general explanation which was given
20 to me about not keeping documents at the bedside was
21 exactly along the lines that you have said. You said
22 a few moments ago:

23 "Having it by the bedside has the advantage of it
24 being information which was there and was readily
25 accessible for whoever comes along."

30

1 straightforward for notes to be written up
2 contemporaneously and, when they're not written up
3 contemporaneously, they might be overlooked or delayed?
4 A. That's right, and also having a look to see what
5 happened: if you've then got to go somewhere in order to
6 do that, you might think otherwise.

7 THE CHAIRMAN: Thank you.

8 MR WOLFE: You flagged up in your report, Ms Ramsay, two
9 aspects of the care plan were not complied with. And
10 those were, first of all, the requirement to encourage
11 oral fluids and the requirement to record, the emphasis
12 being on the latter, the requirement to record. And
13 secondly, there was a requirement to observe and record
14 urinary output. And while there was one reference to
15 passing urine, there were no others; could you deal with
16 that for us? First of all, why would it have been
17 important to address those matters in terms of record
18 keeping?

19 A. As a child's oral intake increases, then you have to
20 reduce the amount of intravenous fluid. And in order to
21 do that, you have to have an idea of how much they're
22 drinking. So a record of what they've had to drink is
23 important because otherwise you don't know how much to
24 reduce the IV by. There are ways of measuring the
25 amount of fluid that a child takes: you give them

32

1 a glass and you see how much is left in the glass; you
2 ask the parents to keep a note for you because they're
3 there most of the time and like to be involved and
4 that's one good way of using them. So that's the intake
5 bit.

6 Q. Yes. In terms of the output?

7 A. Well, the output -- you don't only record when
8 somebody's passed urine, you record also if they haven't
9 passed urine and the abbreviation for that is NPU, not
10 passed urine. So by asking periodically if they've
11 passed urine -- particularly if a child has been up and
12 about, so it means that you perhaps might have missed
13 a trip to the toilet and then you just ask, and if they
14 haven't been in that previous period, you would write
15 down "NPU" to indicate that at that point they hadn't
16 passed urine.

17 Q. It has to be said that each of the nurses who have given
18 evidence in relation to this have accepted, I think --
19 and I could stand corrected -- that their record keeping
20 with regard to those two aspects left something to be
21 desired. But one of the issues that was mentioned in
22 this context was perhaps the difficulty of maintaining
23 an accurate record where you have a child who is at
24 least, for a certain period of time, reasonably mobile
25 and is with the parents in the care of the parents.

33

1 perhaps that resulted in the approach being a little bit
2 lax, particularly on a ward that was under pressure in
3 terms of the number of staff available and the number of
4 children that there were for them to look after. So the
5 importance of recording that to a high level on every
6 child who's on intravenous infusion had probably drifted
7 a bit over time.

8 Q. In this context as well, there appears to have been
9 a failure to record all vomitus output. Plainly, as
10 you've indicated in your report, it would have been
11 important to record all vomits --

12 A. Yes.

13 Q. -- for the same reasons, that it's relevant to fluid
14 balance?

15 A. Yes. Fluid balance charts require you to put entries
16 into all the columns on it and then it allows you to
17 calculate the fluid balance.

18 Q. Could I ask you about a number of other note keeping or
19 record keeping issues? First of all, as I think
20 you have reflected in your report, there seems to have
21 been a disconnect between what the parents say they were
22 complaining about -- they say they readily communicated
23 to nurses about the extent of the vomit, Raychel's
24 listlessness, and certainly by at or about 9 pm,
25 Mr Ferguson raised a complaint about Raychel's headache.

35

1 Is that a valid response to explain the difficulties
2 with recording or are there ways around this?

3 A. I think there's ways around it. Nursing care is
4 a partnership between the nurse and the family. So you
5 get the family to assist you with certain things and so
6 telling the parents that you need to know if the child
7 goes to the toilet and then you can ... When you want
8 to measure it specifically, you give them a bowl, when
9 they take the child to the toilet, and that means that
10 you are then in a position to measure it. In my
11 experience, most parents are only too happy to assist
12 with that.

13 Q. Obviously the need to record both of those matters,
14 output and input, goes to the question of maintaining
15 accurate information so that fluid balance can be
16 readily assessed; isn't that right?

17 A. Yes.

18 Q. Have you any comment to make on whether the failure to
19 record such matters says anything about the focus or
20 concentration that was given to the issue of fluid
21 balance by the nursing team?

22 A. Well, I think there's a possibility that it wasn't
23 anticipated to be a problem because most children, the
24 majority of children, would get better fairly quickly
25 and if you weren't expecting anything untoward then

34

1 The notes and records do not appear to reflect any
2 concerns expressed by the parents and, in fact, on the
3 contrary, the episodic care plan seems to suggest that
4 the parents were content with explanations that were
5 given to them, et cetera. Could I ask you this after
6 that long preface: should concerns expressed by parents
7 be recorded?

8 A. Yes. I think the difficulty is how much of what
9 a parent says to you can you actually get to write down
10 because there's a logistical issue there. You might not
11 have time to write a verbatim report of what they've
12 said. But if parents are -- I wouldn't say unduly
13 anxious because all parents are anxious at some stage
14 and sometimes you have to placate them because
15 everything is normal, but if parents are expressing
16 concern, then you would make a note of it because they
17 might need -- their fears might be irrational, but they
18 might themselves need ongoing support. So for whatever
19 reason, it needs to be noted that they've got concerns.

20 Q. The notes, again, don't record, at least
21 contemporaneously, the attendance of doctors. So
22 Dr Devlin came at or about 5.30/6.00, he signs the
23 kardex, doesn't time it. The nurses who are aware of
24 his presence don't make a record. Dr Curran attends at
25 or about 10.15, he signs and times the kardex. There's

36

1 a nursing record made at or about 6 am in relation to
2 his attendance. Could you help us with this, Ms Ramsay:
3 should the attendance of doctors and their activities
4 with the patient be recorded by nursing staff?
5 A. As a minimum I would expect that "Seen by doctor
6 [whoever]" would be recorded and any outcome of he or
7 she seeing the child. I think the difficulty is that if
8 you only write things at the end of a shift, you can
9 have, by that time, a lot of things to write on a lot of
10 children and so there's the tendency to either forget
11 things or just not have the time to put it all down.
12 But I think, yes, there should be a reference to the
13 fact that a child has been seen by a doctor and what did
14 they say.
15 THE CHAIRMAN: In order for that to happen, then there needs
16 to be some communication between the doctor and the
17 nurse when the doctor comes to see the child.
18 A. Yes.
19 THE CHAIRMAN: And what's missing in Raychel's case is any
20 clear record that when Dr Devlin came in the late
21 afternoon and when Dr Curran came later on in the
22 evening that there was really very much communication at
23 all between them and the nurses. For instance, it
24 appears that they saw Raychel without a nurse being with
25 them and, if they had any conversation with the nurses

37

1 basis. Could I bring up on to the screen, please,
2 document 020-015-029? This is the observation sheet in
3 respect of Raychel.
4 Apart from the vomit that's identified at
5 2115 hours, the very last entry, it's quite clear that
6 you couldn't pick up this document and understand that
7 Raychel had been vomiting throughout most of this day.
8 The explanation for that seems to be that this document
9 is intended to record, if you like, the events as the
10 nurse attends the child at that particular time, do you
11 follow that --
12 A. Yes.
13 Q. -- whereas the actual vomits are recorded on the fluid
14 balance chart? One of the criticisms that emerges from
15 Mr Foster's report, the surgeon, is that in terms of
16 Raychel's state of well-being during that day,
17 documenting of it is, to say the least, rather sparse.
18 First of all, in terms of the observations, would you
19 have expected some reflection of the fact that Raychel
20 was vomiting or had been vomiting during the day?
21 A. What, to be entered in this "comments"?
22 Q. In this document, yes.
23 THE CHAIRMAN: Just to get it clear, that is entered in this
24 document as well as on the fluid balance sheet.
25 MR WOLFE: Yes.

39

1 as they left, it was pretty thin. Whether it's
2 a doctor's fault or the nurse's fault or a combination,
3 you would expect more than that, wouldn't you --
4 A. Yes.
5 THE CHAIRMAN: -- because the nurses have to have a chance
6 to communicate to the doctor just exactly what their
7 concern is and how great a concern it is? And then they
8 need to know what the doctor thinks afterwards.
9 A. Yes, and then the nurse would also have to impart some
10 of that information to the family because sometimes
11 medical comments need to be interpreted so that a family
12 understands what's going on.
13 THE CHAIRMAN: So from the nurse's own perspective, so she
14 knows what to do next or she knows what to look out for
15 and so she can reassure the parents?
16 A. Yes.
17 THE CHAIRMAN: And both the doctor and the nurse should know
18 that?
19 A. I would think so, yes.
20 MR WOLFE: We're going obviously to look at the interaction
21 between nursing and medical staff later on in your
22 evidence, but can I move now to the issue of -- in more
23 detail, as I know we touched on it earlier --
24 post-operative vomiting. Could I start by asking you
25 this: the observations of Raychel were on a four-hourly

38

1 THE CHAIRMAN: Because they were entered or at least many of
2 them, but not all of them, were entered on the fluid
3 balance sheet. So the question really is: should there
4 also have been a reference to them on this observation
5 sheet?
6 A. My understanding of this is -- how Raychel was observed
7 at a particular time when the observations were taken,
8 so if she had been vomiting when those observations were
9 taken then I would expect that entry to be on here. But
10 it's not -- it doesn't appear to be a sort of catch-all
11 for the previous hour; it's a moment in time. The other
12 thing I will say is that this comments type of
13 observation chart would not be standard in my
14 experience, that you wouldn't write an hourly commentary
15 of what you observed doing observations, and that other
16 graph-type charts don't have that space for a narrative.
17 MR WOLFE: A graph chart was maintained as well. I think
18 it's the previous page, 028, if we could just take
19 a look at that. Is that more common in your experience?
20 A. That's more common, and in my experience that would have
21 all the observations on. You might add some things
22 at the bottom that you felt were particularly relevant,
23 but there wouldn't be the facility for writing that
24 there is on that other chart.
25 THE CHAIRMAN: So it's actually better to have the other

40

1 chart, even though in your experience it's unusual? Can
2 we go back to 29, please?
3 A. It does give you a comment of the other aspect of
4 observation, which is not just recording temperature,
5 pulse, blood pressure and what have you; it's what you
6 actually see with your eyes. So it does offer
7 a facility for that.
8 THE CHAIRMAN: If you've got the graph chart we just looked
9 at a moment ago and you have this observation sheet and
10 you have the fluid balance sheet, then there's
11 opportunity between those different documents for, for
12 instance, a doctor coming along to see Raychel to have
13 a quick look through those documents --
14 A. Yes.
15 THE CHAIRMAN: -- and to get a reasonably informed picture
16 of what her condition is.
17 A. Yes.
18 THE CHAIRMAN: So in fact, having this, which you think is
19 unusual, is or was an advantage in Raychel's case?
20 A. Was an advantage.
21 THE CHAIRMAN: But I think Mr Foster's concern is that this
22 only captures the observation at the precise time, so
23 for instance if you look at the very bottom at 21.15,
24 there is a reference to vomiting because that coincided
25 with Staff Nurse Gilchrist's entry. But it doesn't

41

1 A. It wasn't initially; it became four-hourly.
2 MR WOLFE: Could I ask you this in terms of an issue: should
3 nausea be the subject of a record if the child is
4 nauseous?
5 A. My opinion is yes because nausea is very uncomfortable
6 and, I would think, quite distressing to children. So
7 nausea may be something that you would need to try to
8 control before it led on to some vomiting and I should
9 think a child with vomiting is quite miserable. So
10 asking them how they feel and making a record that they
11 feel sick would seem appropriate to me.
12 Q. Moving on to the vomiting and how it might have been
13 controlled, you have said in your reports that:
14 "Post-operative nausea and vomiting is associated
15 with many of the common surgical procedures of
16 childhood."
17 Is that correct?
18 A. Yes.
19 Q. And it's particularly common among the 5-to-12 age
20 group?
21 A. Yes.
22 Q. You say that:
23 "If a child is in that state, then it should be
24 reported to doctors reasonably quickly so that
25 anti-emetic treatment can be implemented."

43

1 reflect earlier vomits, which did not coincide with the
2 observations. What I think Mr Wolfe's question to you
3 was: what do you think of Mr Foster's suggestion that
4 really more should have been entered on this sheet to
5 give a greater picture rather than the picture at the
6 precise time? Is that a bit beyond saying: well, yes,
7 it might have been better? Can you really go any
8 further, given that the vomits, for instance, were
9 recorded on the fluid balance sheet?
10 A. I don't think that this is meant to capture all the
11 things that would be captured elsewhere in the
12 evaluations, in the fluid charts. And I would also
13 suggest that maybe Raychel having undergone an
14 appendicectomy was not perceived to be at a stage where
15 she needed a lot of written comments about what state
16 she was in. If she was a child in an intensive care
17 unit or something where you're very worried about
18 behaviours and things, then maybe that could be added
19 to. But I think that level of recording on an hourly
20 basis is probably quite comprehensive.
21 THE CHAIRMAN: Okay.
22 MR WOLFE: Sorry, four-hourly basis.
23 A. Sorry, a four-hourly basis, each time the observations
24 were done.
25 THE CHAIRMAN: It became four-hourly but wasn't earlier.

42

1 A. Yes.
2 Q. And I think you express the view that while there was
3 a vomit at 8 o'clock, that needn't necessarily be the
4 trigger to run off to the doctor, you would wait perhaps
5 to see if that vomiting recurred; is that fair?
6 A. Yes, because my understanding is that the 8 o'clock
7 vomit was of undigested food from the previous evening,
8 so you might think that now she's got rid of that,
9 perhaps it'll settle down and she'll be okay. What you
10 would need to check is whether the nausea persisted.
11 Q. You say that after the second vomit, which was
12 identified in the records as a large vomit at 10.30, at
13 that point an anti-emetic should have been requested.
14 A. Yes, because it's my view that she was probably
15 uncomfortable.
16 Q. It is fair to reflect the fact that Sister Millar in her
17 opening comments to the inquiry, when she gave evidence
18 here at the public hearing, indicated that by the time
19 of the 1 o'clock vomit she now thinks a doctor should
20 have been called for the purposes of anti-emetic. Staff
21 Nurse McAuley's evidence certainly is that by the
22 1 o'clock vomit as well, an anti-emetic should have been
23 sought. Your view seems to be a little different, you
24 would be suggesting, I think, that by the time of the
25 second vomit?

44

1 A. Yes, because my view is that one should aim to alleviate
2 discomfort and so I would think that if you have
3 a second vomit at 10.30, that there was some discomfort
4 associated with that, and so aiming to minimise that
5 discomfort would have led me to try to do something
6 about it.

7 Q. It would appear from the records that at the time of the
8 surgery or just post surgery -- I can't quite remember
9 now whether it was the anaesthetist or the surgeon --
10 had prescribed anti-emetic on an as-required basis. And
11 in fact, it was Dr Devlin who picked up and, if you
12 like, ran with that prescription at or about 6 o'clock.
13 Should that have been a factor in the nursing thinking
14 in the morning?

15 A. Well, if the prescription was there, then the difficulty
16 was that they then had to get somebody to come to give
17 it. So I don't know in terms of ... It anticipates
18 that the child is going to experience nausea and
19 vomiting, the fact that somebody had pre-emptively
20 written a prescription.

21 MR QUINN: Mr Chairman, might I just correct one thing? As
22 I was following through, I took the witness to say that
23 the early vomit at 8 in the morning was the dinner from
24 night before, the undigested food.

25 THE CHAIRMAN: It was the lunchtime vomit, wasn't it?

45

1 vomit at lunchtime, 1300 hours, although Mrs Ferguson
2 recalls an earlier vomit at 12 noon or thereabouts,
3 was the undigested food.

4 Just in terms of your report at 224-004-013, you
5 said:

6 "Since the first vomit was of undigested food,
7 presumably from the previous day, it was reasonable in
8 my opinion to see if the vomiting recurred."

9 So could you help us in terms of what is the
10 significance of whether the vomit was of undigested food
11 in terms of whether you'd get a doctor there?

12 MR QUINN: Mr Chairman, I think the point is ... My reading
13 of the papers -- and again I stand corrected if I'm
14 wrong on this -- is that the nurses weren't aware of the
15 undigested food. That's the point as I understand it.
16 Because I think that was one of the vomits that wasn't
17 reported to the nurses.

18 MR WOLFE: My learned friend's right about that and I was
19 going to come to that point. The evidence is that no
20 nurse, as we understand it, has put their hand up to
21 being aware of the 8 o'clock vomit or what it looked
22 like --

23 THE CHAIRMAN: That's the noon vomit you're talking about.

24 MR WOLFE: That's right. But in terms of this witness's
25 point --

47

1 MR QUINN: I am just correcting that. If I heard right --
2 and maybe I didn't --

3 THE CHAIRMAN: I think you heard the witness right. It
4 wasn't the 8 o'clock vomit, Ms Ramsay, it was the
5 lunchtime vomit.

6 A. Right.

7 MR QUINN: If you look at WS020/1, at page 8 and page 18.

8 THE CHAIRMAN: This is the rice, isn't it?

9 MR QUINN: This is the rice vomit. It's mentioned by
10 Raychel's mum on two occasions on both those pages.
11 You'll see at the first paragraph, page 8, about ten
12 lines in:

13 "I could see all the rice that she had eaten come
14 up."

15 That's under (a). The other paragraph it's
16 mentioned in -- I think it's the first paragraph, under
17 37:

18 "At 12, there was the large vomit that consisted of
19 rice into the sink at the toilet."

20 THE CHAIRMAN: Thank you.

21 MR WOLFE: Yes. Just in order to deal with that a little
22 further, if we could have up on the screen the fluid
23 balance chart at 020-018-037. Just to assist the
24 witness, you can see the 8 o'clock vomit just recorded
25 as "vomit" and then, as my learned friend indicates, the

46

1 THE CHAIRMAN: Sorry. If it is in fact the case, Ms Ramsay,
2 that it was a vomit at around noon which is the rice,
3 which is the food from the previous day rather than the
4 8 am vomit, does that affect your assessment of events
5 and when a doctor should have been called?

6 A. I'm not ... Can I just sort of say something out loud
7 in the hopes that it'll come out appropriately? My
8 reason for saying that if the vomit was undigested food
9 then I wouldn't have necessarily called anybody because
10 my thinking would be, "Well, that's been sitting there
11 for a long time, she's got rid of it, all might be okay
12 now". It's when somebody has vomiting and nausea that
13 I would interpret as being uncomfortable that I would
14 seek some medical input for an anti-emetic.

15 THE CHAIRMAN: Okay.

16 A. Does that clarify my thinking?

17 THE CHAIRMAN: It helps a little bit. I think your basic
18 point is there is a bit of a debate and the nurses have
19 made a number of concessions on this. There's a bit of
20 a debate about whether it would have been appropriate to
21 call a doctor earlier than the doctor was called. He
22 seems to have been called at some point after 3 o'clock,
23 but regrettably did not reach the ward until about
24 6 o'clock, and in fact what happened at 6 o'clock was
25 a doctor who happened to be on the ward for something

48

1 else was effectively grabbed and asked to see Raychel.
2 It now seems to be accepted that, in broad terms,
3 it would have been appropriate to call a doctor around
4 lunchtime -- and I'm not sure, frankly, that it matters
5 very much to me whether the consensus is that the doctor
6 might have been called after the second vomit rather
7 than the third or the third vomit after the second, but
8 once you get past one and certainly once you get past
9 two, then I understand your evidence to be that you're
10 then in the territory where a doctor should be called
11 to, at the very least, ease Raychel's discomfort and
12 also at the same time to assess her to see if there's
13 anything more significant that may be causing this
14 vomiting.

15 A. Yes.

16 THE CHAIRMAN: Right.

17 MR WOLFE: In fact, chairman, as I recall the evidence,
18 there are two points. First of all, there should have
19 been a doctor attending at or by lunchtime. That's one
20 point. The second point is that having decided to get
21 a doctor at or about 3 o'clock, Sister Millar accepted
22 that the delay was in fact too long before a doctor
23 actually arrived at or about 5.30 or 6.00, so we needn't
24 labour those points because, essentially, there have
25 been concessions or acknowledgments in that respect.

49

1 A. Yes. I think it didn't feature in my mind really that
2 somebody as junior as that would be working as closely
3 with children.

4 THE CHAIRMAN: Yes. Thank you.

5 MR WOLFE: As we move on, we'll see perhaps the problem that
6 a JHO coming at the summons of a nurse may have caused.
7 But before we do that, presumably in what you've said to
8 the chairman about seeking medical input early rather
9 than later is not just in relation to dealing with
10 a therapeutic issue, the vomiting may need
11 a anti-emetic, but are you saying something else in
12 terms of an early assessment of the child?

13 A. Um ... I would think that when one calls a doctor, as
14 a nurse, that they would have a frame of reference for
15 whatever they do, and so in being asked to give an
16 anti-emetic, I would assume they would make some sort of
17 assessment with regard to the child's need for that.
18 Whether as a nurse you should be explicitly asking
19 a doctor to perform an assessment I think is a little
20 bit more difficult for me. But perhaps it depends on
21 how experienced that doctor is because different levels
22 of doctor might need a bit more guidance from the nurse
23 as to what they should be doing in a given situation.

24 Q. Where a child begins to vomit -- and certainly by
25 1 o'clock Raychel had had at least three vomits, three

51

1 In terms of the attendance of a doctor, you have
2 said in your report that for the purposes of considering
3 whether an anti-emetic was necessary, the surgical
4 senior house officer should have been contacted. In
5 terms of the seniority of the doctor, why do you say
6 that?

7 A. I think at the time I was perhaps not totally clear how
8 prominent the role of the junior house officer was.
9 I had, I think, in writing my report, made assumptions
10 that the senior house officer was the first port of call
11 and the others were in a learning role, and so that's my
12 error in terms of my understanding of that. So I don't
13 think that I was saying, "Oh, it had to be a senior
14 house officer because they are the people who would be
15 able to do that". I felt somebody needed to be called,
16 and my understanding in the hierarchy is that the first
17 port of call was the junior house officer.

18 THE CHAIRMAN: In fact what Altnagelvin did as one of the
19 responses to Raychel's death was to make the SHO the
20 first port of call rather than the JHO because the
21 experience of Raychel's case suggested to them that the
22 level of experience and knowledge and insight which
23 a JHO could bring to add to that of an experienced nurse
24 was perhaps too limited, and that would seem to be an
25 appropriate step to take for the future.

50

1 recorded vomits -- but presumably bringing a doctor in
2 at the earliest opportunity is a good idea because by
3 doing so the medical team has the earliest opportunity
4 to see perhaps the possibility of a problem developing?

5 A. Yes, that's true.

6 Q. Just while we have it on the screen, in terms of the
7 recording of vomiting, you have said in your report that
8 the use of the descriptor "large" and/or the descriptor
9 "plus plus" was in common usage in UK nursing at the
10 time.

11 A. Yes.

12 Q. The inquiry, through the evidence of the nurses has,
13 I think it's fair to say, seen an imprecision or a lack
14 of consistency in the interpretation of the plus plus
15 system. Can you help us with this? In terms of the
16 plus-plus system, what would your interpretation be of
17 "plus plus", reading that document for the first time as
18 a qualified nurse?

19 A. My interpretation would be of medium. But I think that
20 shorthand is something that nurses have always done and
21 probably not thought too much about it. I can't say
22 that I was ever taught to put the pluses; it was what
23 happened on the ward and you learned to fill out charts
24 and you put down your pluses and there is some
25 subjectivity to it. So I would say two pluses would be

52

1 medium, but somebody else -- if you had a roomful of 100
2 nurses, you might get 100 different opinions.
3 THE CHAIRMAN: It also gets you into an area of what's the
4 difference, by looking at a bowl of vomit, between
5 medium and large, doesn't it? There is necessarily
6 a degree of imprecision to this.
7 A. Yes. And I suppose at that level, it's an indicator.
8 THE CHAIRMAN: Thank you.
9 MR WOLFE: I want to move into looking at the evidence that
10 we've received from nurses in terms of their
11 understanding of the significance of vomiting in the
12 presence of intravenous fluids. You have said in your
13 various reports that, in your opinion, the nurses should
14 have been aware that vomiting can lead to dehydration
15 and electrolyte imbalance and that fluid lost must be
16 replaced. And you have gone on to say that the nurses
17 seemed to be aware that dehydration and electrolyte
18 imbalance can occur with diarrhoea and vomiting, but did
19 not relate this to children who vomited
20 post-operatively. You say that:
21 "There is an assumption that, when an infusion is in
22 place, the child is getting adequate hydration
23 regardless of their intake and output. In my view, this
24 lack of understanding is surprising for a group of
25 registered children's nurses."

53

1 reason to think that a vomiting child like Raychel would
2 suffer anything serious as long as she was hydrated,
3 which the Solution No. 18 was achieving.
4 A. And that's why I say that I think that they'd never seen
5 it done any differently.
6 THE CHAIRMAN: Thank you.
7 MR WOLFE: There are a number of issues overlapping in this
8 area. First of all, there's the question of whether
9 nurses should understand that vomit and, for that
10 matter, diarrhoea involves the loss of valuable sodium
11 from the body's system. Could you address this: is that
12 something that nurses should understand and appreciate?
13 A. Yes. It's fairly fundamental nursing knowledge. So
14 yes.
15 Q. When you say it's fundamental nursing knowledge, is that
16 something that should be ingrained from their education
17 and training or is it something that they would
18 typically learn on the ward itself?
19 A. I was trying to think back because, as you will probably
20 appreciate, it's a long time since I trained. And
21 I believe that I learnt about diarrhoea and vomiting and
22 its impact predominantly because gastroenteritis was and
23 still is very prevalent in children, so you learn about
24 it there and you learn about potassium losses, sodium
25 losses and things. And also, the majority of textbooks

55

1 Can I ask you this: have you read the transcripts of
2 the nurses who have given evidence in relation to this
3 subject area?
4 A. Yes.
5 Q. Do you stand by your comment that you're surprised about
6 this lack of understanding?
7 A. I'm surprised about it, but I suppose from the
8 transcripts I can see that what was happening on the
9 ward had not provided the opportunity for any of that to
10 be thought about or challenged. The nurses appeared to
11 have got no experience of it being different. I think
12 there was only one example of replacement fluids being
13 used when a child had a naso-gastric tube. So I think
14 over the years, the infusions had been given in the same
15 way to every child and they had not experienced any
16 replacement of losses and so had no understanding of the
17 difference between maintenance and replacement fluids --
18 Q. Yes.
19 A. -- or the fact that -- I still think they should have
20 known that, if you are vomiting, you're losing
21 electrolytes and fluid.
22 THE CHAIRMAN: And their view seems to be: well,
23 Solution No. 18 they understood to be a standard
24 IV fluid, which it was, and that in the absence of
25 anything going wrong with previous children, they had no

54

1 that were available do make reference to it. In talking
2 about fluid balance they will spell out the fluid and
3 electrolyte loss associated with vomiting and diarrhoea.
4 So they are things that, if you haven't learnt about it
5 in the first place, I think somebody should have
6 developed that knowledge over the years of their
7 clinical practice.
8 Q. Another feature overlapping this is the issue of the
9 fluid or the appropriate fluid. As I say, you've
10 expressed surprise that nurses seem to be saying or were
11 saying in their witness statements that the child was
12 getting adequate hydration simply because he or she was
13 on an infusion, regardless of intake or output. The
14 question comes to this: should nurses have appreciated
15 the differences between the types of fluids that were
16 available?
17 A. I think they should have had some broad knowledge of the
18 different fluids. But I think some of your knowledge is
19 built up through custom and practice, so if you weren't
20 seeing those other fluids used in any situation, you
21 probably wouldn't give them too much attention.
22 Q. Is the point that ultimately the issue of the choice of
23 fluid is a medical decision?
24 A. Yes.
25 THE CHAIRMAN: On that, can I take you to one of the

56

1 extracts that you've attached to your report? It's
2 224-004-054. You have given us an extract from
3 McQuaid & Parker, which you have marked as the 1996
4 text; is that a nursing text?
5 A. Yes.
6 THE CHAIRMAN: On the left-hand side, it's a little bit
7 masked, but there's a heading about halfway down, "Fluid
8 replacement":
9 "The replacement of fluid is accompanied by a
10 replacement of electrolytes (especially sodium and
11 potassium), as well as attention to the child's
12 nutritional needs."
13 What we've heard over the last couple of weeks
14 is that, particularly for a child with diarrhoea,
15 there's a loss of potassium, is that right --
16 A. Yes.
17 THE CHAIRMAN: -- but there's also a loss of sodium and
18 a vomiting child has a loss of sodium?
19 A. Yes.
20 THE CHAIRMAN: This is in a 1996 nursing textbook?
21 A. Yes.
22 THE CHAIRMAN: Right. Thank you.
23 MR WOLFE: Keeping that on the screen for your reference,
24 sir, it's dealt with in the narrative of Ms Ramsay's
25 report at 224-004-016, but keeping this on the screen in

57

1 "Intravenous fluid may also be administered to
2 replace ongoing losses due to vomiting or diarrhoea.
3 These losses are generally replaced by an equal volume
4 of 0.9 per cent saline with additional potassium. This
5 does not form part of the maintenance fluid, but should
6 be prescribed on the fluid chart with clear instructions
7 for its administration. It is important that the
8 attending doctors and nurses are aware of the aim of the
9 regime (to replace ongoing losses and correct
10 dehydration) in order to ensure it is administered
11 safely."
12 So tying these two pieces of the jigsaw together,
13 what you've referred to in McQuaid and what Ms Chapman
14 is saying there, is she correct at hinting at the need
15 for nurses to have a knowledge or an awareness of the
16 difference between a maintenance regime on the one part
17 and a replacement regime on the other?
18 A. That is knowledge that nurses should be aware of.
19 Q. And just to highlight -- we needn't go through all of
20 the evidence, but just to pick up on -- and I am not
21 picking on Staff Nurse Noble in particular, but her
22 evidence, which seems to be reflective of what other
23 nurses have said. If we could have up on screen
24 Mrs Noble's transcript, 26 February, pages 115 to 117.
25 (Pause).

59

1 front of us, you've identified by referring to this
2 report that:
3 "Fluid replacement in a sick child has three
4 parts: to meet daily fluid requirements, to correct
5 dehydration by replacing earlier fluid losses, and to
6 correct for continuing exceptional fluid losses."
7 So in terms of the label "maintenance" and the
8 label "replacement", is it fair to say that number 1
9 there is generally what might be labelled "maintenance"
10 --
11 A. Yes.
12 Q. -- and certainly number 3 would be "replacement"?
13 A. Yes.
14 Q. And where would number 2 fit?
15 A. Well, number 2 becomes part of the child's daily fluid
16 requirements at a given time --
17 Q. Right.
18 A. -- whereas number 3 is usually associated with something
19 that is coming out at a particular time and needs to be
20 replaced. Number 2 is, as it says, replacing earlier
21 fluid losses, so it's a sort of catch-up type situation,
22 and that would be maintenance plus.
23 Q. Yes. Can I bring you to something that Ms Chapman has
24 said in her report? If we could have up on the screen
25 095-019-084 and 085. It says at 5.12:

58

1 If I could put it in these terms: Staff Nurse Noble
2 indicated in her witness statement to the inquiry that
3 in circumstances where a child was suffering from
4 post-operative vomiting, her practice was usually -- the
5 appropriate response to that was usually fluid
6 replacement, anti-emetics and doctors would have been
7 requested to review the patient, which presumably is
8 a logical and reasonable approach. I see you nodding,
9 but for the record --
10 A. Yes.
11 Q. When questioned about her use of the term "replacement
12 fluids" in that context, her answers revealed that what
13 in fact she meant was the continuation of the fluid that
14 Raychel had been receiving, even before the vomits
15 started, in other words the maintenance regime, if you
16 follow.
17 A. Yes.
18 Q. And presumably, you've read the transcripts as well.
19 A. Yes.
20 Q. There does appear to have been this lack of awareness of
21 the distinction between maintenance and replacement, at
22 least amongst some of the nurses who have given
23 evidence. Would you care to comment on that?
24 A. Well, I've tried to think of why that might be and
25 I haven't been able to think of an answer because if you

60

1 looked at any literature, it would have made that
2 distinction. I have only concluded that it had never
3 been an issue, never been anything that they'd seen in
4 practice, and had not been common parlance on that ward
5 to talk in terms of maintenance fluids and replacement
6 fluids. So if they hadn't had the education in the
7 beginning, they hadn't developed the understanding over
8 time from the clinical environment they were in.

9 Q. But presumably, a properly informed nurse would realise
10 that fluids prescribed for a period when a child isn't
11 vomiting, isn't suffering exceptional losses, may not be
12 appropriate when exceptional losses are being
13 experienced?

14 A. Yes, because even if the infusion, the type of infusion,
15 wasn't going to change, that the child was possibly
16 having more losses than they were intake, that would
17 suggest that the rate might need to be changed to
18 compensate for that and that would seem a fairly
19 common-sense type assessment of the situation.

20 Q. Can I ask you this: is that not basic or fundamental
21 nursing?

22 A. Yes.

23 THE CHAIRMAN: But for the rate to be changed, that is
24 something that the -- is that something that they call
25 a doctor in to suggest to the doctor?

61

1 normal post-operative vomiting.

2 THE CHAIRMAN: But I think their point, Ms Ramsay -- and I'm
3 sure I'll be corrected by Mr Campbell if I'm wrong -- is
4 that since they didn't regard it as excessive, then they
5 were not as alert as they might otherwise have been to
6 the risk that things would go wrong. So the question
7 is: should the nurses have regarded that amount of
8 post-operative vomiting by Raychel as within normal
9 boundaries or at least as not being excessive?

10 A. Um ...

11 THE CHAIRMAN: A child who comes out of what appears to be
12 a fairly standard appendicectomy for a mildly inflamed
13 appendix at about midnight or 1 am, vomits for the first
14 time at 8 am, then vomits more during the morning, more
15 during the afternoon and more through the evening.

16 A. Well, it was persistent and I don't think it was the
17 nursing judgment to make -- it might not have been
18 "normal" post-operative nausea and vomiting, there might
19 have been some other cause to it -- she'd had abdominal
20 surgery, there might have been something going on. The
21 fact that she was vomiting and had vomited several times
22 was sufficient to discuss that with somebody else rather
23 than to make a judgment that it fell within what they
24 regarded as normal for children post-operatively. Maybe
25 it's perhaps a judgment too far.

63

1 A. Yes, nurses can't make any changes to intravenous fluids
2 without a prescription or without some sort of guidance.
3 The exception to that is where they would decrease
4 fluids as oral fluids increase.

5 THE CHAIRMAN: I'm sure Mr Wolfe was going to come to this,
6 but this might be the moment to do it in any event.
7 When you talked a moment ago about excessive losses, it
8 raises a question about how Raychel's vomiting should be
9 understood or interpreted. I have to say, somewhat to
10 my surprise, the nurses have said almost as one that the
11 frequency and the volume of Raychel's vomiting was not
12 unusual. They said in terms: well, one of the reasons
13 why we didn't think anything would go wrong is because
14 we've had other children going through Ward 6 before who
15 have vomited as much as Raychel, if not more, were given
16 Solution No. 18, and nothing has gone wrong. From your
17 perspective, even taking the number of vomits as the
18 number set out on the fluid balance sheet -- and knowing
19 that it is agreed that there are more vomits than that,
20 but the precise number of extra vomits is a matter of
21 some debate -- is that within the realms of what you
22 might expect to find in a child after surgery?

23 A. Well, vomiting can be excessive, but I don't know --
24 I wouldn't have thought that it was the nursing role to
25 make the judgment of what is excessive that then becomes

62

1 MR WOLFE: Can I approach this with you from a slightly
2 different angle? Perhaps we could have your report up
3 on the screen, 224-004-004. In the summary of your
4 conclusions you say at 1.3:

5 "I believe Raychel was expected to follow the usual
6 post-operative pathway following appendicectomy and this
7 influenced her subsequent care. In my view, there was
8 a lack of attention to the possible consequences of
9 repeated vomiting and a failure to record fluid balance
10 accurately. Raychel received care from several
11 different nurses and was not seen by the same doctor
12 twice. Consequently, I believe no one person had
13 a complete overview of her condition, nor did they
14 observe changes over time. I think a lack of awareness
15 of hyponatraemia resulted in inadequate attention being
16 paid to the symptoms of headache, bloodstained vomiting
17 and pallor."

18 Approaching it in this way, Ms Ramsay, not only were
19 there a large number of vomits during the course of the
20 day, but there were other relevant symptoms; isn't that
21 right?

22 A. Yes.

23 Q. It's your opinion that the nurses expected that this
24 child would follow, if you like, the usual
25 post-operative pathway. Is it implicit in what you're

64

1 saying just there that they, if you like, boxed
2 themselves into that thinking and didn't pay sufficient
3 attention to the factors that were suggesting that this
4 recovery had ground to a halt and she was now
5 deteriorating?
6 A. Yes, because I think they focused on vomiting,
7 anti-emetic, and that would cure it, not: why, at this
8 stage, having been up and about this morning, is this
9 child now continuing to vomit and the vomiting appears
10 to be increasing?
11 Q. And so by the late afternoon or the evening, what do you
12 think were the factors that the nurses should have been
13 thinking about, which would have suggested to them, had
14 they thought about it, that this wasn't a usual
15 recovery?
16 A. Well, there are reports of her change in demeanour, so
17 from being up and about earlier in the day and walking
18 to the bathroom, she was later on sort of in bed and
19 apparently not as communicative as she had been
20 previously. There was vomiting that appeared to be
21 increasing in frequency as the day went on rather than
22 decreasing, and the normal pathway, as we've seen,
23 is that by the evening a lot of children are eating
24 something and Raychel wasn't eating. There had been no
25 chance to decrease the intravenous fluids and to get

65

1 evening she complained of a headache and she looked
2 pale, so that seems to indicate that she wasn't very
3 well and you need to determine why somebody isn't very
4 well at a stage whereby you would expect them to be
5 recovering.
6 Q. Yes.
7 A. So it wasn't just a case that she was sleepy after an
8 anaesthetic, it takes you a while to fully recover, so
9 you tend to sleep for a while. It was that there were
10 some specifics.
11 Q. Going back to the chairman's point a few minutes ago to
12 you, leaving aside these other symptoms, should the
13 period of vomiting added to the number of episodes of
14 vomiting have been of particular concern to the nurses
15 in terms of that being outside the normal or are you
16 saying that that is something that could be construed as
17 normal?
18 A. Well, I think it could be construed ... Ongoing
19 vomiting could be construed as normal. I think that the
20 length of time from the operation to the time when it
21 started to escalate maybe should have been of concern.
22 But I think it might be better that perhaps an
23 anaesthetist addresses those issues, somebody who's seen
24 a lot more children across a lot of different settings
25 to say whether that is how it all pans out in the

67

1 those discontinued because she hadn't had enough to
2 drink and she wasn't drinking. So there were various
3 things that suggest that all was not following the
4 normal pathway for a child following an appendicectomy.
5 Q. Yes, and of course she had received an anti-emetic at or
6 about 5.30 or 6 o'clock and was vomiting again, on the
7 mother's account, within an hour.
8 A. Yes.
9 Q. And by Staff Nurse Gilchrist's account, in terms of
10 having to clean up bedding shortly after 8 o'clock,
11 within two hours on that account.
12 A. Which suggests that it wasn't the tail end of an episode
13 of vomiting whereby one dose of something would sort you
14 out, that the anti-emetic hadn't held off the symptoms.
15 Q. And in terms of the child's colour and headache, you've
16 pointed to those in your report in front of us. Why
17 were they significant factors or potentially significant
18 factors?
19 A. The headache?
20 Q. Yes, and the observation of pallor.
21 A. Well, because that was a change from what she'd been
22 like earlier on. So it wasn't as though she had been
23 pale and wan all day, and she hadn't complained of
24 a headache immediately post-operatively. Headaches can
25 have numerous different causes, but suddenly in the

66

1 majority of cases.
2 Q. But in terms of nursing care, the nurse is the person
3 responsible for monitoring and observing this on the
4 ward.
5 A. Yes.
6 Q. Faced with this period of vomiting, what is the nursing
7 role?
8 A. Well, to try to alleviate it is the first thing because
9 of the child's distress, and in alleviating it, one
10 would share the information with the doctor and then
11 it's for that doctor to decide whether there's some
12 other cause or whether this can be perceived as normal.
13 THE CHAIRMAN: We'll hear tomorrow from Dr Scott-Jupp
14 because the concern he raises is whether this was all
15 post-operative vomiting and whether that's -- I think he
16 chimes with you that the fact that a child is vomiting
17 after an operation and continues to vomit should not
18 lead to an assumption that this is all post-operative
19 vomiting; there may be other causes.
20 MR WOLFE: Sir, that might be an appropriate time.
21 THE CHAIRMAN: Okay, we'll break -- Mr Stitt.
22 MR STITT: Sir, I thought I'd come back to you in relation
23 to the point you raised earlier. I have spoken to
24 Mr Gilliland and he is content that you will read in his
25 points, in relation to those three issues, the status of

68

1 expert evidence. And also, sir, may I ask you --
2 THE CHAIRMAN: Sorry. They can be raised and dealt with on
3 Thursday, his view about them can be raised with
4 Mr Foster and Mr Orr.
5 MR STITT: Yes, I was proposing to do that. Might I also
6 ask your confirmation that between now and the
7 governance hearing that I am free to talk to him on
8 governance issues?
9 THE CHAIRMAN: Yes, you are. We'll break now and come back
10 at 1.45. I think Ms Ramsay, you have to be away at
11 about 4 o'clock; is that right?
12 A. My flight is at 6.05 from the City Airport.
13 THE CHAIRMAN: I think we should be finished at about
14 4 o'clock. We'll have Ms Hanratty tomorrow and then
15 Dr Scott-Jupp.
16 (12.46 pm)
17 (The Short Adjournment)
18 (1.45 pm)
19 MR WOLFE: Good afternoon, Ms Ramsay.
20 This morning we looked at the issue of nursing
21 understanding of fluid regimes. I want to ask you now
22 something specific about the pre and post-op fluid
23 system that appears to have been in place in
24 Altnagelvin. Dealing with the preoperative fluids,
25 you will recall from your reading that they were

69

1 they normally used.
2 Q. Very well. Can we move to the post-op fluid situation?
3 You have said in your reports, for example at
4 224-002-011:
5 "I consider a prescription for intravenous therapy
6 should have been written before Raychel returned to the
7 ward after her surgery."
8 And you've gone on to say that:
9 "There were no clear lines of responsibility
10 regarding the prescriptions for IV fluids, with the
11 surgeons and the paediatricians both responding to
12 nursing requests."
13 Dealing with the issue of prescription and your
14 experience, why was prescription, in your experience,
15 an important feature of a post-operative fluid regime?
16 A. Well, the condition of the child was different
17 post-operatively to what it had been preoperatively, and
18 in my experience there was usually a reduction in
19 intravenous fluids post-operatively, and so they were
20 two distinct episodes that required two different
21 prescriptions.
22 Q. You will perhaps have considered the evidence of
23 Mr Makar, who told the inquiry that it was his
24 expectation that his prescription would be used for
25 preoperative purposes, but not post-operatively --

71

1 prescribed by the surgical senior house officer,
2 Mr Makar.
3 A. Yes.
4 Q. He initially prescribed Hartmann's solution and was
5 approached then by Staff Nurse Noble to be told that
6 Solution No. 18 was the solution of choice on Ward 6.
7 In terms of that approach by the nurse, in your report
8 you appear to have taken a view that that was
9 appropriate.
10 A. Yes.
11 Q. And you feel it was appropriate because nurses should
12 advise doctors of, if you like, ward protocols or
13 practices that they may not be aware of.
14 A. Yes, I think that's appropriate.
15 Q. It would nevertheless appear that from the evidence that
16 we have heard that nurses perhaps didn't have a full
17 understanding of the composition of fluids and their
18 particular uses. Bearing in mind that factor, why
19 do you think it was particularly appropriate that
20 Nurse Noble would make such an approach?
21 A. I think she was probably advising the doctor of what the
22 custom and practice was. I don't think that her
23 knowledge base was necessarily informing that or her
24 lack of knowledge around the fluids didn't prevent her
25 from passing on information which was that that was what

70

1 A. Yes.
2 Q. -- whereas the nursing experience on this ward appears
3 to have been that unless the anaesthetist wrote
4 a prescription after theatre, the preoperative fluid
5 prescription would be taken on again to cater for the
6 post-operative situation.
7 A. Yes.
8 Q. Could you comment or assist us in any way in terms of
9 whether that was an unusual approach in your experience?
10 A. In my experience that would be unusual because I'm used
11 to an anaesthetist automatically writing
12 a post-operative prescription. So when the child comes
13 out the recovery room, you would go back to the ward and
14 then you'd have a prescription ongoing from then. And
15 the bag that had been there previously would have
16 probably been thrown away and as every bag needs
17 a separate prescription, somebody would have had to have
18 written something up post-operatively, but in my
19 experience it was always the anaesthetist.
20 Q. This inquiry has heard evidence that the bag of
21 Solution No. 18 used with Raychel was retained and
22 simply reconnected post-operatively in the absence of
23 a new prescription. Do you have anything to say about
24 the practice of retaining the bag of partly-used fluid
25 and readopting it or reusing it in the fashion

72

1 described?

2 A. Well, I think it had probably become custom and practice
3 to do that and that means that you then don't need
4 another prescription because you have the same bag
5 there. I think to leave a bag hanging for any length of
6 time is, in terms of infection control, probably poor
7 practice, but there are instances where you would do
8 that, but it would be my experience that when the --
9 that the bag would be discontinued and thrown away.

10 Q. You have said that in your experience the fluid regime
11 post-operatively would be, if you like, a reduction in
12 the rate as compared to the preoperative situation.

13 A. Yes.

14 Q. Can you explain why that was the approach or why that
15 was appropriate from a physiological perspective?

16 A. Well, because of the physiological impact of surgery.
17 But what I would add is that one didn't necessarily have
18 the in-depth knowledge of why it had been reduced, just
19 the fact that it was always less post-operatively.

20 Q. You have in your report cited a survey conducted by
21 Davies et al in 2008 where they found that it wasn't
22 always the practice in a number of settings to restrict
23 fluid post-operatively, but that's by contrast with your
24 own personal experience?

25 A. Yes. I was actually quite surprised at that report.

73

1 would have been. But they don't appear to have had any
2 concept of that or any understanding of it.

3 Q. And certainly in terms of who ought to have been
4 responsible for the post-operative fluids, that's
5 a medical decision in your experience; is that correct?

6 A. Yes, yes.

7 Q. You have said in your report that in terms of
8 calculating the rate of fluids, you wouldn't necessarily
9 expect nurses to have been able to do that; is that
10 fair?

11 A. Yes, that's what I've said.

12 Q. Whereas, by contrast, Ms Chapman at 095-019-083 has
13 commented that all paediatric nurses should have basic
14 understanding of the goals of IV fluid management and
15 they should know how to calculate normal fluid
16 requirements.

17 A. I think that it's reasonable to say that somebody might
18 have known and should have known perhaps the basis on
19 which fluids are calculated. I think that's different
20 to saying that they should have been calculating the
21 fluids. So some knowledge, but also a point of
22 reference if you were going to do it, because I don't
23 think that that's information that nurses at the time
24 would readily have stored in order to be able to
25 suddenly use the formula and calculate something. So

75

1 Q. The inquiry, of course, has heard evidence -- or will
2 hear evidence -- from Messrs Haynes, Orr and Foster that
3 in their experience it would be the practice to reduce,
4 by something in the order of 20 per cent, the normal
5 maintenance rate for the post-operative period; was that
6 your experience?

7 A. Yes.

8 Q. And indeed, Ms Chapman in her report at 095-019-084 has
9 commented on her experience of reducing the rate to
10 something between 60 and 80 per cent of full maintenance
11 for the post-operative period.

12 Mr Foster in his report criticises the nurses for
13 not spotting what he describes as the excessive rate of
14 fluids post-operatively. But I think in your report
15 you've reflected upon the fact that, based on your
16 understanding of what the nurses on Ward 6 have been
17 saying, it wouldn't have been their experience to reduce
18 for the post-operative period. Can you elaborate on
19 that for us, please?

20 A. If their experience wasn't that fluids were reduced,
21 then the 15 ml or so above maintenance that she was
22 receiving wouldn't have seemed that great, and I think
23 that it's likely that they wouldn't have noticed it.
24 Of course, if the volume should have been less then it
25 makes the 80 ml considerably more than restricted fluids

74

1 they would have needed some sheet somewhere that told
2 them the basis of calculating fluids in order to refer
3 to it.

4 Q. Could I draw your attention to one aspect of your
5 report? It concerns how you've interpreted the
6 instruction in the recovery area care sheet. If I could
7 have up on the screen, please, 224-004-017. In the
8 middle of that page you've said:

9 "The instruction in the recovery area care sheet
10 shows that the infusion was to recommence on the ward,
11 not that a ward doctor should prescribe it."

12 Of course, that's probably a response, correct me if
13 I'm wrong, to Dr Gund's assertion in his evidence that
14 he anticipated that a doctor would come and look at
15 fluids if he wasn't to prescribe.

16 A. Yes.

17 Q. You go on to say:

18 "This could have been misinterpreted by the nurses
19 as restarting the infusion prescribed earlier, ie the
20 Solution No. 18 at 80 ml per hour."

21 But in fact the evidence appears to be that's
22 precisely what Staff Nurse McGrath intended the
23 instruction to communicate. In other words, that the
24 fluids would be started again upon attendance at the
25 ward at 80 ml per hour of Solution No. 18.

76

1 A. Yes. I think when I wrote this, I don't think I was
2 aware that the bag was still hanging there and could
3 have been reconnected without a specific prescription.
4 Q. Right. We know that Raychel's fluids were revisited at
5 the ward round and the indication was that Raychel could
6 commence sips of water and that IV fluids could be
7 gradually reduced and there's a little bit of tension
8 in the evidence between Sister Millar and Mr Zafar in
9 the precise terms in which that instruction was
10 delivered. But in general terms, Ms Ramsay, could you
11 comment on, some eight hours after surgery, what would
12 be the typical approach to intravenous fluids and
13 introducing sips of water or sips of liquid?
14 A. Well, once the doctor has said that the child is able to
15 take some fluid orally, then you would try them out. So
16 you'd give them something and give them a little sip and
17 then see how they got on and then gradually they would
18 increase that amount and then you would at some stage
19 start to reduce the IV fluids. And because it's
20 different for each child, you can't necessarily say you
21 give them 50 ml and if they keep that down, reduce it.
22 But that is something that nurses become used to doing.
23 Q. And in terms of the record keeping around that, it
24 appears that Mr Zafar didn't make any note or make any
25 plan on paper with respect to what he thought should

77

1 being fairly straightforward, I would say that it's not
2 unusual to get hold of the person who happens to be
3 there and ask them if they could do it. So I think that
4 that's something that is probably quite common.
5 Q. But if the child has been vomiting since, for example,
6 Mr Zafar saw her at 8 or 8.30 that morning and there was
7 now a need to look at fluids by midday, would it not be
8 more appropriate to make a determined effort to seek out
9 the doctor with responsibility for the child's care?
10 A. Yes, but it does require all those bits of the jigsaw that
11 have come together in somebody's mind, and possibly it
12 was, "Oh, this bag's about to run out, I need another
13 one", rather than, "This child's fluids need to be
14 reviewed because she's vomiting". So if the thought
15 process is the latter, then you would go to one of the
16 people who could do that assessment, but if it's just
17 wanting another bag up on somebody that you think is
18 quite stable, then you ask somebody just to write your
19 prescription.
20 Q. And from a nursing perspective -- and here if we bring
21 it to real time, which was at or shortly after midday on
22 8 June -- Raychel had had two recorded vomits, her
23 mother was aware of further vomits that hadn't been
24 recorded, she'd just had a heavy vomit at midday -- if
25 the nurse knew of those factors, these additional vomits

79

1 happen. You, I think, have said that, notwithstanding
2 the absence of a record to that effect:
3 "It would be common nursing knowledge to reduce
4 IV fluids as oral intake increased and that therefore
5 while specific instructions might have clarified the
6 matter, they weren't essential."
7 A. Yes.
8 Q. And then as the morning of 8 June moved on, Raychel
9 required another bag of fluids to be written up or at
10 least, to put it another way, the nurses spoke to
11 a Dr Butler to write up a further bag of fluids.
12 Dr Butler, as you are perhaps aware from your reading,
13 was a senior house officer on the paediatric medical
14 side of the fence, who had no prior experience of
15 dealing with Raychel. Did you appreciate that?
16 A. Yes, yes.
17 Q. In your experience, how common would it be for a nurse
18 to, if you like, make a request to a doctor who happened
19 to be present on the ward, who was not part of Raychel's
20 medical team, for the purposes of renewing
21 a prescription?
22 A. I think in an ideal world, one would go and search out
23 somebody from the team with overall responsibility for
24 the child, but bearing in mind the logistics of finding
25 that person for something that was probably perceived as

78

1 that weren't recorded, but overall the vomits that she
2 was aware of, should those vomits be brought to the
3 attention of the doctor, Dr Butler, prescribing the new
4 fluid?
5 A. Yes, because they would need to be taken into account in
6 terms of the volume of fluids, so they were issues that
7 informed the prescribing.
8 Q. Could I move on to an issue to do with observations?
9 We've looked at the observations sheet earlier and we
10 know from the episodic care plan that by morning time on
11 8 June that observations were to be four-hourly, so
12 there were observations at 9 o'clock, 1 o'clock,
13 5 o'clock, et cetera. You have commented that in your
14 opinion, the observations taken and recorded were of an
15 appropriate standard. However, you've said at
16 224-002-018 that in view of the continuing IV therapy
17 and vomiting, observations of pulse, respiratory rate
18 and blood pressure should have been recorded more
19 frequently than four-hourly.
20 A. Yes.
21 Q. And why was that?
22 A. Although Raychel was being seen every hour to do her
23 intravenous therapy, that didn't entirely give you the
24 full picture, so doing the observations more frequently
25 would give an indication of whether there was something

80

1 physiologically going on. So if her fluid balance was
2 going awry, then she might have had a faster pulse rate
3 or something, her blood pressure might have changed if
4 she was becoming dehydrated. So they're just indicators
5 of the things that you can't necessarily see by looking
6 at somebody as you would when you do an assessment with
7 your eyes.

8 Q. Blood pressure monitoring appears to have been stopped
9 at about 7 pm on 8 June and not recommenced. Can you
10 explain to us why blood pressure as a measurement might
11 have been stopped and why you think it should have been
12 recommenced when there was vomiting?

13 A. Well, I think blood pressure stopped because -- well,
14 it's quite an uncomfortable procedure for children to
15 have their blood pressure taken, but probably blood
16 pressure recording stopped because blood pressure
17 recording always stops at that point following surgery.

18 THE CHAIRMAN: Sorry, at what point?

19 A. Through the child's progress. By that time in the
20 evening most children would have had their blood
21 pressure recordings stopped because they would have been
22 well enough to have their blood pressure recordings
23 stopped. So it isn't something that you would
24 necessarily continue until the minute before a child
25 goes home because if they're stable, then there's

81

1 So these fundamental nursing skills of observing and
2 listening are in addition to taking the recordings of
3 vital signs four-hourly?

4 A. Yes.

5 Q. And presumably, in terms of the listening part, that
6 will involve talking to the child and talking to the
7 parents; is that right?

8 A. Yes. And listening to them.

9 Q. Yes.

10 THE CHAIRMAN: Ms Ramsay, can we bring up your own report,
11 224-004-022? It's the penultimate paragraph, which
12 starts:

13 "Blood pressure recordings ceased after 0700."

14 The last sentence Mr Wolfe questioned you about
15 a few moments ago:

16 "Failure to continue them suggests nurses considered
17 Raychel was progressing as expected following an
18 appendicectomy."

19 The last one was at 7 am, then the sheet shows that
20 there was no measurement at 9 am, no measurement at
21 1 pm, and nor were there any measurements at 5 pm or
22 9.15. At the very least, by 5 pm and 9.15 on that
23 Friday evening, the nurses couldn't have thought that
24 Raychel was progressing as expected, could they?

25 A. No, I was probably referring to earlier in the day.

83

1 probably no need for a blood pressure once they're
2 drinking and passing urine and doing the more normal
3 things.

4 I think to continue a blood pressure where you have
5 somebody who's vomiting, you don't know what their fluid
6 loss is, then it's just another possible indicator of
7 anything that might be going awry in terms of their
8 fluid balance.

9 MR WOLFE: Of course --

10 A. So somebody that's lost fluid, for example, their blood
11 pressure could well go down.

12 Q. Yes. Of course, you've observed in your report at
13 224-004-022 that the observations in the sense of the
14 technical observations of respirations, temperature and
15 pulse didn't show much deviation between the four-hourly
16 obs. Apart from the technical observations that I've
17 described, nurses are also trained to pick up on other
18 signs of unwellness; isn't that right?

19 A. Yes.

20 Q. At 224-004-020, you cite a report or research from
21 Campbell & Glasper, who say that:

22 "The use of fundamental nursing skills, observing
23 and listening in conjunction with frequent recording of
24 vital signs will enable a nurse to monitor the child's
25 post-operative recovery."

82

1 THE CHAIRMAN: So the initial --

2 A. Yes. The stopping them. And then I think there's
3 a question about whether they should have been
4 reintroduced. My view is that when a child appears to
5 be unwell, as Raychel appeared later in the day, that
6 one of the things you would do is, "Well, I'll just
7 check her blood pressure". So you would reintroduce
8 something, possibly just as a one-off initially, but in
9 order to have a fully rounded check of what might be
10 going on.

11 THE CHAIRMAN: Thank you.

12 MR WOLFE: We have the observations of vital signs, which
13 were four-hourly, and blood pressure wasn't among them,
14 and you've concerns about that. But the other kinds of
15 observations that we have talked about are, if you like,
16 more non-specific in the sense that they don't
17 necessarily involve a prescribed task. You've talked
18 about observing and listening. What kind of approach
19 would have been appropriate in Raychel's case once her
20 vomiting showed signs by lunchtime of continuing?

21 A. Well, any time you go to a child to make those
22 physiological observations -- temperature, pulse,
23 respirations and things -- you should also be looking at
24 the child in terms of their colour. When you look at
25 their breathing, you aren't just counting it, you're

84

1 looking to see how they're breathing, whether they're
2 awake, alert, responding, what their general demeanour
3 is, you'd look at their skin -- just a whole variety of
4 things that can feed you information. And you wouldn't
5 just do it when you go to do the other observations
6 because those nursing skills are things that you use
7 continuously, really, looking at children, seeing what
8 colour they are, how they're behaving. So they aren't
9 just one-off things. And you would also ask the child
10 how she felt and you would ask the parents how they
11 thought she was and listen to what their observations of
12 the child were because you're only there momentarily and
13 the parents are in all likelihood there consistently and
14 they can tell you whether she would normally have been
15 behaving like this or that she's quite awake and alert
16 or a variety of things.

17 Q. Have you seen any evidence in the material that you've
18 considered that these kinds of general observations were
19 put in place effectively in Raychel's case?

20 A. There are some comments on the "comments" section of the
21 observation chart. It does mention her demeanour.
22 I think it says she was alert at some stages. But
23 I don't think I've seen anything that portrays any
24 parents' views. That's my recollection.

25 Q. Yes. Maybe we'll just have another look at the

85

1 through all of the information we have available about
2 Raychel, am I right in understanding that there's not
3 a single entry which suggests that the parents had any
4 concern at any time?

5 A. No. And the bulk of the --

6 THE CHAIRMAN: And Mr and Mrs Ferguson say that's just not
7 the case, that they had concerns and they did express
8 them. There's something of a debate between them and
9 the nurses, but if they did have concerns which they did
10 express, then should those be recorded --

11 A. Yes.

12 THE CHAIRMAN: -- in some form?

13 A. In some form, yes.

14 MR WOLFE: Could I ask you just a particular and discrete
15 point a little out of sequence in relation to
16 observations? The inquiry's heard evidence from Staff
17 Nurse Gilchrist, who checked the child at or about 2 am,
18 and the check at that point was in respect of the
19 intravenous fluid site. But she says that it would have
20 been her practice with all children during sleeping
21 hours to have roused the child in such a way as to
22 obtain a reaction from the child, and in Raychel's case
23 she says that Raychel uttered a word to her, "yes" or
24 "yeah", something to that effect. Could you comment on
25 this? If you otherwise, as a nurse, have no particular

87

1 observation sheet again at 020-015-029. We can see that
2 at 9 o'clock, this point you make about the colour being
3 commented upon:

4 "No complaint of pain, no sore [sic] from the wound
5 site."

6 As the day goes on, we know that Raychel had been
7 vomiting several times before 1 o'clock. If the
8 vomiting is settled and if Raychel's colour appeared
9 good, would you expect that to be mentioned?

10 THE CHAIRMAN: You're not familiar with this sheet; isn't
11 that right?

12 A. Not familiar?

13 THE CHAIRMAN: With this style of sheet.

14 A. No.

15 MR WOLFE: Leaving the sheet aside, as I understood your
16 evidence from earlier, you would have used
17 a contemporaneous document.

18 A. Yes, but I wouldn't have written down very often -- or
19 not every time I looked at a child I wouldn't have
20 written something down on the nursing evaluation
21 necessarily. But in view of the fact she was on
22 four-hourly observations, you would write perhaps during
23 the day "appears settled" or "was restless", or
24 something like that.

25 THE CHAIRMAN: Can I put it another way: when you look

86

1 concerns about a child, would it be common practice in
2 your experience to wake a child or rouse a child from
3 his or her sleep in order to check that they can react
4 to you?

5 A. I don't think so. You would only wake somebody if you
6 were concerned that they might not be able to be woken.
7 So I don't think I would specifically wake a child up.
8 I might be thankful that they seemed to be sleeping
9 peacefully.

10 THE CHAIRMAN: This is the rousable?

11 MR WOLFE: That was that debate about what the language of
12 the two statements meant. Staff Nurse Gilchrist went on
13 to explain her practice in the terms that I've hopefully
14 accurately recited to you. Just to summarise, you're
15 telling the inquiry that you have no experience of such
16 a nursing approach?

17 A. No, and when you do observations, when you take
18 a child's temperature, for example, you have to move
19 their arm in order to put the thermometer underneath or
20 put it in their ear or something, and that in itself
21 would be likely to rouse a sleeping child, at least to
22 make a judgment that they were rousable.

23 Q. I want to bring you to an issue which has occupied some
24 of the inquiry's time, and that concerns the nursing
25 role and its interaction with medical personnel. As you

88

1 are aware, Dr Devlin was a junior house officer on the
2 surgical side, as was Dr Curran, and both of those
3 doctors attended Raychel, one at or about 5.30 pm on
4 8 June, the other at or about 10.15 on 8 June. You're
5 aware of that?

6 A. Yes.

7 Q. And in your report at 224-002-021, you draw
8 a distinction between the role of the nurse and the role
9 of the doctor. And you say that:

10 "The role of the nurse is to monitor a patient's
11 progress and to advise medical staff of any changes or
12 variations from the expected pathway."

13 You go on to say:

14 "In practice, many experienced nurses would have
15 helped junior doctors in making decisions on treatments.
16 However, responsibility for medical management lies with
17 the doctors caring for the child under the direction and
18 supervision of the consultant."

19 A. Yes.

20 Q. So that's a description of the principle, if you like.

21 The nurse observes and monitors and is supposed to be in
22 a position to communicate effectively to the doctor.

23 The doctor might, if he's inexperienced or junior, take
24 some advice from the nurse, but ultimately medical
25 management is the role of the doctor.

89

1 Q. And dealing with the facts of this case, when Dr Devlin
2 arrived there seems to be something of a vagueness in
3 terms of what he was told from a nursing perspective.
4 But from your perspective, what should Dr Devlin have
5 been told, arriving at 5.30/6 o'clock in the evening?
6 What should he have been told at that point?

7 A. I think he should have been told a brief outline of
8 Raychel and the situation that she was in at that time.
9 So how many hours post-op -- assuming that he didn't
10 know very much because it was the first time he'd seen
11 her. So to give a brief outline of what she'd had done
12 and when she'd had it done and what IV she was on, the
13 vomiting, and what her general demeanour was and why he
14 was there. So why did they want him to be there?

15 Q. Yes. Presumably, he shouldn't simply have been told,
16 "Please administer an anti-emetic to the child"?

17 A. No, because that's just getting somebody to perform
18 a task and has the potential to close down all other
19 consideration because it's just a task. You would,
20 I think, need to tell them why an anti-emetic at this
21 time and had she had any previously.

22 THE CHAIRMAN: So it's entirely legitimate for an
23 experienced nurse to give a junior doctor a steer,
24 provided that that's how it's given -- it's given as
25 a steer rather than anything stronger -- and provided

91

1 A. Yes.

2 Q. And in terms of good nursing practice, presumably it is
3 good nursing practice, as I think you have touched upon
4 earlier in the day, to try to be in a position to attend
5 the doctor at the patient's bedside.

6 A. Yes.

7 Q. But of course, there's probably practical considerations
8 to take into account when the doctor arrives. So the
9 nurse would need to know that the doctor has arrived and
10 presumably there needs to be some system in place by
11 which that fact can be communicated.

12 A. Yes.

13 Q. And possibly the nurse is busy with other urgent things
14 and that might cause a difficulty, but ultimately, as
15 I think you said this morning, there should be some
16 communication between the nurse and the doctor at the
17 conclusion of the doctor's attendance?

18 A. Yes.

19 Q. Starting with the arrival of the doctor or the first
20 communication between nurse and doctor, if a nurse is
21 sufficiently concerned to bring a doctor to the ward,
22 presumably if there's a principle or an approach in play
23 here, she should be communicating to the doctor all of
24 the information that has triggered her concern?

25 A. Yes.

90

1 that the doctor accepts it as a steer, but no more than
2 that?

3 A. Yes. I think the trouble is that probably over the
4 years, nurses have given very junior doctors a push
5 rather than a steer.

6 THE CHAIRMAN: Thank you.

7 MR WOLFE: So you would expect that history to be given and
8 possibly a prompt?

9 A. Yes.

10 Q. From a medical perspective, what would you be expecting,
11 as a nurse, the junior doctor to be doing with your
12 patient? I'll put it more directly perhaps. Would you
13 expect the doctor to carry out an examination or an
14 assessment?

15 A. I think it's reasonable to expect that before a doctor
16 comes to the decision of what they've got to do that
17 they have made what they deem to be an appropriate
18 assessment. Because at the end of the day, they have to
19 stand by the decisions that they've made. I think in
20 reality, there are probably countless instances where
21 the doctor has just done what the nurse has told him to
22 do.

23 Q. You've said in your report that, in your experience,
24 doctors did not always check charts, but relied on
25 information given by the nurses.

92

1 A. Yes.
2 Q. Does that assume a cultural significance then, albeit
3 that it might not be good practice?
4 A. I think that it's perhaps a practical issue because
5 charts vary from ward to ward and if you're not used to
6 looking at a particular chart, then you might not be
7 able to immediately see what you're looking for. So
8 somebody passing you the salient points is very helpful,
9 and then you can perhaps -- or somebody pointing out
10 something on the chart to you. But I think it can be
11 quite difficult for people to walk into a strange
12 environment, pick up a chart and look at it and
13 immediately interpret what it's saying. So some
14 assistance with that I think is important.
15 Q. My learned friend Mr Quinn, who acts for the family,
16 wishes me to highlight this point: that by the time of
17 Dr Devlin's attendance there were other vomits that had
18 occurred during the course of the day, on Mr and
19 Mrs Ferguson's account, that weren't recorded. And in
20 fact, when the child was visited by Dr Devlin, she was
21 vomiting. The question comes to this: if those other
22 vomits had been recorded and brought to the attention of
23 the doctor, could that, in your view, have affected his
24 approach to treatment?
25 A. I think it could. And I think there's another

93

1 concerns were expressed to Dr Devlin. Given your view
2 of the post-operative recovery pathway by 5.30/6.00 pm
3 on 8 June, should the nurses, that is Sister Millar or
4 Staff Nurse McAuley, have been raising concerns that
5 this child looked to be departing from the usual
6 pathway?
7 A. I've struggled a little bit with this as to whether they
8 could have been so specific as to say, "This child is
9 not following what we would have expected". And I think
10 that the way I've thought about it in my mind is that if
11 they had brought to the attention of Dr Devlin all the
12 features from Raychel's charts, then that might have had
13 a greater impression on him that would have led him to
14 do a more detailed assessment of her. So I think that
15 that comes down to being a "yes" to your question.
16 THE CHAIRMAN: Sorry, is it over simplistic to say that by
17 5.30 or 6 o'clock on that Friday evening Raychel was
18 supposed to be off fluids?
19 A. Yes.
20 THE CHAIRMAN: She was supposed to be sipping fluids and by
21 this stage she might have been expected to be heading
22 towards a light meal or a snack of some sort. So when
23 Dr Devlin comes along to give her an anti-emetic and,
24 had a nurse been there, told him that she's still on the
25 same rate of fluids as she was on this morning, she has

95

1 issue: that if the information is imparted to the doctor
2 at the bedside within hearing of the parents, then the
3 parents are able to correct anything that the nurse has
4 got wrong. So if the nurse says, "She's had a couple of
5 vomits", the parent can say, "Actually, no, she's had
6 more than that".
7 Q. By that time in the afternoon, some of the other experts
8 who have looked at this case -- notably Dr Haynes,
9 Mr Orr and Mr Foster -- have commented that it would
10 have been appropriate, given the vomiting and the
11 continuation of the IV fluid, to have arranged for an
12 electrolyte profile to be done. They're obviously
13 experts in their field and you're coming at it from
14 a nursing perspective. Is there anything or was there
15 anything available to the nurses that at that time ought
16 to have prompted them to be pushing the doctors in the
17 direction of -- Dr Devlin, I should say, in the
18 direction of arranging for bloods to be taken?
19 A. I think the vomiting and the having not passed any urine
20 for some hours at that time were possible indicators.
21 Q. It is the case that Dr Foster, who's examined, if you
22 like, this juncture in the narrative, Dr Devlin
23 arriving, he judges the performance of Dr Devlin as
24 being appropriate in simply administering an anti-emetic
25 because he says, on the face of the evidence, no nursing

94

1 been sick most of the morning, which is why you're here
2 and, and there's an issue about how well she looks, then
3 she's well off the normal pathway: isn't that right?
4 A. Yes, but what I was saying was would they have said,
5 "Hang on a minute, she's well off the pathway", or if
6 they had just portrayed all those elements, would they
7 have jointly come to that conclusion? Because I don't
8 think they thought she was off the pathway.
9 THE CHAIRMAN: But she was off the pathway which Mr Zafar
10 had laid out in the morning on the ward round --
11 A. Yes.
12 THE CHAIRMAN: -- which was reduce the fluids, give her some
13 oral fluids, reduce the fluids as the day goes on, and
14 ultimately stop them and give her a light meal.
15 A. Yes, and so they should have noticed she was off the
16 pathway and then, had they noticed, they could have
17 imparted it to him. But there were some elements of --
18 I suppose I'm saying as they hadn't put all those bits
19 together to come to the conclusion that she was off the
20 pathway. If they had done the basic thing of portraying
21 to the doctor coming the fact that she was still
22 vomiting and that she hadn't passed urine and that she
23 wasn't so well would have had that end result of perhaps
24 leading to having some electrolytes taken.
25 THE CHAIRMAN: Thank you.

96

1 MR WOLFE: I just want to focus on this a little bit
2 further. You've suggested that if the nurse had
3 faithfully recited all of the elements at that point,
4 that might, in the mind of the doctor, have triggered
5 a more investigative approach. But what I want to ask
6 is this: as well as faithfully reciting all of the
7 elements, if that was done, is it also part of the
8 nursing role to then put that in a context of saying,
9 "This looks a bit odd", or, "This looks as if it's
10 getting into difficult territory for this child"? In
11 other words, a comment on all of the factors that were
12 available.
13 A. Yes. Yes, I think that's reasonable.
14 Q. Is that particularly important, perhaps, where you have
15 an inexperienced doctor?
16 A. Yes. Yes, to impart your impression, as you say,
17 particularly with people who have limited experience of
18 looking after children. But I don't think they put all
19 the bits together.
20 Q. Yes. And --
21 THE CHAIRMAN: I'm sorry, Ms Ramsay, what I don't understand
22 quite about your reticence to that is putting the bits
23 together doesn't seem to me to be terribly difficult
24 because the most obvious bit is that Raychel is still on
25 her full IV fluid.

97

1 about performing an electrolyte profile at that stage
2 but perhaps he would have thought about it later if the
3 vomiting didn't stop and he was called in again.
4 Just so that I understand your evidence before we
5 move on, if a nurse had recited the features that
6 you have recited to the doctor, it's your view that the
7 doctor should then have taken those matters on board and
8 carried out a more investigative approach, possibly
9 including electrolytes?
10 A. Yes, and I think in an environment where nurses were
11 used to electrolytes being taken, they would prompt
12 somebody to do that.
13 Q. In terms of this moment in time, then, 6 o'clock, it's
14 getting towards the end of that shift, the child had
15 just had an anti-emetic, presumably there was going to
16 follow a period where nurses would, if best practice
17 allowed, carry out a monitoring process to see how
18 effective the anti-emetic was; would you have expected
19 nurses to have planned for or written a plan for this
20 new development?
21 THE CHAIRMAN: You mean added to the care plan?
22 MR WOLFE: Added to the care plan, yes. In other words, to
23 have revised the care provided to date, recognise the
24 fact that an anti-emetic was in place and to have
25 written a plan to determine how nursing care should be

99

1 A. Yes.
2 THE CHAIRMAN: She's not taking fluids and she's not taking
3 a light meal, and then you say, "... and she has been
4 vomiting regularly". I mean, if those flags are raised,
5 is that not something which should alert even a young
6 inexperienced doctor?
7 A. Yes.
8 THE CHAIRMAN: Or alternatively, is that not something which
9 even a young inexperienced doctor might himself notice?
10 A. Yes.
11 THE CHAIRMAN: I mean, I have to say that on the evidence
12 I've heard so far, this isn't all one way, this isn't
13 just the nurses' responsibility. I think there's
14 an issue about how much even a young doctor might have
15 been alert to. Perhaps more particularly later on, but
16 even at 5.30 or 6.
17 A. Yes.
18 MR WOLFE: Let me put into the mix something that Dr Devlin
19 said on 6 March 2013 when he gave his evidence. It's at
20 page 60 of the transcript. I needn't put it up on the
21 screen at this point. He says that he would have
22 hesitated about just giving an anti-emetic -- and that's
23 what he did, he gave an anti-emetic -- he would have
24 hesitated about this if concerns had been raised with
25 him. However, he says he wouldn't have been thinking

98

1 provided going forward.
2 MR CAMPBELL: Mr Chairman, I think it's fair to point out
3 that there was the handwritten addition to the care plan
4 made shortly after the Zofran was administered.
5 THE CHAIRMAN: That's ultimately in the Royal's version --
6 MR CAMPBELL: I think from Ms Ramsay's reading of the
7 report, she did not have that document.
8 MR WOLFE: It's a point that we were about to move to, but
9 we can put it up now for convenience. It's 063-032-076.
10 When you were originally briefed, Ms Ramsay, you
11 wouldn't, I think, have seen this. If you highlight the
12 bottom third as usual, please. Thank you.
13 For the nursing handover, Ms Ramsay, at or about
14 8 o'clock the practice was, it seems, to have printed
15 off the relevant page or pages from the episodic care
16 plan so that the nurse delivering the handover would
17 have, if you like, a script from which she could refer
18 the incoming nurses to pertinent points in the child's
19 progress or care. So what you have here at the bottom
20 of the page is a description of Raychel's condition up
21 to about 5 o'clock in type. So it says:
22 "Observations appear satisfactory. Continues on PR
23 Flagyl. Vomit x3 this AM but tolerating small amounts
24 of water this evening."
25 Do you see that?

100

1 A. Yes.
2 Q. And it was accepted by the nurse who typed that, Staff
3 Nurse McAuley, that that typed entry wasn't accurate
4 because by 5 o'clock she would have known that the child
5 had been vomiting in the afternoon, for example
6 a 3 o'clock vomit was recorded, and had been nauseous,
7 which was the reason for bringing a JHO to see Raychel.
8 Then you have the handwritten entry, which my learned
9 friend Mr Campbell directs us to, and that's made after
10 the doctor attended:
11 "Vomiting this pm. IV Zofran given with fair
12 effect."
13 The question that I was asking you that prompted
14 Mr Campbell's intervention was: in terms of care
15 planning, would you have expected the nurses to have
16 been doing anything in terms of the revision and
17 evaluation of the plan after the doctor had attended?
18 A. Well, as vomiting was an issue, I would expect vomiting
19 to have been identified on the care plan with the
20 elements associated with that, so vomiting, and then you
21 want to list all the things that you need to keep an eye
22 on or all the interventions.
23 Q. Just what are they, to be absolutely specific? What
24 nursing tasks would you have expected to see listed?
25 A. It would be to measure and record the vomits, but the

101

1 followed shortly thereafter by three small vomits. She
2 was noted to be pale and she had a headache.
3 I want to explore in the same way we did with
4 Dr Devlin the nature of the nursing and medical
5 interaction when Dr Curran attended. Do you agree that
6 with what Ms Chapman and others have said that
7 coffee-ground vomiting is not normal and may result from
8 gastric irritation and that this is a matter that nurses
9 ought to ensure is reported to the medical team --
10 A. Yes.
11 Q. -- who would then be responsible for assessing the
12 child's condition?
13 A. Yes.
14 Q. And just to be clear, in terms of coffee-ground
15 vomiting, is that something that a nurse should
16 expressly and specifically identify as an occurrence to
17 a doctor?
18 A. Yes, because the nurse can't determine what the cause
19 is. It's a symptom that she's observed and I think, as
20 you've seen in other evidence, it may be something
21 that is not too significant, but it might have greater
22 significance, and that's not a nursing judgment to make.
23 So you would assume that a child who's vomiting coffee
24 grounds is stressed in some physiological way and so you
25 would impart that information to a doctor.

103

1 measuring in practice can be loose, it's not necessarily
2 measuring millilitre by millilitre. Having had the
3 anti-emetic, you would need to know whether the
4 anti-emetic had worked and you would need to keep an eye
5 on the fluid balance and have something whereby, if it
6 persisted, you would inform a doctor.
7 Q. Moreover, as well as doing that, I think as you've said
8 earlier, you would have expected a conversation between
9 the nurse and the doctor, before he left the ward, in
10 order for the nurse to gain his impressions of what
11 problem, if any, he had identified?
12 A. Yes. Yes, I ... It's not in the child's best interests
13 to have different people doing different things at
14 different times and not informing each other of what
15 they've done or what they're thinking. And the nurse
16 needs to be able to communicate with the child and
17 family after the doctor's visited.
18 Q. Moving the sequence along, as I think I've referred to
19 this morning Mrs Ferguson, that is Raychel's mother, has
20 said in her witness statement that there was a further
21 vomit within an hour. Staff Nurse Gilchrist picked up
22 on the fact that there had been vomit on the bed sheets
23 by 8 o'clock or shortly thereafter, none of which was
24 recorded in the records. But by 9 o'clock in the
25 evening, Raychel had a medium coffee-ground vomit,

102

1 Q. That was but one of the features of Raychel's case
2 before Dr Curran arrived. As the inquiry understands
3 it, Dr Curran was the recipient of a telephone call from
4 Staff Nurse Gilchrist and their paths didn't then cross
5 when Dr Curran made it to the ward and so there was no
6 further conversation, at least on Staff
7 Nurse Gilchrist's account. But from your perspective,
8 as well as telling Dr Curran about the coffee-ground
9 vomits, what else should Staff Nurse Gilchrist have been
10 communicating by that stage in the process?
11 A. I think at that point Raychel had had some paracetamol
12 for a headache.
13 Q. That's right.
14 A. So she'd had a headache. She hadn't passed urine for
15 quite some time. She'd had repeated vomiting and
16 I think she'd had a change in her behaviour, her colour,
17 some of the broader observations, and she hadn't had
18 anything of note to drink and she'd still got an IV up.
19 Q. Would it be relevant to highlight the fact that an
20 anti-emetic had previously been administered?
21 A. Yes, yes, and that it hadn't worked too effectively.
22 Q. And in terms of what should have been requested of
23 a doctor at that point, what should ideally a nurse have
24 been asking for?
25 THE CHAIRMAN: Don't worry about ideally what she should

104

1 have been asking to. What should a nurse have been
2 asking for?
3 A. Sorry?
4 THE CHAIRMAN: Mr Wolfe was asking you the question in terms
5 of, "Ideally, what should a nurse have been asking
6 for?", because "ideally" raises the bar to the level of
7 perfection. In practical common sense terms, what
8 should a nurse have been asking a doctor for or what
9 should a nurse have been communicating with a doctor
10 about when a doctor is called out and it's the second
11 time a doctor is called out and gives Raychel an
12 anti-emetic?
13 A. I think they would be asking the doctor to look at the
14 child and also telling him the vomit hadn't been brought
15 under control by the previous anti-emetic. But the key
16 thing was that the doctor needed to assess her.
17 THE CHAIRMAN: Yes.
18 A. So I don't know that they would have said, "Oh, can you
19 come and assess this child", but they needed somebody
20 else to look at her to see that all was okay or not okay
21 or what was wrong with her and what was causing her to
22 continue to vomit.
23 THE CHAIRMAN: This is a more serious request for an
24 intervention by a doctor than the one which came about
25 in mid to late afternoon, isn't it?

105

1 "[You] believe the doctor should have been told the
2 frequency and nature of the vomiting [presumably coffee
3 grounds] and how regularly she was vomiting and the
4 duration."
5 You say:
6 "While in retrospect a prompt was necessary to
7 assess the fluid and carry out electrolyte profile, the
8 doctors caring for Raychel should, in my opinion, have
9 known what actions to take."
10 A. Yes.
11 Q. And why do you say that?
12 A. Because I think that the doctors should not be dependent
13 on prompts from the nurse; the doctor should have some
14 frame of reference for how to handle situations going in
15 to see a child. So I felt that they should know or have
16 an idea of what they should be doing in a given
17 situation and then to be advised by the nurse if
18 possible.
19 Q. Can I put Dr Curran's perspective into the mix? He gave
20 evidence to the inquiry on 7 March 2013. It was his
21 recollection that he was simply asked to prescribe an
22 anti-emetic. He draws a distinction between being asked
23 to provide an anti-emetic on the one part and being
24 asked to make an assessment on the other. He said that
25 while he carried out an examination of her abdomen

107

1 A. Yes.
2 THE CHAIRMAN: Because her condition hasn't improved, it may
3 have worsened, but it's now been prolonged?
4 A. Yes.
5 THE CHAIRMAN: So there's an extra or a weightier issue here
6 about the communication between the doctor who's called
7 and the nurses who call him on the ward?
8 A. Yes, because there seem to be more things going on than
9 perhaps there were at that earlier stage.
10 THE CHAIRMAN: To put it simply, Raychel's even further off
11 the normal recovery pathway at about 9.30 or 10 pm than
12 she was in mid to late afternoon.
13 A. And she had some more signs of being generally unwell.
14 THE CHAIRMAN: Yes. And therefore, when the doctor comes to
15 the ward, he shouldn't be seeing Raychel without some
16 nursing input?
17 A. Definitely not.
18 THE CHAIRMAN: And it's even more important at this point
19 for there to be some exchange between the doctor and the
20 family --
21 A. Yes.
22 THE CHAIRMAN: -- who have been there pretty much constantly
23 through the day?
24 A. Yes.
25 MR WOLFE: You have said in your report at 224-002-021 that:

106

1 because she was, if you like, an abdominal surgical
2 patient, he didn't carry out an overall assessment
3 because he wasn't asked to. Again, clearly you're not
4 here as a surgical expert, but from a nursing
5 perspective, would a nurse be expecting, in this
6 context, a surgeon to carry out an assessment?
7 A. I think it's a reasonable expectation of a nurse to
8 think that when a doctor comes to see a child, they will
9 carry out whatever they deem necessary in terms of an
10 assessment of that child. And I would have thought that
11 before junior house officers and the like are let loose
12 around children that they would have had some guidance
13 as to what to do when you're managing a child with
14 post-surgery post-operative nausea and vomiting so that
15 they come with a little list in their heads of what they
16 need to do. So I think there is quite rightly some
17 assumption from the nurse that the doctor might have an
18 idea of what he should be doing, but there are often
19 times when people have to be pointed in the right
20 direction. And I have to say, it probably closes down
21 some of that if you're very prescriptive about what you
22 want them to do because, faced with a very experienced
23 nurse who's telling you what you've got to do, then it
24 probably takes a bit of confidence on the doctor's part
25 to do something differently if they're not doing the

108

1 prescription quickly enough. So there are dynamics
2 in the environment that might influence behaviours.
3 Q. Just to put one further piece into the mix from
4 Dr Curran's perspective, he said explicitly that he was
5 not told about the coffee-ground vomit. Had he been
6 told, it would have been a red flag, and that he didn't
7 read or look at the fluid balance chart and therefore
8 didn't independently identify the fact that there had
9 been a coffee-ground vomit. I think you have said that
10 he should have been told that Raychel had had
11 a coffee-ground vomit.
12 A. Yes. I think information should have been imparted to
13 the doctor about her general condition and about all the
14 things that were happening to her.
15 Q. Could I put Nurse Gilchrist's perspective to you? She
16 gave evidence on 11 March 2013. It was her perspective
17 that she thought that Dr Curran would make an
18 assessment. That was her nursing perspective. And that
19 he would determine whether he, that is Dr Curran, needed
20 more senior input in the case, albeit that she can't
21 remember precisely what she told him about Raychel's
22 history and she can't remember the full description that
23 was given to Dr Curran. From a nursing perspective, was
24 her expectation that an assessment would be made by
25 Dr Curran and that he would be in a position to

109

1 a young, inexperienced JHO?
2 A. Sorry?
3 THE CHAIRMAN: There's nobody easier to bypass than a young,
4 inexperienced JHO.
5 A. That's true.
6 THE CHAIRMAN: They might think twice before bypassing
7 a registrar to go to a consultant, but not a JHO to go
8 to an SHO?
9 A. Yes.
10 MR WOLFE: Could I just put two perspectives of other
11 experts to you for your comment? Mr Foster, in his
12 report, has said that:
13 "Even if the nurse who communicated with Dr Curran
14 expressed no particular concerns, he [that is Dr Curran]
15 he nevertheless ought to have used his own initiative
16 and to have realised that there were matters at that
17 time that required firmer and more decisive action."
18 That's Mr Foster's perspective. Whereas Mr Orr in
19 his witness statement, at witness statement 320, has
20 commented that:
21 "In terms of culpability, the nurses were at fault
22 for not raising with this junior member of medical staff
23 the fact that Raychel's situation required a firmer hand
24 and not prompting Dr Curran to refer upwards to more
25 senior colleagues."

111

1 determine whether he needed senior assistance
2 a reasonable perspective?
3 A. At one level I think it's reasonable, but there are many
4 times when junior medical staff need to be pointed in
5 the right direction. So it's quite difficult to be too
6 specific on it because it's a bit of both. I think it
7 was a reasonable expectation, but there's also an onus
8 on the nurses to prompt things if necessary.
9 Q. Hopefully I won't stand accused of drawing too much of
10 an inference from the evidence, but there's certainly
11 a perspective that the nurses, even at that time, were
12 satisfied with what Dr Curran had done by simply giving
13 an anti-emetic; is that your impression?
14 A. Yes. That he had done what they wanted him to do and
15 the focus seemed to be on getting the vomiting under
16 control.
17 Q. If the nursing team was dissatisfied with the junior
18 medical input, do they have a responsibility, the
19 nurses, to follow that up?
20 A. If they're dissatisfied with what he's saying to them,
21 then they need to advise him of that and if they still
22 feel dissatisfied, then they need to seek advice from
23 somebody else. So bypass that person and go to the
24 next.
25 THE CHAIRMAN: And there's nobody easier to bypass than

110

1 So you have those two perspectives. What is your
2 perspective in response to that?
3 A. I think that the process of providing medical care
4 should be robust enough to not be dependent on another
5 profession to always point you in the right direction.
6 I think that probably nurses, although custom and
7 practice is that you do these things, they would not
8 have been clear that they had a responsibility to ensure
9 that the junior house officer knew what he was doing and
10 knew when to refer things on. So I think there should
11 have been a framework for those doctors to know what to
12 do and when to do it and when to seek advice from
13 somebody else and then if the nurses prompt them, then
14 that's all well and good, but I don't think that the
15 full responsibility for that can lie with those nurses.
16 Q. One of the issues that you've reflected upon in your
17 report was the system of care. You have commented that
18 while it's not unusual for several nurses to attend one
19 patient, particularly on a large ward, there's a need
20 for information to be passed between them. In other
21 words, that there would be good communications.
22 Likewise, you have reflected at 224-004-028 that:
23 "No single doctor saw Raychel more than once and
24 therefore no one had ongoing knowledge of her
25 situation."

112

1 And so you've commented that:
2 "In [your] view, there were weaknesses in the system
3 for providing post-operative care and there was a lack
4 of clarity in terms of which doctors had responsibility
5 for Raychel's care."
6 Dealing with the nursing aspect of that, I'm not
7 sure if you were aware, but on 8 June the nursing team
8 at Altnagelvin on Ward 6 was short one member in that
9 one member of staff had to go home sick. It appears
10 from the evidence of the nurses involved during the day
11 shift that this, they say, didn't particularly affect
12 the quality of care they were able to deliver.
13 Could you comment on that? In general terms, do nurses
14 adapt their approach to patients in a way that avoids
15 any diminution in the quality of care?
16 A. Yes, I think they just try a bit harder to get
17 everything done and maybe other things, non-nursing
18 related activities, might fall by the wayside. Because
19 nursing isn't just direct care, there are other things
20 going on, and so those would go by the wayside in favour
21 of delivering the care. And nurses get used to working
22 with reduced numbers of staff. I think there are
23 probably very few places that have full staffing every
24 day of the year.
25 MR CAMPBELL: Mr Chairman, perhaps it would be in context at

113

1 might have happened on this day, because if you know
2 you're likely to be short there's sometimes things you
3 can do to counteract that.
4 THE CHAIRMAN: Okay.
5 MR WOLFE: That's one aspect of the system of care, but
6 going back to the main point, we had different nurses,
7 albeit part of the same team, picking up on Raychel's
8 observations and care during the day shift. So for
9 example, we had Staff Nurse Roulston identifying two
10 vomits and writing them into the chart, Staff Nurse
11 McAuley documenting a further one. Is there a danger in
12 your experience that if different nurses are attending
13 to the care of a child and merely communicating in
14 written form, as appears to have been the case between
15 those two nurses, that the seriousness of a child's
16 condition can get diluted or lost?
17 A. I think that's a potential problem. I think nursing
18 children with a team of people where there isn't one
19 identified person who's providing most of the care
20 offers the chance that things might be minimised. So
21 when you're reading something you might not take it in
22 as much as you would have done if you had been doing it
23 yourself, if you'd witnessed it yourself repeatedly.
24 Also if somebody then passes information on to you, the
25 point at which you're taking in that information -- if

115

1 this stage to put the evidence of -- I think it's
2 Nurse McAuley -- that being down one nurse meant that
3 the completion and updating of the consolidated care
4 plan was put under pressure.
5 THE CHAIRMAN: This is why she did it later than she
6 otherwise would have done it?
7 MR CAMPBELL: I think she had to do all of the files and she
8 was under pressure to get it all done.
9 THE CHAIRMAN: Is this something that rings true to you?
10 A. Yes, because you'd then be putting it off and usually
11 people were doing these things towards the end of
12 a shift when they had got to get off and the next people
13 were coming on and ...
14 THE CHAIRMAN: Would I be right in assuming that given the
15 way the allocation of resources works in the Health
16 Service that the nursing rota wouldn't be surplus on
17 a given day, so if they're one down then there is
18 undoubtedly an added degree of pressure on the nurses
19 who are there?
20 A. Yes.
21 THE CHAIRMAN: So no matter how hard they try and no matter
22 how good they are, they are under more pressure than
23 ideally they should be?
24 A. Yes, and it's worse where somebody has come on duty and
25 then gone off midway through their shift, which I think

114

1 you're distracted on something else and somebody comes
2 along and says, "Your patient has just vomited", you
3 say, "Thank you", but you won't necessarily, if you're
4 distracted with something else, put two and two together
5 and say, "Yes, she vomited before, that means X, Y and
6 Z". So I think there's a greater chance of missing
7 things or fragmenting things if you don't have one
8 person that's doing the bulk of the care.
9 THE CHAIRMAN: Is what happened in Altnagelvin different to
10 what happened in other hospitals or is this not the
11 norm?
12 A. It does appear to me that everybody looked after
13 everybody, and my experience is slightly different to
14 that inasmuch as there might be a team of you, but
15 within that team Vera would look after two children and
16 somebody else would look after the other children and
17 you cross cover for each other for breaks and things,
18 but you'd have your allocated patients within that team.
19 And so you don't then have quite as much fragmentation
20 as if somebody is just walking by and responds to an
21 alarm -- which I think some of the evidence suggests
22 that that's what happened -- because the alarm would be
23 dealt with by the person who was the main carer.
24 THE CHAIRMAN: Okay.
25 MR WOLFE: I think you make the same point, which I read out

116

1 a moment or two ago, about doctors: the same doctor
2 didn't see the child more than once. And indeed,
3 I think it was Dr Devlin in his evidence who said, "If
4 I'd had the opportunity of seeing the child a second
5 time, it might have made a difference to my approach",
6 and to an extent he understood the approach adopted by
7 Dr Curran seeing a child in isolation for the first time
8 at 10.15. Again, we now know as an inquiry that junior
9 house officers no longer are the first response to
10 surgical patients. From what you know of Altnagelvin at
11 that time, was the approach of different junior house
12 officers coming to see a paediatric surgical patient
13 typical of your experience?
14 A. Yes, and I think some of these systems had developed
15 because of reductions in junior doctors' hours and the
16 different changes within the medical profession. And so
17 probably people had developed a means of getting a rota
18 together and not fully looked at the impact on the
19 patient of the way that that rota was working. And
20 a similar thing, from my experience, was having patients
21 outlying on lots of different wards. That might have
22 meant the patient had got a hospital bed, but it meant
23 that they weren't getting continuity in terms of medical
24 care.
25 Q. Some of the evidence we've heard from a nursing

117

1 children to be slightly out of kilter with the rest of
2 the ward.
3 Q. Just one final point. I understand that you have
4 expressed no concerns about the nursing input
5 post-seizure, Raychel suffering a seizure at about 3 am.
6 A. That's correct.
7 Q. Could I just ask for your assistance in respect of one
8 point? When Raychel suffered her seizure, the immediate
9 response was provided by Dr Johnston, who was an SHO.
10 He was shortly thereafter assisted by a JHO, Dr Curran,
11 and there appears to have been a period of time before
12 any more senior doctor arrived, Dr Trainor coming at
13 about 4.15. From a nursing perspective, should there
14 have been any activity on the part of a nurse to
15 proactively obtain the attendance of a senior doctor,
16 whether on the surgical or paediatric side?
17 A. My experience is that when a team of people are
18 assembled around a child who's sick, that someone
19 amongst them says, "Let's get whoever", and I think the
20 nurse can play a part in that, so "Should I phone
21 Dr so-and-so?". And that should be part of anybody's
22 thinking when faced with a child who suddenly collapsed
23 because you would want the most effective person to be
24 there.
25 Q. I think it's Dr Haynes who makes the criticism that

119

1 perspective reflects upon the differences of approach
2 between the paediatric medical side and the surgical
3 side. So for example, Nurse Millar, when she gave
4 evidence on 1 March 2013 at page 58, she, if you like,
5 reflected her frustration that it shouldn't have been
6 nurses having to push surgical doctors to carry out
7 electrolytes. By contrast, on the paediatric side, the
8 conduct of electrolyte profiling seemed to be a staple
9 of the hospital day; it was done once every 24 hours if
10 a child was on intravenous fluids. Again, can you
11 assist the inquiry at all in terms of your experience?
12 Was it similar or is it similar to what Sister Millar is
13 reflecting?
14 A. Yes, I think so. I think the difference is that with
15 a paediatric team you usually have the same people.
16 Lots of general hospitals just have one children's ward,
17 so the people are there all the time. And with surgery,
18 you have people dipping in and out, and children's
19 surgery forms a very small part of somebody's workload
20 and it's a bit of an add-on. So I think that probably
21 people never sort of sat down and thought about these
22 things because, on reflection, one would say, "If this
23 was happening in one group of patients on that ward, why
24 wasn't it happening with the other group of patients?".
25 But I think that it wasn't unusual for the surgical

118

1 somebody should have taken hold of this issue and
2 communicated more urgently with a senior clinician,
3 whether that's a consultant or a registrar, and my
4 question to you really is to focus on that. Is that
5 a responsibility for a nurse to carry out or is it
6 something that should be directed by the doctors who are
7 present?
8 A. I think nurses do have a responsibility in that
9 situation because my experience is that if a child
10 collapses suddenly, it's the nurse that's often got an
11 overview of what's going on and can push for those
12 things, so in a cardiac arrest situation or something
13 like that, there are things that they would perhaps do,
14 even automatically. And being in that environment,
15 probably the most experienced person of that team, then
16 I think it's reasonable to say that a nurse does have
17 a responsibility to get people there.
18 MR WOLFE: I think it's the case that Staff Nurse Gilchrist
19 has given evidence in respect of her activities around
20 that in terms of prompting Dr Curran in relation to
21 contacting somebody more senior and the chairman has
22 that evidence.
23 Sir, unless there's any other area, those would be
24 my questions.
25 THE CHAIRMAN: Mr Quinn, do you have anything? Mr Campbell?

120

1 MR CAMPBELL: There's only one issue, Mr Chairman, which may
2 not be that significant, depending on how Ms Ramsay
3 views it. Do you wish me to go through Mr Wolfe?
4 THE CHAIRMAN: Let's hear what the point is.
5 MR CAMPBELL: It is just the issue of how the IV fluids were
6 alarmed at 80 ml an hour and then the nurse had to
7 intervene at the expiry of every hour in order to
8 reactivate the next 80 ml. I think Ms Ramsay, at
9 page 10 of her report, 224-002-011 --
10 THE CHAIRMAN: She was a bit sceptical about this in her
11 report.
12 MR CAMPBELL: She didn't seem to appreciate that there was
13 an alarm to our system in operation with the IV fluids.
14 THE CHAIRMAN: Now that you've heard that, Ms Ramsay, that
15 there was an alarm system, so that seems to explain why
16 the readings are so perfect, almost, that it is exactly
17 the regular amount because it is effectively on the
18 hour; does that reassure you about that or take away the
19 concern which you expressed previously?
20 A. It takes away the concern I expressed originally.
21 THE CHAIRMAN: Right.
22 A. Just it's not something I have experience of -- I have
23 experience of alarms, but they're not usually set to go
24 off every hour, but the evidence suggests that that's
25 how they were set.

121

1 Fergusons and others, for instance including Dr Devlin,
2 say they noticed. Okay?
3 Mr Quinn, your point?
4 MR QUINN: The point that I want to put up is this. I'd be
5 grateful if we could have the witness statement 020/1,
6 page 8. And put that up with page 9, please. In this
7 statement, one can see that I've already pointed out the
8 first paragraph at (a).
9 THE CHAIRMAN: Sorry, this is Mrs Ferguson's statement.
10 MR QUINN: This is Mrs Ferguson's statement. Mrs Ferguson
11 will say she definitely saw the noon vomit, which is
12 listed at the left of the page under paragraph (a):
13 "I now recall that, even before the 12 noon vomit,
14 that at around 11, Raychel vomited then as well."
15 So we have two vomits, 11 and 12. She then carries
16 on to say on the next page at paragraph 10(a):
17 "After the vomit which occurred during the visit to
18 the toilet, please indicate approximately how many more
19 episodes of vomiting were experienced by Raychel before
20 you left the hospital at 1500 hours? I am certain that
21 there were two vomits, but this could have been three."
22 So therefore we have two vomits, perhaps three,
23 which are noted at 11 and 12. But then we turn to --
24 THE CHAIRMAN: Sorry, the two further vomits, perhaps three,
25 that she thinks Raychel endured before 3 o'clock, they

123

1 MR QUINN: Mr Chairman, there is one issue and I have raised
2 it with my friend. I'm mindful that my clients, the
3 Fergusons, are giving evidence the coming Monday. So
4 that nothing can be said to them that they didn't make
5 any of these points, there are a number of points where
6 they have mentioned vomiting in both their statements,
7 and from my listening to the evidence today, which
8 I feel dealt with all of the issues, I'm minded to point
9 out that there's one issue that hasn't really been dealt
10 with very well, and that is just how many vomits the
11 parents saw that weren't recorded. We have a timeline
12 and if that timeline could be put up. I don't want to
13 ask a question; I want to make a point, Mr Chairman.
14 It's 312-001-001.
15 On the timeline, the witness can see -- and we can
16 all see -- that the vomiting observed, which means that
17 it wasn't noted, is in the red squares.
18 THE CHAIRMAN: Just wait one moment.
19 Have you seen this, Ms Ramsay, this chart?
20 A. No.
21 THE CHAIRMAN: You'll see there are two lines going
22 diagonally from bottom left to top right. The upper
23 line has yellow circles and red squares. The yellow
24 circles are the vomits which are recorded on the fluid
25 balance chart; the red squares are the vomits which the

122

1 could be the ones that are recorded?
2 MR QUINN: They could be and I accept that. Then turning to
3 Mr Ferguson's statement, and if we could put up WS021/1,
4 pages 6 and 7. At paragraph 12(f) he will say:
5 "How many kidney trays filled with vomit did you
6 bring to the nurses? I took three that afternoon,
7 that is between 1 pm and 3 pm approximately. There were
8 more later."
9 It raises the question that really when one looks at
10 the Raychel Ferguson timeline, that those aren't
11 recorded.
12 THE CHAIRMAN: Well, he's saying between 1 and 3. There are
13 two. There's one recorded at 1 in yellow and one
14 recorded at 3 in yellow, isn't there?
15 MR QUINN: Yes.
16 THE CHAIRMAN: We can explore this in detail, but is he
17 necessarily saying that those are separate from the ones
18 in the nursing records?
19 MR QUINN: Yes. He will say that he reported every vomit.
20 If one looks at the top of page 7, he will say that he
21 reported all of the vomits. He says:
22 "I cannot recall the exact names, but I think it was
23 nurses Gilchrist, Noble and Rice."
24 He identifies three nurses that he's not sure about
25 and he'll say in his evidence that he is not certain

124

1 about this, but he is certain that he handed in three
2 kidney bowls, which he will say perhaps are not
3 reflected in that timeline.
4 THE CHAIRMAN: Okay.
5 MR QUINN: And really what I want to ask is, given the
6 nature of the vomiting and the number of vomits, has
7 that been taken into account by this witness?
8 THE CHAIRMAN: Well, there's some -- I'm not even sure it's
9 an area of dispute because I think the nurses record ...
10 It's accepted that the record of vomits is incomplete.
11 MR QUINN: Yes.
12 THE CHAIRMAN: The only question is the extent to which it's
13 incomplete.
14 MR QUINN: Yes. For example, if we say there were six
15 vomits that were observed and perhaps two of those
16 aren't even included on that sheet because -- I don't
17 want to go into great detail, but you'll hear from him
18 that there were two vomits later on that he says
19 probably weren't recorded and there were vomits that
20 were observed by independent witnesses who came on
21 a visit that probably weren't recorded. So we may have
22 another two or three vomits before 6 o'clock that aren't
23 on the timeline and that were not recorded and I would
24 like to know, given that there may have been another
25 three vomits on this timeline, what the witness thinks

125

1 no surprises on Monday -- the parents are making the
2 point that they reported these to the nurses and they
3 are now very surprised that these are not on any of the
4 records. When one looks in particular at page 7 on the
5 right-hand screen at Mr Ferguson's statement, you will
6 see that he handed them all in, all of the kidney bowls
7 were handed in. That is why he got to the stage of
8 saying, "The nurses are not listening to me".
9 THE CHAIRMAN: In other words, if Raychel had vomited,
10 Mr Ferguson wouldn't just get rid of the kidney bowls,
11 he would bring it to the nurse?
12 MR QUINN: Yes, absolutely. That's the point.
13 MR WOLFE: I think it is clear that those points were put to
14 the relevant nurses at the time. Indeed, this witness
15 this afternoon, although perhaps not quite in the way my
16 friend would have liked, was asked to comment on what
17 Dr Devlin's response ought to have been if he had known
18 about all of the vomits. I think it's quite clearly the
19 evidence of this witness that all vomits should have
20 been recorded, as with all other outputs and inputs for
21 that matter.
22 THE CHAIRMAN: I mean, this all fits into the bigger picture
23 that if parents are repeatedly drawing the nurses'
24 attention to their daughter's condition, then that is
25 something which should appear on the records --

127

1 of that in respect of (a) should the nurses have taken
2 more heed of it and made sure that the doctor was aware
3 of it and, had it been recorded on the charts, should
4 the doctor have taken more cognisance of it?
5 THE CHAIRMAN: Okay. You've got the point. Let me put it
6 in this way: the more vomiting there is, the more the
7 nurses should be concerned; would that be obvious?
8 A. Yes.
9 THE CHAIRMAN: And the more vomiting there is, in the
10 exchange that there should be between the nurses and the
11 doctors, then the more vomiting there is the more that
12 should be emphasised to the doctor; would that be right?
13 A. Yes.
14 THE CHAIRMAN: Then that arguably increases the obligation
15 on the doctor to probe a bit more rather than just give
16 an anti-emetic.
17 A. Yes.
18 THE CHAIRMAN: It also strengthens the arguments that maybe
19 the doctor should have been called earlier than he was.
20 A. Yes.
21 THE CHAIRMAN: So the more vomiting that there is, all of
22 the concerns that you've expressed are ratcheted up
23 another few levels?
24 A. Yes, that's right.
25 MR QUINN: I want to make it clear -- so once again there's

126

1 A. Yes.
2 THE CHAIRMAN: -- because the communications with the
3 parents should be recorded?
4 A. Yes.
5 THE CHAIRMAN: And if Mr Ferguson was doing this as often as
6 his witness statement indicates and if Mrs Ferguson had
7 also seen this, then it'd be hard to think that they
8 were not very concerned about Raychel's condition?
9 A. Yes.
10 MR QUINN: In fact, Mr Chairman, I make this point because
11 this was raised very early on by my learned friend
12 in relation to complaints from parents being recorded on
13 the observation sheets and in the records. I make the
14 point because in her statement on page 10, Mrs Ferguson
15 said:
16 "At any time Raychel was sick, I or my husband would
17 have said to the nurses Raychel was sick. I cannot
18 remember their names or descriptions."
19 The point is I don't want anyone complaining on
20 Monday saying, "That was never put, that was never put
21 into the case".
22 THE CHAIRMAN: Thank you very much. Unless there's anything
23 more for Ms Ramsay?
24 Thank you very much for coming back a second time.
25 That brings an end to your evidence. You're free to

128

1 leave. It also brings an end, unless anybody has
2 a point to raise, to today.
3 (The witness withdrew)
4 10.15 tomorrow morning. We'll start with
5 Ms Hanratty and do Dr Scott-Jupp after that.
6 (3.37 pm)
7 (The hearing adjourned until 10.15 am the following day)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2 MS SALLY RAMSAY (called)3
3 Questions from MR WOLFE3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25