

1
2 (10.00 am)
3 (Delay in proceedings)
4 (10.31 am)
5 PROFESSOR FENELLA KIRKHAM (continued)
6 PROFESSOR DIETZ RATING (continued)
7 Questions from MS ANYADIKE-DANES (continued)
8 THE CHAIRMAN: Good morning. I'm sorry for the delay; there
9 were a few questions to be sorted out before we started,
10 but we're ready now. Thank you.
11 MS ANYADIKE-DANES: Good morning. If I may go to one of the
12 first points that I had put to you, which is to do with
13 blood loss. Professor Kirkham, this goes to one of your
14 risk factors, if I can put it that way. We had touched
15 on it a little bit yesterday, but just for clarity, the
16 issue is this: Dr Taylor, who was the person who said
17 there had been substantial blood loss, mistakenly
18 believed that Adam had lost a lot of blood due to
19 a blood gas reading of 6.1 at 9.32.
20 There is an issue as to whether that figure was
21 actually mostly due to haemodilution, too much fluid, as
22 opposed to actual blood loss. That's the issue between
23 Mr Keane, the surgeon, and Dr Taylor. The packed cells
24 and the HPPF were given at 250 ml at 9.30 and 250 ml at
25 10.45, which is on that chart that I showed you

1 a way as to prevent them doing that, then that is one of
2 the ways in which the brain's compensatory mechanism
3 would become overwhelmed or at least compromised, if I
4 can put it that way.
5 PROFESSOR KIRKHAM: I do think that the degree of
6 anaemia ... If hyponatraemia played a role, then
7 I think there must have been some additional hypoxia to
8 have overwhelmed the sodium pumping mechanisms, and
9 acute anaemia, whether it's blood loss -- as
10 I suspect -- or dilutional, would be a risk factor for
11 having hypoxia.
12 Q. Yes. But having said that, does the evidence so far as
13 we have been able to gather it point to sufficient blood
14 loss to have had that effect?
15 PROFESSOR KIRKHAM: Well, the haemoglobin fell from 10 to
16 6.1, so that is about a 40 per cent drop in haemoglobin.
17 Q. But if that's doing that because it's haemodilutional,
18 in other words it's recording that because it's actually
19 fluid as opposed to actually blood, if I can put it that
20 way, so if that's the reason why it is falling, does
21 that remain part of your factor in it being able to have
22 the effects that you've ascribed to it, if it were just
23 blood?
24 PROFESSOR KIRKHAM: Well, I don't think there's any data
25 that I know of on dilutional anaemia, whether that would

1 yesterday, and then more red cells were given than were
2 lost, according to Simon Haynes, the inquiry's expert
3 paediatric anaesthetist, and he says that, just for
4 recording purposes, at 204-006-336, and also on to 337.
5 If one looks at it in this way, Adam's haemoglobin
6 was 10.5 at 7, 6.1 at 9.30 and then 10.6 at 11.30. And
7 the issue is that that perhaps suggests that Adam was
8 overtransfused and his haemoglobin is noted at 4 am on
9 the 28th.
10 So the question on the basis of that information --
11 and I recognise that none of it is particularly
12 conclusive because there are different views as to what
13 actually was happening with the blood -- is: do you
14 still consider that an acute dilutional hyponatraemia
15 could cause the additional hypoxia required to overcome
16 the brain's compensatory mechanism?
17 PROFESSOR KIRKHAM: The dilutional hyponatraemia could cause
18 hypoxia?
19 Q. No, the acute dilutional anaemia.
20 PROFESSOR KIRKHAM: The anaemia could cause enough hypoxia?
21 Q. To overcome the brain's compensatory mechanisms. As
22 I understood what you had said to the chairman
23 yesterday, those cells go out, pumping out their sodium,
24 unless something happens to interfere with that. They
25 require energy, so if those cells are damaged in such

1 cause sufficient hypoxia. There is available data on
2 blood loss, and I think that could be an additional risk
3 factor. But I don't know of any data on dilutional
4 anaemia causing sufficient hypoxia to stop the
5 sodium-pumping mechanism.
6 Q. In other words, you can get as far as anaemia being
7 a factor, but what kind of anaemia is not something
8 that's sufficiently clear in the research?
9 PROFESSOR KIRKHAM: As far as I know. I don't know of any
10 data on dilutional anaemia.
11 Q. Thank you.
12 THE CHAIRMAN: Sorry, professor, you prefaced that answer by
13 saying if hyponatraemia played a role. I understood
14 that you did accept that hyponatraemia played a role,
15 but you didn't accept that it played the primary role.
16 Do you not accept that it played a role at all?
17 PROFESSOR KIRKHAM: I don't think that the hyponatraemia on
18 its own played a role, no.
19 THE CHAIRMAN: Sorry, maybe it's a difference in language.
20 "Playing a role" means being a cause, whether primary or
21 secondary. Do you accept that hyponatraemia played
22 a role in Adam's death?
23 PROFESSOR KIRKHAM: Not on its own, no. If hyponatraemia
24 played a role, there would have had to have been hypoxia
25 as well.

1 THE CHAIRMAN: But does that mean it may have played
2 a secondary role but not a primary role?
3 PROFESSOR KIRKHAM: I don't think there's any evidence that
4 it played a secondary role. I think there would have
5 had to have been hypoxia for it to have played a primary
6 or a secondary role.
7 THE CHAIRMAN: If it didn't play a primary role and it
8 didn't play a secondary role, then your evidence is that
9 hyponatraemia played no part in Adam's death?
10 PROFESSOR KIRKHAM: I think, on the balance of
11 probabilities, the cause of Adam's death was not the
12 hyponatraemia.
13 MS ANYADIKE-DANES: Can I just pick up on that? Because
14 I just want to be sure that we're understanding the same
15 thing about roles and parts. So can I put it this
16 way: in your view, was hyponatraemia a factor at all in
17 Adam's death?
18 PROFESSOR KIRKHAM: Not unless there was hypoxia and we have
19 no evidence that there was hypoxia.
20 THE CHAIRMAN: So the answer's no?
21 MS ANYADIKE-DANES: The answer is no.
22 THE CHAIRMAN: It's quite clear. Whether it's described as
23 a role or whether it's described as a factor,
24 Professor Kirkham's evidence is that hyponatraemia did
25 not play a part in Adam's death. That's it. I don't

5

1 can put it that way. There was an issue as to the
2 extent to which Dr Armour had shown certain slides to
3 other doctors. One of them was a neuropathologist,
4 Dr Mirakhur. But there is a note from the coroner
5 in relation to two others to whom she might have shown
6 the slides. It is a note of 8 December 1995, I believe,
7 from memory.
8 But in any event, in that note, it refers to those
9 two doctors seeing evidence of hypoxia. So that's why
10 I'm asking you, is it possible that at that stage -- and
11 maybe it wasn't looked for in the way that Dr Squier has
12 said certain things were not looked for -- is it
13 possible that there might be hypoxia that was not
14 detected?
15 PROFESSOR KIRKHAM: What does Dr Squier say about hypoxia?
16 Q. Let me just put this to you for a moment now that I've
17 mentioned it. It's 011-025-125. It's in that final
18 paragraph about halfway down:
19 "Today, Dr Armour showed slides [et cetera] to
20 Dr O'Hara and Dr Bharucha. Both stated that there was
21 clear evidence of hypoxia/anoxia/anaphylactic reaction.
22 Those are virtually all the same thing."
23 In fact, it was because of that that they thought
24 there might have been a problem with the anaesthetic
25 equipment and the anaesthetic equipment was examined.

7

1 think we need to keep going back over it. I have to
2 say, I didn't quite understand Professor Kirkham's
3 evidence previously to be as stark as that, but I now
4 understand that Professor Kirkham is saying that
5 hyponatraemia had nothing to do with Adam's death.
6 MR FORTUNE: I'm in the same position as you, sir.
7 THE CHAIRMAN: There it is, that's the professor's evidence.
8 MS ANYADIKE-DANES: So -- because it might affect some of
9 the other things we ask you -- when you say there was no
10 evidence of hypoxia, there's no evidence of a number of
11 other things that you say might necessarily be relevant,
12 and there's no evidence of those things because the
13 means by which to get that evidence wasn't available or
14 wasn't sufficiently sophisticated for it to be seen. Is
15 hypoxia one of those things?
16 PROFESSOR KIRKHAM: Yes, I think -- we don't have any
17 evidence that there was hypoxia. His saturations were
18 absolutely fine throughout the operation, so there is no
19 systemic hypoxia. The available evidence on dilutional
20 anaemia I don't think gives us reason to think that
21 there would be hypoxia, and my understanding of the
22 autopsy was that there wasn't evidence of hypoxia at
23 autopsy.
24 Q. I'm just going to get something in a minute because it's
25 one of those areas that became a little unclear, if I

6

1 THE CHAIRMAN: Whose note is this?
2 MS ANYADIKE-DANES: This is the coroner's note.
3 PROFESSOR KIRKHAM: What does Dr Squier say about the --
4 Q. I don't know that immediately, I'd have to check. What
5 I'm asking you is: if there was hypoxia, then does that
6 make the hyponatraemia a relevant factor in Adam's
7 death?
8 PROFESSOR KIRKHAM: Well, if there was hypoxia, it makes the
9 hypoxia the strongest factor in Adam's death, but that
10 would also mean that the sodium pumps weren't working
11 and therefore there would be more swelling. But the
12 hypoxia itself would have to be the major factor.
13 Hypoxic brain damage is a very, very major problem for
14 children of all ages.
15 Q. I only raise this because when the chairman asked you,
16 you said "not unless there was hypoxia", so I'm trying
17 to tease out what do you regard in any of the
18 circumstances as being the potential relevance of his
19 hyponatraemia. We are going to deal with this a little
20 bit more when we actually get into the hyponatraemia,
21 but now that the chairman has asked the question and
22 you have answered in the way that you have, I'm trying
23 to see if we can distinguish some of these things.
24 PROFESSOR KIRKHAM: Well, I think if there was hypoxia, then
25 one would have to say that the sodium pumps may have

8

1 failed and that would have increased the cerebral
2 oedema -- the risk of significant cerebral oedema.
3 Q. And in those circumstances, could the hyponatraemia have
4 been relevant?
5 PROFESSOR KIRKHAM: In those circumstances, the
6 hyponatraemia might have played a role, although I have
7 to say that if there's hypoxia I would put most of the
8 blame on the hypoxia rather than the hyponatraemia.
9 Q. Okay. I think Dr Squier on hypoxia can be found at
10 206-002-005. I think it's where she refers to "hypoxic
11 ischaemic injury":
12 "There is no significant pathology to indicate this
13 in the brain. Only a few cells in the dorsal pons show
14 early neuronal death."
15 And so on.
16 There was an issue as to whether him being on
17 a ventilator for 24 hours might have affected things.
18 But then Dr Squier does not see pathology for some
19 of the things that you are suggesting might be relevant.
20 Sometimes she doesn't see them because it's too early
21 perhaps to see them and other times she doesn't see them
22 because the relevant part where you might see them has
23 not been examined.
24 PROFESSOR KIRKHAM: Well, my understanding of neuropathology
25 undertaken by an expert such as Dr Squier would be that

9

1 slow the slides to those two doctors?
2 Q. No.
3 PROFESSOR KIRKHAM: No?
4 Q. No. Well, I mean -- sorry, I think that it's not clear
5 whether people don't remember what they did. We have
6 had no positive evidence.
7 THE CHAIRMAN: The problem, professor, is Dr O'Hara, who's
8 referred to there, is dead, and this issue arose before
9 he could be quizzed about it. Dr Bharucha had no
10 recollection of these events at all.
11 PROFESSOR KIRKHAM: Okay. Well, the slides are available
12 and Dr Squier, who's an expert, has been asked to look
13 at them, and she didn't find any evidence of hypoxia and
14 Dr Armour's report didn't find any evidence of hypoxia.
15 MS ANYADIKE-DANES: If we leave Dr Armour's report to one
16 side for a moment because there might be a conflict
17 between Dr Armour and Dr O'Hara. We'll never be able to
18 resolve that. But Dr Squier in her report at
19 206-008-118, I think she says that it might take
20 24 hours to show those signs. There it is there:
21 "The classical reactive changes which characterise
22 hypoxic damage may not have had time to become fully
23 apparent."
24 PROFESSOR KIRKHAM: Well, I would accept that. Dr Squier is
25 an expert and she's saying that she can't see any

11

1 more subtle abnormalities such as venous sinus
2 thrombosis might be quite tricky to diagnose, but
3 hypoxic brain damage is very much ...
4 Q. You'd expect her to see that?
5 PROFESSOR KIRKHAM: It's a common problem and the stains
6 should have been done by Dr Armour to look for hypoxia.
7 And assuming Dr Squier had access to all the material
8 I would expect her to be able to say very clearly
9 whether there was hypoxia or not. It would be unusual
10 to have had hypoxic brain damage and not to be able to
11 see it at post-mortem if it was really there.
12 Q. Dr Armour didn't see it. That's why it was an issue
13 when the coroner made the note that he did. But
14 Dr Armour didn't see it at autopsy and this --
15 PROFESSOR KIRKHAM: And Dr Squier didn't see it. Could we
16 just go back again to the people who may have seen it?
17 What evidence do we have that they really did see the
18 slides?
19 Q. I'm just trying to ... I think it's 011-025-125. Yes.
20 This is dated 8 December. I think the autopsy was done
21 on 29 November, I believe. Where we see again is:
22 "Today, Dr Armour showed slides to Dr O'Hara [who is
23 a pathologist] and Dr Bharucha. Both stated that there
24 was clear evidence of hypoxia."
25 PROFESSOR KIRKHAM: Has Dr Armour confirmed that she did

10

1 evidence of hypoxia, but she can't completely exclude
2 it. If there was hypoxia, then that would cause massive
3 brain swelling. I mean, you get swelling after hypoxic
4 insults in head injury, in cardiac arrest. The hypoxia
5 causes a lot of swelling.
6 Q. Just so I understand what you're saying: are you saying
7 that if there was hypoxia, that is what would have
8 actually led to the cell death, that's what would have
9 affected the ability of the brain to pump out the
10 sodium? And that would have been enough, irrespective
11 of whether you were getting contributory oedema from the
12 hyponatraemia?
13 PROFESSOR KIRKHAM: Yes. Hypoxia, once you have hypoxia,
14 you have got brain swelling and significant risk of
15 significant damage.
16 Q. We are going to come on to that whole issue of
17 hyponatraemia in just a minute.
18 Can I just deal with two other things that arose
19 yesterday? One is that another of your risk factors was
20 the speech. I think it was part of his subtle
21 neurological problems, the particular way he used his
22 mouth to form his speech or his difficulty with speech
23 in certain respects and also the action of his mouth as
24 he was eating as opposed to not wanting to eat.
25 I think you might have placed some significance on

12

1 the fact that he attended a speech clinic. Would it
2 make any difference to how you receive those facts about
3 the way his mouth action operated if you were told
4 he wasn't seeing a speech therapist, actually he was
5 attending a feeding clinic?

6 PROFESSOR KIRKHAM: Um ... Well, Dr Coulthard made the
7 point at the experts' meeting that a lot of children
8 with renal failure have feeding problems.

9 Q. Yes.

10 PROFESSOR KIRKHAM: And I would accept that many children
11 with renal failure would need feeding clinic from that
12 point of view. The speech and language therapists who
13 saw him mentioned that he'd had expressive language
14 problems as well, but if it really was just a feeding
15 clinic then one would have to accept that's a component
16 of having chronic renal failure.

17 Q. And then what is the significance of the particular
18 feeding action that was described? Does that remain
19 a risk factor or is that just part of what they were
20 trying to deal with because that's an idiosyncrasy to do
21 with him?

22 PROFESSOR KIRKHAM: I think Dr Coulthard wasn't entirely
23 clear exactly what the cause of the problems in feeding
24 are in chronic renal failure. My personal
25 interpretation would be that it might be anorexia, that

13

1 I think you're implying that perhaps there might be
2 a lack of exercise of the mouth muscles. I don't think
3 I've ever seen that. Most children chew if they can and
4 they ... I don't think that if you have a nasogastric
5 tube that would stop you being able to chew. I know of
6 no evidence of that.

7 MS ANYADIKE-DANES: Okay. Then can I go back to the point
8 that the two of you had asked about, which was the blood
9 pressure in PICU? I think, Professor Rating, you were
10 particularly interested in that, and you also wanted to
11 know if we could identify the time at which the
12 medication was prescribed to address that. We can do
13 that in this way. The information from PICU can be
14 found in a series, it starts at -- if these could be
15 pulled up relatively quickly one after the other,
16 057-009-010. These are the PICU records. Then after
17 that, 010A.

18 PROFESSOR RATING: Sorry, sorry, the time is -- oh, I see,
19 12 o'clock, okay.

20 Q. Yes. Then after that, I'm just going to show you what
21 there is, and then you can identify what you would
22 particularly like to look at. This of course is showing
23 the blood pressure there. Then there's 010A. This
24 might be relevant, I'm not sure that the other charts
25 are relevant for your purposes, but there's also

15

1 you didn't feel like eating, and that wouldn't usually
2 be associated with any problems in chewing of the sort
3 that were described by the feeding clinic or the speech
4 and language therapists. So I would expect more of
5 a problem with not wanting to eat rather than difficulty
6 in chewing. But I'd have to really check with
7 Dr Coulthard as to what he thinks the problem is with
8 children with chronic renal failure.

9 Q. So absent that, for you, the particular action that is
10 described is still significant?

11 PROFESSOR KIRKHAM: I think so. I mean, I did a renal job
12 as an SHO and the children I saw didn't fancy eating
13 rather than had chewing problems. But I think it's --
14 I don't look after children with chronic renal failure
15 now, so the world may have moved on, but my
16 understanding is that it would be an anorexia rather
17 than difficulty chewing.

18 MR FORTUNE: Could we find out from Professor Kirkham
19 whether, if a child is being fed through a tube and
20 therefore not exercising the muscles that you would
21 expect to be exercised in that way, whether that makes
22 any difference, firstly, to the ability to speak, or
23 secondly, the need to attend a speech therapy clinic?

24 PROFESSOR KIRKHAM: I think the situation with mouth
25 movements is usually a fixed problem, a static problem.

14

1 057-009-012.

2 Then, just to show you some of that graphically,
3 we've put together two of the printouts, the printout
4 from the surgery and then the printout from the monitor
5 in PICU, and the new combined chart is at 306-108-001.
6 So then you see that series. You had seen up to 12 -- I
7 think you, Professor Rating, had seen yesterday, which
8 was during surgery, then we've added on to that the
9 monitor, which goes up to practically 5 o'clock, really,
10 for when he was in PICU. If you look at the middle
11 band, that shows graphically at least what the monitor
12 was showing.

13 Then in terms of what the medical notes and records
14 show, I'm not going to pull all these up, but there is
15 a series that goes from -- perhaps pull up the first one
16 -- 058-035-135. It goes on to 142, so these are the
17 extracts from his medical notes and records, and you can
18 see that it starts there at 12.05, you see his blood
19 pressure is 118/78 and his central venous pressure is
20 about 30. This is the entry made by Dr O'Connor.

21 In terms of when the inotropes were given, which is
22 nifedipine, one sees that at 058-005-011. You can see
23 5 milligrams is given at 1.30, and that's signed off.
24 And then another 5 milligrams is given at 1.55. Then if
25 one goes over the page, you see it there under the

16

1 heading "regular non-parenteral drugs".
2 As to why it was being given, one sees that in the
3 notes, and if I just pull out two pages to have
4 alongside each other, 058-035-137 and 138. Then you can
5 see under "1 pm", this, I think -- I'm not quite sure
6 whose writing that is there, but anyway you can see
7 three lines up from the bottom:
8 "Dilated pupils on examination with bilateral
9 papilloedema and haemorrhages, CVP 12 but steadily
10 rising BP over the past hour."
11 And then you can see at the top of the other:
12 "Response needs anti-hypertensive, BP now 170/100."
13 And then if we pull up 139, the next page, we can
14 see at 5.10:
15 "Decerebrate movements, BP was 145/110 earlier, had
16 10 milligrams. If persistently high later ..."
17 And then there's what to do about that.
18 So that's the information we have of what his blood
19 pressure was after his surgery. That's the information
20 we have as to what was prescribed to address that.
21 PROFESSOR KIRKHAM: One of the questions I had yesterday was
22 when the inotropes were stopped; do we have that?
23 Because he was given inotropes to perfuse the kidney or
24 perhaps it was that Dr Taylor gave the extra fluid to
25 perfuse the kidney. Did he have inotropes? I thought

17

1 on those issues, where does that take you as to the
2 matters you thought were of concern yesterday?
3 PROFESSOR KIRKHAM: Well, Adam was given fluid, and I think
4 the plasma expander, HASS, I think he was given, and the
5 boluses of dopamine to make sure that his adult-sized
6 kidney was perfused. However, once that stopped, his
7 blood pressure continued extremely high, and it's not
8 entirely clear why it was so high, but I think raised
9 intracranial pressure is probably a very reasonable
10 explanation of why the blood pressure stayed so high on
11 intensive care. I don't think that we have any
12 disagreement about the fact that he had raised
13 intracranial pressure on intensive care and the most
14 likely diagnosis would be that high blood pressure was
15 secondary to the raised intracranial pressure.
16 Q. Yes. For Professor Rating, the reference to the boluses
17 as opposed to the transfusion can be seen at
18 011-014-101. About seven lines down from the top:
19 "There are two small increases in the systolic BP at
20 around 10 am, corresponding to two small boluses of
21 dopamine."
22 And I think both of you had asked us to find out if
23 there was a target blood pressure they were aiming for,
24 bearing in mind they were going to transplant a very
25 nearly adult size kidney. The answer that I've been

19

1 he was given dopamine.
2 Q. He was given dopamine.
3 PROFESSOR KIRKHAM: And I wonder when that was switched off.
4 Q. I'll have to find that for you. Yes, if we could go
5 back to 058-005-012. Look under "E" at the top,
6 "regular parenteral drugs: dopamine".
7 MR UBEROI: If I can assist, if memory serves me correctly,
8 there was some confusion over this, sir. Dr Taylor was
9 able to say he gave the dopamine at a particular stage
10 in the operations, but couldn't recall a time. It was
11 around 10 am, but he couldn't be precise.
12 PROFESSOR RATING: Yes, that's it.
13 THE CHAIRMAN: Thank you.
14 PROFESSOR RATING: And it was one bolus, not an infusion,
15 I have in my mind, but I don't know. It was not
16 a permanent infusion, but I thought it was one bolus.
17 MS ANYADIKE-DANES: I think he might have given two,
18 actually.
19 MR UBEROI: I think the language used was two small boluses.
20 MS ANYADIKE-DANES: Yes, but during the course of an
21 operation.
22 PROFESSOR RATING: Yes, but not an infusion with it. For an
23 infusion for a time going on for one or two hours, or
24 something like that. Two times a bolus, yes.
25 Q. Now that we have given you the best information we can

18

1 given is that there wasn't, actually. What they were
2 trying to do, at least, was to ensure that it didn't
3 fall below its starting value. But there didn't seem to
4 be an agreed value that they were aiming for. And the
5 evidence when both Dr Taylor and Mr Keane were asked
6 about that in terms of what you do to try and give the
7 kidney its optimum chance -- the evidence was all about
8 the level of central venous pressure that you're trying
9 to achieve. They didn't really give any evidence of the
10 blood pressure. CVP.
11 PROFESSOR RATING: I don't understand and I don't
12 believe ...
13 Q. That was the evidence.
14 PROFESSOR RATING: Because for the surviving of the kidneys,
15 the central venous pressure may have some influence, but
16 it's most important the arterial side.
17 Q. That seemed to be the evidence. We can check it again.
18 PROFESSOR RATING: You should have second. And I remember
19 that in the discussion with Professor Coulthard, he made
20 the point that it is usually done to give a little
21 increase. That's in the statement of Dr Coulthard.
22 I would think that they would want to have it because he
23 started with diastolic pressure of around about 50, they
24 want to have it at 70 or something like that, but not
25 those high levels at the end of the operation and during

20

1 the PICU. That has nothing to do with increasing the
2 pressure for the kidney, but has to do much with the
3 perfusion of the brain, the brain needs ...
4 Q. Yes. I understand that your view is that the arterial
5 pressure was what was important and, if you're going to
6 elevate anything, to elevate that. All I'm saying is
7 that the evidence the inquiry received is that the focus
8 was on the CVP. That is what caused the --
9 PROFESSOR RATING: I don't believe -- sorry, I will never
10 argue against ... I don't believe that you have it
11 right in your memory. Dr Coulthard spoke of arterial
12 pressure --
13 Q. Not Dr Coulthard, sorry, the evidence of the surgeon and
14 the anaesthetist as to what they were trying to achieve
15 and the concerns they had.
16 PROFESSOR RATING: Sorry, okay.
17 Q. That's what it was. And their concern and the
18 discussion to the extent that any discussion happened
19 between them was about CVP.
20 PROFESSOR RATING: Okay, fine.
21 Q. Okay. But in any event, do I understand what you're
22 saying is that the higher pressures are, you consider,
23 related to or caused by the fact that his intracranial
24 pressure was high and not that the doctors were trying
25 to raise the pressure because the doctors would not be

21

1 of hypertonic encephalopathy or however we speak of a
2 high intracranial pressure.
3 PROFESSOR KIRKHAM: No, I agree, but I would like to
4 distinguish that. I think he had hypertensive
5 encephalopathy and then he had high intracranial
6 pressure, at least in part, related to that.
7 Q. You had been raising the issue of the significance of --
8 at least, I think Professor Rating, you were wanting to
9 look again at the paper of Shiau in relation to the role
10 of intracranial pressure and the evidence you might
11 expect to see of renal haemorrhage. Your view was that
12 you would expect to see renal haemorrhage. And I think
13 you undertook to have a look at that paper over the
14 evening.
15 I think that paper has been circulated, it's to be
16 found at 306-109-001. It's titled:
17 "Retinal haemorrhages in children. The role of
18 intracranial pressure."
19 PROFESSOR RATING: I have to say that I didn't read the
20 paper because I didn't get it last evening. Sorry, she
21 went to bed --
22 PROFESSOR KIRKHAM: Apologies.
23 PROFESSOR RATING: I have not seen it, I have not read it,
24 therefore I cannot argue on that. I can do it during
25 the lunchtime and then comment on this. Sorry.

23

1 trying to raise the pressure to that level and that even
2 after the medication had been stopped, his pressures
3 remained abnormally high; is that what you're saying?
4 PROFESSOR KIRKHAM: I think that during the operation, the
5 pressures are high. He's being given colloid and blood
6 and fluid to try to maintain kidney perfusion and
7 dopamine, oral, to try to keep ... So I think the
8 initial issue is hypertension, deliberate hypertension
9 to perfuse an adult kidney. And I think that that
10 hypertension was significant for him because he then
11 gets papilloedema with haemorrhages, so I think he has
12 a degree of hypertensive encephalopathy from the
13 hypertension to perfuse that kidney, and then when he's
14 on intensive care, I think that some of the hypertension
15 is almost certainly related to raised intracranial
16 pressure, secondary to the hypertensive encephalopathy.
17 That's a scenario I've definitely seen in my 1984
18 patient.
19 Q. Thank you.
20 PROFESSOR RATING: Could we say due to high intracranial
21 pressure, not due to hypertensive encephalopathy? Can
22 we agree on intracranial pressure?
23 PROFESSOR KIRKHAM: I think he had hypertensive
24 encephalopathy.
25 PROFESSOR RATING: Yes, but it's different. We are speaking

22

1 Q. We will break maybe shortly -- we'll have a break at
2 some point this morning, and maybe you could take an
3 opportunity to look at it.
4 THE CHAIRMAN: Let's move on, we'll cover the next issue,
5 and then that can be read at the break.
6 MS ANYADIKE-DANES: Yes.
7 PROFESSOR RATING: Should I read it now?
8 THE CHAIRMAN: No, we'll move on.
9 MS ANYADIKE-DANES: There'll be a break. We'll move on.
10 PROFESSOR RATING: Is it possible to have a copy, not on the
11 screen?
12 MS ANYADIKE-DANES: Yes, of course. We can provide you with
13 one during the break.
14 You have sort of been dealing with this on various
15 points, and the raised intracranial pressure is one of
16 them, and the answer to the chairman is another area.
17 But I want to focus directly now on the differences
18 between you in relation to the dilutional hyponatraemia
19 and its role.
20 If I could start with you, first, Professor Rating,
21 just so that I understand one thing. Are you able to
22 identify cases reported in the literature of isolated
23 acute hyponatraemia with documented intracranial
24 hypertension and/or death?
25 PROFESSOR RATING: As in the sense as it is needed here for

24

1 this inquiry? No.
2 Q. You did, though, provide --
3 THE CHAIRMAN: Sorry. Why do you think that is?
4 PROFESSOR RATING: Because the papers where the deaths are
5 described are older and by that there is quite a lot of
6 missing data, and by that everyone can see: that's not
7 looked after, that's not looked after, that's not looked
8 after. That's the problem with this situation because
9 it is an old situation, which happens nowadays --
10 I would not say no more, but very seldom -- and when it
11 happens, it is in small hospitals where it's not
12 investigated, as had to become investigated, and so on.
13 By that, there's a difficulty with this, from the
14 paperwork.
15 MS ANYADIKE-DANES: I think, though --
16 PROFESSOR RATING: There are quite a lot, even if you go
17 to ... I have spent half the night searching the
18 Internet for further papers on that to the basic
19 science, and every basic science paper, even in the last
20 year, started with: there are deaths in children or in
21 adults with dilutional hyponatraemia, and they probably
22 have to investigate that and that. That means the
23 papers are all reflecting to these old data that
24 patients with dilutional hyponatraemia died. But the
25 evidence -- and there Professor Kirkham is very clear --

25

1 part of them, let's say [inaudible] 10, a part of them
2 will die.
3 THE CHAIRMAN: So in the same way as some people who get
4 pneumonia die and some people who get pneumonia live,
5 some people who get cancer die, some people who get
6 cancer live, it depends on a number of other factors.
7 PROFESSOR RATING: On a number of other factors, yes. But
8 all the children became really difficulties, they will
9 get difficulties if they are ... They will not be quite
10 happy with 120 sodium concentration. They are ill,
11 severely ill, but some will survive and some will die.
12 THE CHAIRMAN: And some can be brought back from 120?
13 PROFESSOR RATING: Yes.
14 THE CHAIRMAN: That depends on things like whether it's
15 recognised that they're seriously ill and how --
16 PROFESSOR RATING: No, even if they have the same protocol,
17 it's impossible to do such a protocol, but only thinking
18 of ... They brought down from 135 to 120 within one
19 hour. Let's say that's our ... And then they left
20 there. Not everybody will die. I think Adam, because
21 of his renal failure, had problems because he could not
22 get rid of water and you could not correct the water
23 in the body and the brain as quick as a child which is
24 healthy.
25 THE CHAIRMAN: Thank you.

27

1 if you look there, which are those cases and you can
2 start: that is not given, that is not given, that is not
3 given. It is not as convincing as it is or as it should
4 be because data are missing. There's no intracranial
5 pressure from Arieff's group that has been published,
6 but you can all criticise these papers because they
7 would not fulfil the criteria you need in this moment to
8 be quite sure about that.
9 THE CHAIRMAN: Can I ask you: just as we finished yesterday
10 afternoon, I asked Professor Kirkham on the issue of why
11 it seemed to me to be counter-intuitive or unexpected
12 that if you give a child an excessive amount of fluid
13 which is low in sodium and that brings down the child's
14 sodium level, why would the child not die?
15 PROFESSOR RATING: You have to realise that medicine is not
16 a basic science. That means that if one position was
17 reached, then the cascade had to go in that and that and
18 that direction. I think it's a great difference -- I
19 mean, if you have ten children brought nearly in the
20 same time from a sodium of 135 to, say, 120, not all
21 will die.
22 THE CHAIRMAN: Yes.
23 PROFESSOR RATING: But maybe some will die because the
24 genetic impact on the fluxes, on the membranes, they are
25 different, but all will come into great problems, and

26

1 MS ANYADIKE-DANES: When you said that the problem about
2 looking at the papers and the research or the studies
3 that were done previously around about the time for
4 Adam's case, or that era, if I can put it that way, the
5 problem about that, I think you were saying, is that
6 when you look at the papers, they don't now include the
7 sorts of things that, for example, Professor Kirkham and
8 yourself would discuss now to be able to distinguish
9 better what exactly was going on. If that's the case,
10 how can people be so confident that those children died
11 of hyponatraemia?
12 PROFESSOR RATING: Difficult question. Can I come back to
13 it another way?
14 Q. Yes.
15 PROFESSOR RATING: Professor Kirkham stated that she had not
16 found any good evidence that the velocity of decrease of
17 sodium in the cell(?) is of any greater impact. That
18 was one of them which I have made last night, that
19 I have found basic work from a Mexican group, coming
20 from Mexico, I have sent it this morning to you, and one
21 of these papers described in experimental design
22 that ... And that is the paper of Pasantes:
23 "Mechanisms counteracting ... adapting ..."
24 Wait a minute. Regarding the cell swelling, there
25 is a difference in between an acute and more gradual

28

1 decrease of sodium concentration in plasma.
2 Q. Sorry, let me pull it up and see if it's this. Is it
3 306-113-001:
4 "Mechanisms counteracting swelling in brain cells
5 during hyponatraemia"?
6 PROFESSOR RATING: Yes. There it is, and it is clearly
7 shown that it is different in regard to brain swelling.
8 It's a nice paper reporting much on swelling of cells.
9 And I learned by this that there is a very, very quick
10 response and counteraction that ions were taking out.
11 It was really in between minutes it started. But it was
12 an indifference(?) if you make it very, very quick or if
13 you make it more gradually, and if you make it more
14 gradually there is no cell volume change at all in it.
15 If you do it very quick, cell volume increase in it.
16 That's my first argument in the direction that the
17 velocity has nothing to do with ... The other cases
18 coming from the literature, as bad or as good as you
19 like, that is very clearly stated of everybody who
20 started to write on that, that it is the difficult first
21 of the acute hyponatraemia and then the second, the
22 correction of a chronic hyponatraemia, which is a
23 pitfall that children can die. I find it very
24 interesting that in this basic work they have reproduced
25 cell damage [inaudible] in the other case when they make

29

1 omitted, and that I have brought out in my second report
2 very clearly, that you have principle to distinguish
3 between the acute and the chronic. And if you mix them
4 up, then you will be lost. And she made the statement
5 at the time that she had not found any paper which
6 convincingly shows that the velocity and the timescale
7 is of any greater impact. And therefore, this is
8 a basic experimental cell model where it is shown that
9 it has influence on the cell volume whether the gradient
10 is coming down quickly or it's going gradually.
11 THE CHAIRMAN: So if it's coming down quickly because too
12 much fluid is being given in too short a time, then the
13 rate of decrease in a short time is -- that's more
14 serious?
15 PROFESSOR RATING: Yes.
16 THE CHAIRMAN: Sorry, is that more serious than a gradual
17 decline?
18 PROFESSOR RATING: Yes. In my thinking, yes. She says not
19 because she has not found convincing evidence for the
20 time schedule. For me, it is very clear because you are
21 more often confronted with a patient chronically ill,
22 coming in a clinic, and you find during either
23 hyponatraemic states and hypernatraemic states in
24 a chronic way and they are breathing and walking, but
25 they are not so fit as usual. But you can stand for

31

1 a very quick correction of the Natrium in
2 a hyponatraemic stage which were chronically then they
3 could show all the cell death. But they were in this
4 moment they have difficulty to do it the other way
5 round. I cannot tell you why, I am not ... Maybe
6 I have not found right papers in this moment. There is
7 one sentence in this that, again, from the basic
8 researchers, they wrote a sentence that this very quick
9 counteracting actions can be overrun by ... If it is
10 too quick, if the decrease is coming up too quickly.
11 But there is no really good data on it.
12 Q. I wanted to ask you about that.
13 THE CHAIRMAN: Sorry, I need to clarify that answer. You
14 were saying after you referred to this paper, you
15 said -- I just need to -- it's not quite clear to me what
16 you're saying. You said it's a nice paper reporting
17 much on the swelling of cells. And you then said:
18 "That's my first argument in the direction that the
19 velocity has nothing to do with ..."
20 To do with what?
21 PROFESSOR RATING: This was a statement of
22 Professor Kirkham, that she has not seen any paper in
23 which the velocity of decrease has any impact on it.
24 That was one of my criticisms when she made some sort of
25 classification for the hyponatraemic state, that she

30

1 a long time, hyper and hyponatraemic states, when these
2 stages were reached slowly.
3 THE CHAIRMAN: Is it more difficult then to reverse a very
4 speedy decline?
5 PROFESSOR RATING: The problem with the speedy decline, in
6 which way you have to correct it, is really very, very
7 tricky because you must be very -- you have to meet(?)
8 the information. It is only three, four, five hours,
9 it is 12 hours, 24 hours. Beyond 12, 24 hours, then the
10 acute goes in the direction of a chronic hyponatraemia
11 and the chronic hyponatraemia, you have to correct very,
12 very slowly. You can only make one mistake to correct
13 it too quickly. And in the first 12 hours, you really
14 have the difficulty to make a good infusion schedule to
15 bring the patient back to normal. But yes, somebody has
16 written it, you are damned if you correct it and you are
17 damned if you don't correct it.
18 THE CHAIRMAN: On any of the cases which appear in the
19 literature, is there an example of an excess of fluid
20 being given in such a short period as two to three
21 hours?
22 PROFESSOR RATING: I have not found it an intravenous way.
23 There are some papers where children have drunk quite
24 a lot of time. There is one paper you cited that would
25 be a good example, but this was a lady who made it for

32

1 a longer time, that means it was chronic hyponatraemia.
2 There is a paper with a boy, between 1 or 2.5 hours, or
3 something like that, drank 4 litres of water. But he
4 has a normal kidney and he belonged to the ... And he
5 has very low sodium concentrations and he survived.

6 THE CHAIRMAN: Okay. Whereas Adam got this in a very short
7 period, Adam got an excess of fluid and didn't survive
8 and did not have a working kidney. In fact, that was
9 the point of the operation.

10 PROFESSOR RATING: Maybe that it is a contributing factor.
11 For me, it is a contributing factor because if the body
12 starts to ... His regulation, then you need your kidney
13 to bring out, for example, water. And that was for Adam
14 not possible because he couldn't regulate his water.
15 The boy with the 4 litres of water started immediately
16 to excrete quite a lot of water. But everybody knows
17 who started to drink a lot of water in a short time,
18 you have to go to the toilet. And that's the same too.
19 But that was not possible for Adam. That means that his
20 potency to regulate the water income was reduced.

21 THE CHAIRMAN: Okay, thank you.

22 MS ANYADIKE-DANES: Can I ask you to clarify something about
23 the rate of change? When the experts met in Newcastle,
24 there was quite a bit of discussion about that, and the
25 example that Dr Coulthard gave is of children, very

33

1 on the Internet, searching for it. I can only say that
2 basic sign(?) has done science on this, there is
3 a greater band of literature. I was not able to read
4 them and to come to a really hard conclusion, but
5 I realised that is much more written about the other way
6 round, that you have hyponatraemic going quick, then
7 you have brain damage. That is very many papers show
8 that. But the other way round, that you have a normal
9 going down and then to show in animal experiments the
10 brain damage, they have difficulty with it.

11 Q. Thank you. You did provide us with a paper, and I'm
12 hoping that you can help us with the significance of it,
13 of a study that was done of pigs. That's the Witt paper
14 in 2010. The reference for that is 306-104-001, which
15 is --

16 In that paper, as I understand it, they were trying
17 to replicate it and to see what -- obviously you can't
18 set up the control using human beings, so they were
19 trying to see with piglets, whose anatomy and responses
20 might be comparable, what would happen. That paper,
21 though, didn't seem to, from my reading of it, and
22 that's why I want you to help, didn't seem to produce
23 the sort of result that one might expect from what
24 you've said about the science. Why is that?

25 PROFESSOR RATING: First, I put the paper in my --

35

1 often babies, who have very low serum sodium levels, and
2 his example was you have to be very careful about how
3 you raise the serum sodium level to within the normal
4 parameters because if you do it too quickly you can kill
5 them. It seems an odd thing to do. You'd think that
6 you'd want to get them to something normal as quickly as
7 possible, but no --

8 PROFESSOR RATING: I tried to have said this, but I have not
9 said it, sorry.

10 Q. Okay, that's fine. And I think to some extent Dr Haynes
11 agreed with him about that.

12 PROFESSOR RATING: Yes.

13 Q. He then had to deduce that it worked in exactly the same
14 way the other way round, so if you started with a child
15 who had normal parameters of serum sodium and that child
16 was taken to very low serum sodium levels very quickly,
17 it would be the same as if you started low and raised
18 them to normal very quickly. But he wasn't able to
19 identify any paper or research that showed it did work
20 precisely the same way round. Are you able to point to
21 anything that shows it does work the other way round?

22 PROFESSOR RATING: When I came here to Belfast, I didn't
23 realise that these are the most important point.

24 Therefore, I have looked a little bit in Heidelberg for
25 it, but not as deeply. And therefore overnight I stayed

34

1 Q. You're right, you refer to it in your first report.

2 PROFESSOR RATING: I put it in my report because I think
3 it is fair, I found it and it was against me, against my
4 thinking, and I think I have to write it down and give
5 you the information. At that time I wrote that perhaps
6 the time schedule was not enough. That means the piglet
7 experiment started and was finished after one hour, and
8 they have shown that sodium came down remarkably.
9 I have to say that those with free glucose they died
10 already at 45 minutes because of cardiac arrest, which
11 was not further comment on why they were dying. But
12 they were unable to show an increase of intracranial
13 pressure, neither an increase of oedema.

14 The one thing could be is that it is a problem of
15 time. If you would have extended this experiment for
16 two hours or three hours, maybe you will have seen
17 a little bit more in the direction, I don't know. That
18 would be my argument. But at the end, especially of
19 what I have read this afternoon, as Professor Kirkham
20 stated, the body and the brain is very clever and very
21 effective to compensate osmotic changes. And some of
22 the basic science have written the sentence that it was
23 puzzling that they have not found what they thought they
24 should have seen because of only thinking on osmotic
25 diffusion. And then it comes up that there is a quick

36

1 regulating mechanism, which included ions, electrolytes
2 on the one side, but on the other side
3 neurotransmitters, which were brought out of the cell,
4 and by that they decrease the volume of water. And yes,
5 that was new for me in this scientific -- I have not
6 read that before.

7 That means the point of Professor Kirkham that there
8 are very effective mechanisms to control especially
9 these osmotic diffusions, that's a good point. The
10 difficulty I have in this moment is the timescale. I am
11 seeking for an experiment which would have been a little
12 bit longer seen afterwards, whether those very, very
13 quick reductions, even in animal models, will show us an
14 osmotic brain damage.

15 Q. Yes. Okay. I wonder if --

16 THE CHAIRMAN: Sorry. Can we just stay with this? If you
17 look at the paper that's on the screen, professor, under
18 the heading "Background". The first sentence is:

19 "Errors in fluid management can lead to significant
20 morbidity in children."

21 PROFESSOR RATING: Yes. That's it. Even mortality. Very
22 often it is written that children had died. It is
23 a background, it is a basic science. Maybe it's not as
24 basic as I thought. It is clinicians who started that
25 and ...

37

1 THE CHAIRMAN: That's your basic thesis, isn't it? In fact,
2 what you say to this inquiry is that Adam's case is an
3 example of an error in fluid management.

4 PROFESSOR RATING: Yes.

5 THE CHAIRMAN: Leading to morbidity in Adam's case.

6 PROFESSOR RATING: Morbidity and, very often those papers,
7 from basic science, not only morbidity but mortality.

8 MS ANYADIKE-DANES: Is that not the difference then?

9 Mortality is the death?

10 PROFESSOR RATING: Morbidity is you become very ill, yes.

11 Morbidity is change in clinical state. Mortality, you
12 are dying.

13 MR FORTUNE: Before my learned friend moves on, can we find
14 out from both professors in relation to the intracranial
15 pressure, because Professor Rating has referred to this,
16 whether that pressure results from one of three possible
17 causes: cause 1, dilutional hyponatraemia causing
18 cerebral oedema; cause 2, high blood pressure, that is
19 hypertensive encephalopathy; or cause 3, PRES or venous
20 sinus thrombosis?

21 MS ANYADIKE-DANES: I wonder, Mr Chairman, before they both
22 address that, in fairness, I was going to ask
23 Professor Kirkham to respond to what Professor Rating
24 had been saying about the two papers, just so that we
25 keep the evidence together.

38

1 MR McALINDEN: There's just one further issue that might be
2 of relevance in relation to this matter. It's the same
3 paper, 306-104-004. It's the sentence beginning:

4 "Moreover, gross and microscopic examination of
5 brain tissue revealed no major cerebral oedema or cell
6 hydrops suggesting no major changes in blood-brain
7 barrier permeability."

8 THE CHAIRMAN: Just one second: 306-104-004.

9 PROFESSOR RATING: But I tried to give this information,
10 that they have not found anything in that.

11 MR McALINDEN: Perhaps both could comment on that.

12 MS ANYADIKE-DANES: Thank you very much, Mr McAlinden.

13 THE CHAIRMAN: Sorry, Mr McAlinden, what you were reading
14 was?

15 MS ANYADIKE-DANES: "Moreover, gross and microscopic ..." --
16 about halfway down --

17 THE CHAIRMAN: In the right-hand column, just near the
18 bottom of the page?

19 PROFESSOR RATING: Intracranial pressure -- they couldn't
20 show any increase in intracranial pressure. And I have
21 to say that piglets are very near to humans regarding
22 their biochemistry ... They are a little bit difficult
23 to handle because they very often get heart problems,
24 but perhaps that they are dying, but they are very near
25 to human biochemically and biophysically.

39

1 MS ANYADIKE-DANES: Thank you, Mr McAlinden. I was going to
2 ask Professor Kirkham to address this paper and also the
3 other paper that Professor Rating had referred to,
4 unless you would like more time to look at that other
5 paper.

6 PROFESSOR KIRKHAM: Professor Rating sent me this morning
7 about six papers, which I would like a little bit more
8 time to look at. I have read the piglet paper.

9 Q. Are you in a position to address this?

10 PROFESSOR KIRKHAM: I can probably address the piglet paper.

11 MR FORTUNE: I don't have a copy of the piglet paper. I was
12 served with a number of papers, but not the piglet
13 paper.

14 THE CHAIRMAN: We'll make sure you get a copy.

15 Okay, Professor Kirkham, if you can indicate what
16 you think the piglet paper establishes.

17 PROFESSOR KIRKHAM: So this paper is obviously a scientific
18 attempt to reproduce the circumstances of accidental
19 hyposmolar hyperinfusion in children. Just out of
20 interest from the point of view of the background,
21 references 10, 11 and 12 are used as the background
22 in addition to the Arieff papers, but two of those are
23 actually media articles rather than --

24 MS ANYADIKE-DANES: Sorry, just so people can see what you
25 mean, that is to be found at 306-104-005. It's

40

1 reference 10, "Fatal mistake in hospitals ...", then 11,
2 "A case of hypoglycemic ...", and then 12, "Physicians
3 [sic] mistake ..." Those are the references you mean?
4 PROFESSOR KIRKHAM: Yes. So one of those is actually
5 a non-ketotic coma, which is not really the same, and
6 the other two are actually from media rather than
7 scientific articles. So we are, as Professor Rating has
8 already said, left with the original literature from
9 Arieff and the number of cases reported is relatively
10 small. Nevertheless, this is a good attempt to try and
11 reproduce those circumstances, to give hyperinfusion of
12 low hypoosmolar fluids. And surprisingly, the piglets
13 did not have cerebral oedema or raised intracranial
14 pressure. And although I appreciate Professor Rating's
15 point that if things had gone on for longer there might
16 have been something to show, nevertheless the argument
17 is that it's a very rapid infusion, so I would argue
18 that if it really is a very rapid infusion, you should
19 see it within this time frame. That's the whole point
20 of this experiment to say that a very rapid infusion of
21 hypoosmolar fluids would overwhelm this situation or
22 overwhelm the body's ability to compensate. And I think
23 this is a very rapid infusion. Some of the piglets died
24 but they died cardiac deaths, not brain deaths.
25 THE CHAIRMAN: If you have a rapid infusion over a longer

41

1 true? How could it not be true that if you extend the
2 period over which the excess of fluid is given and if
3 the fluid is given accidentally, of course, to a child
4 who already has a significant medical problem, how could
5 the outcome for the child not be significantly worse?
6 PROFESSOR KIRKHAM: Because the brain is compensating, as
7 Professor Rating says. The body is -- if it's not
8 hypoxic, the body is basically doing what it can to keep
9 in homeostasis, in other words to keep everything
10 balanced. That's why --
11 MS ANYADIKE-DANES: The greater the time, the better the
12 chance the body has to -- I think that was
13 Professor Rating's point: the longer the time, the more
14 opportunity the body has to deal with it and accommodate
15 to it.
16 THE CHAIRMAN: If the body can --
17 PROFESSOR RATING: I don't know whether that is right.
18 I think the most impact for the brain to react is the
19 time when the fluid comes in and you started to get the
20 fluid out of the cells and it started to get the cell of
21 the same volume. And at the beginning it is ionic
22 exchange and then starts other organic organelles and
23 chemical substrate to use to prevent that the cells are
24 the same size. I don't know whether the period --
25 whether it is a greater period, if it is done in one

43

1 period, in other words say three hours rather than one
2 hour, and the infusion is into a child who has medical
3 problems, which is why the child is being operated on,
4 would you not expect a more severe reaction from the
5 child than you would from the piglet? These are healthy
6 piglets, aren't they?
7 PROFESSOR KIRKHAM: These are healthy piglets.
8 THE CHAIRMAN: These are piglets who do not have fundamental
9 problems with their organs.
10 PROFESSOR KIRKHAM: I understand that. I don't think there
11 is any data from animals or humans in renal failure.
12 I don't think that any of the cases reported in the
13 original Arieff papers actually had renal problems and
14 none of the experimental data has been undertaken in
15 animals with any renal problems.
16 THE CHAIRMAN: What I'm wondering is: if you have a longer
17 period of excessive fluid into a child who has a problem
18 with a kidney which is being replaced, is that child not
19 more likely to be overwhelmed by the excess fluid than
20 a piglet is in an hour?
21 PROFESSOR KIRKHAM: Well, there is no evidence for that.
22 There are no data, either clinical or experimental. So
23 one is in the realms of speculation. There isn't any
24 data suggesting that that is what happens.
25 THE CHAIRMAN: Excuse my ignorance. How could it not be

42

1 hour or it is standing for two hours. I am thinking
2 whether the time of one hour is enough to bring up all
3 the problems you can see, that means intracranial
4 pressure, and you can see the swelling of the cells and
5 the brain swelling. Maybe that if the piglets were
6 followed a little bit longer, I think it's bad that they
7 have not extended the experiment, not to kill them all,
8 but to have them for five, six hours, survived and
9 looked after that time. But I cannot argue on that.
10 MS ANYADIKE-DANES: Professor Kirkham, can I ask you then,
11 you have described the compensating mechanism that the
12 body has is the brain has those cells pumping out
13 sodium, and that's part of what is preventing the sodium
14 crossing or the fluid crossing the blood-brain barrier
15 and leading to the fatal cerebral oedema; is that
16 approximately right?
17 PROFESSOR KIRKHAM: Yes.
18 Q. Well, if that's the case --
19 PROFESSOR RATING: It should be corrected because it is
20 chloride and ...
21 PROFESSOR KIRKHAM: Potassium.
22 PROFESSOR RATING: This ion exchange in process is mostly
23 chloride and Kalium and Natrium is not so much in the
24 cell that therefore they cannot react all right.
25 Q. What I was going to ask you is to follow on from what

44

1 the chairman had asked you: if that's how it works, what
2 in your view is the role of the kidneys?
3 PROFESSOR KIRKHAM: Well, the kidneys obviously do get rid
4 of free water and electrolytes.
5 Q. I'm just trying to see, after those cells are pumping
6 out the sodium, as is what they have to do, what is it
7 that the kidneys do?
8 PROFESSOR KIRKHAM: The kidneys excrete urine, which has got
9 a lot of water in it, so if you do drink too much, you
10 would normally expect to get rid of it.
11 Q. Where I'm going with it is this: if the cells are
12 pumping out the sodium, as they're designed to do unless
13 they're compromised in some way, but the kidneys can't
14 concentrate the urine, can't excrete it past a certain
15 amount in an hour because that's the nature of the
16 chronic renal failure, what happens then?
17 PROFESSOR KIRKHAM: You'd have fluid overload, and that's
18 what happens in renal patients. But unless there's
19 actually hypoxia and the pump is not working, the
20 patient is overloaded, but they don't suddenly have
21 cerebral oedema. Otherwise that would happen all the
22 time in renal units and it doesn't.
23 THE CHAIRMAN: Sorry, the reason it doesn't happen all the
24 time in renal units is because children in renal
25 transplants don't typically get excessive intravenous

45

1 functioning; is that what you're saying?
2 PROFESSOR KIRKHAM: That's what I'm saying. You don't get
3 fatal cerebral oedema even if the patient is fluid
4 overloaded. And fluid overload does happen very
5 frequently in patients with kidney failure. It's very
6 difficult to get the fluids completely right minute by
7 minute in a patient with --
8 Q. So the kidneys could be relevant, the fact that he had
9 polyuria and an inability to concentrate and excrete his
10 urine, that would be relevant and that is why you would
11 expect his body to become oedematous, if I can put it
12 that way?
13 PROFESSOR KIRKHAM: Yes.
14 Q. But if the ion-pumping mechanism was still intact, you
15 wouldn't expect to see a fatal cerebral oedema?
16 PROFESSOR KIRKHAM: I don't think so.
17 THE CHAIRMAN: And that's a difference between the two of
18 you?
19 PROFESSOR KIRKHAM: Yes, I think so.
20 PROFESSOR RATING: But I want to make the point, this
21 ion-exchanging process is not limited to the brain,
22 it is limited to the everywhere: to the renal, to the
23 testes, to urea -- to everything. That means you need
24 the kidney to get rid of the water, which is too much,
25 and if you cannot get it out, the process of too much

47

1 fluids; is that not the difference here? The awful
2 mistake which was made in Adam's case was that there was
3 a misunderstanding or a miscalculation of how much
4 intravenous fluid Adam should be given. He was given
5 far more than he should have been and, it seems to me on
6 one argument, far more than he could cope with. So this
7 is not a typical renal problem, it is not a typical
8 renal transplant. And the fundamental difference
9 between Adam's case and other cases is that we have here
10 a boy who had renal failure, who was having a renal
11 transplant, who was then given excessive fluid. That
12 drove down the sodium level in his body and it was, on
13 this approach, disastrous for him because he has no way
14 of getting rid of the excess fluid and his body is
15 overwhelmed.
16 PROFESSOR KIRKHAM: I just don't think there's any evidence
17 that that would cause fatal cerebral oedema.
18 MS ANYADIKE-DANES: Sorry, I framed the question badly, it's
19 my fault.
20 What I was trying to get at is that if you have
21 a situation like that, so long as nothing has
22 compromised the sodium-pumping action, if I can put it
23 that way, is what happens that the body becomes bloated
24 because the kidneys are not excreting the fluid, but the
25 brain isn't damaged because that mechanism is still

46

1 water in the body is the same. It is corrected in the
2 kidney as well as in the brain, as well as in the heart,
3 as well as in the liver. That means it is not a shift
4 out of the brain to any other place, but it is as
5 a hole in -- it is in every living cell try to do that.
6 And by that, it is not ... The only chance you have to
7 get rid of it, to get the water out of it, and if you
8 didn't get the out the water of it, then you stay in it.
9 THE CHAIRMAN: Can I come back to Professor Kirkham?
10 I understand what you said a few moments ago that you
11 can't -- I think you said a fluid overload does happen
12 frequently in patients with kidney failure. It's very
13 difficult to get the fluids completely right minute by
14 minute. But is the difference in Adam's case -- I'm not
15 sure it's much of an exaggeration to say the fluids were
16 completely wrong. This isn't some minor miscalculation
17 of fluid. This was a gross miscalculation of fluid.
18 That doesn't make a difference from your perspective?
19 PROFESSOR KIRKHAM: In my opinion, it did not cause the
20 fatal cerebral oedema.
21 THE CHAIRMAN: Okay.
22 MS ANYADIKE-DANES: Then can I ask this: in your view, why
23 is it, Professor Kirkham, that if you do have low sodium
24 in the way that the chairman was putting to you, why is
25 it that that doesn't -- and developing as quickly as

48

1 Professor Rating is saying it would have developed --
2 why doesn't that have an impact on the brain's mechanism
3 for dealing with sodium or, sorry, dealing with the
4 fluid? Why doesn't it?
5 PROFESSOR KIRKHAM: Well, because the cells are still
6 pumping, so they're dealing with the fluid and they'll
7 get it out of the brain cells. You won't have a fatal
8 cerebral oedema however rapidly the sodium's going down
9 unless there's an additional stoppage from hypoxia of
10 the sodium pump.
11 Q. But if the cells are still pumping, do they not have
12 a limit to the capacity of how quickly they can pump out
13 sodium?
14 PROFESSOR KIRKHAM: I have not been able to read all of
15 Professor Rating's papers this morning, but I have not
16 found any literature to suggest that there is a maximum
17 capacity.
18 PROFESSOR RATING: I have not read all the papers too.
19 I have only given it to -- that we can read it both. In
20 one paper I got the idea that they are speaking of some
21 enzymatic activity and maximal capacity and if that is
22 written in, then we're at the point that we can he say
23 here it is written that there is a maximum of capacity
24 and then we have to discuss whether this maximum of
25 capacity is reached in Adam's case, and I can tell you

49

1 PROFESSOR RATING: I'm quite happy that I'm a medical
2 doctor, not a lawyer.
3 Q. And in the same way as in the past people had thought it
4 quite clear that what was happening was the dilutional
5 hyponatraemia was having a particular effect and have
6 now had to see: well, the brain has these mechanisms so
7 perhaps the situation is not quite as straightforward as
8 we thought. And that's because of the developments in
9 research and understanding of the body's processes, and
10 that might be part of the problem, that people don't
11 know enough to be able to ascribe Adam to one category
12 of mechanism of death as opposed to another; is that
13 possible?
14 PROFESSOR RATING: Yes.
15 Q. But I wanted to -- when you had talked about papers, in
16 fairness, Dr Coulthard felt that he had identified some
17 early papers which, in his view, closely approximated
18 Adam's case. And I wondered, Professor Kirkham, if you
19 could comment on them, because I think you were going to
20 do that, not you personally, but the experts were going
21 to do that at some time following Newcastle, and I don't
22 think we ever got round to having that happen. The
23 cases are to be found in his report at 200-018-223.
24 There we are. One of those, I think the Sicot case,
25 anyway, you might be familiar with. I am not quite sure

51

1 that we will not solve the problem. We can only say
2 that we have found in the literature that there is
3 a maximum capacity, but whether this maximum capacity is
4 reached in Adam's case, it will be impossible to argue
5 right. But it would be some sort of piece in the
6 direction that this ion-driving process is not, yes,
7 without any front ...
8 Q. Not infinite?
9 PROFESSOR RATING: Can expand to any incoming water.
10 I don't believe that it can expand to any. Therefore
11 I say this little piece of work that I have found, that
12 they have cells, if it is quickly given, they are
13 becoming greater. If it's gradually given, they stay
14 in the same size. That is for me a first hint in that
15 direction that the velocity of decrease of Natrium is
16 very important for the capacity to handle the ... Of
17 the enzymatic process bringing out the ions of the cell.
18 Q. Professor Rating, are we not actually dealing with
19 a series of things that you believe or find
20 instinctively difficult to accept don't happen, and then
21 we have Professor Kirkham, who also has some things that
22 she is feeling must happen because of the other
23 research? So it's not as if anybody can place precisely
24 Adam's circumstances on very robust research ground, if
25 I can put it that way?

50

1 familiar with -- maybe the Paut cases you are also
2 familiar with. Are you able to see whether those cases
3 lend support for dilutional hyponatraemia being the main
4 agent or main cause or sole cause of Adam's death as
5 opposed to the other factors that you believe would have
6 had to be present?
7 PROFESSOR KIRKHAM: I have been through the French cases
8 quite carefully and they are in my Excel spreadsheet.
9 I wasn't expecting this question, so I think I'd have to
10 go back to this report and the French cases to look more
11 carefully.
12 Q. But in any event, when you did look at them, did you
13 form the view, even if you can't analyse and parse them
14 now, that they did indicate that Adam could have died
15 from hyponatraemia or that they were missing other kinds
16 of factors that would have been necessary to give
17 a proper explanation?
18 PROFESSOR KIRKHAM: When I went through the French cases
19 before, I thought that -- which are the Paut case and
20 the Sicot case. I don't know about the Auroy case.
21 They have the same problems as the original Arieff cases
22 in that most of the ... Basically, the cases had not
23 had other problems excluded such as hypoxia or they
24 hadn't had a scan. I'd have to look again more
25 carefully. But in each case I don't think that other

52

1 explanations have been completely excluded.
2 Q. Well, I think you and Professor Rating have a different
3 interpretation of what one can understand from the
4 original Arieff paper, the 1992 paper. How do you
5 interpret that paper? Sorry, what is that paper telling
6 us about the development of hyponatraemia and its
7 significance? Maybe I should refer to it. 011-011-074.

8 I'm sure you've looked at that many times. I know
9 that Professor Rating has taken issue with you as to how
10 you interpret that paper. So what is it that you
11 believe is being communicated from that by Arieff and
12 his colleagues about the research that was done?

13 PROFESSOR KIRKHAM: Well, the paper, as published in 1992,
14 reported 16 children from a retrospective series, who
15 had had a low sodium and had died of respiratory arrest
16 with a low oxygen tension and cerebral oedema at
17 post-mortem or radiologically. And some -- I can't
18 remember exactly how many died, actually. I'll look at
19 this. Seven deaths.

20 So the original paper presented data which, for
21 1992, was very reasonable, suggesting that hyponatraemia
22 had caused these children's deaths. But if you look at
23 Arieff's later work, he and Ayus did quite a lot of work
24 looking at the additional factors that patients with
25 hyponatraemia had in association with the cerebral

53

1 either had tonsillitis or had a tonsillectomy, which is
2 definitely a risk factor for hypoxia.

3 Q. Sorry, I think you're looking at 208-007-118.

4 PROFESSOR KIRKHAM: No, it's actually the next page I'm
5 looking at.

6 Q. Sorry, 119. There we are.

7 PROFESSOR KIRKHAM: So those children had other reasons,
8 they had reasons for the sodium pump to be a major
9 problem. And then not only did some of them have
10 conditions predisposing to hypoxia, but some of them
11 actually had conditions that predisposed to neurological
12 problems because they had hydrocephalus, trauma, they
13 didn't necessarily have head trauma, but they might have
14 had head trauma, it's very difficult to be sure that
15 they didn't. One had had an orchidopexy, and many
16 children with undescended testes do have developmental
17 problems. So they had other reasons for having
18 a problem.

19 Q. All right. So then you went to his subsequent research
20 and what is it that his subsequent research tells us
21 about the ability for hyponatraemia on its own to cause
22 sufficient cerebral oedema to lead to death?

23 PROFESSOR KIRKHAM: Can we go to his opening paragraphs
24 in the original 1992 paper, please?

25 Q. Yes. That's at 011-011-074. That captures the

55

1 oedema. And if you look at their more recent work, they
2 emphasise the importance of hypoxia. In fact, these
3 patients had hypoxia, but in the 1992 paper it's not
4 very clear whether the arterial oxygen tension was
5 measured after the respiratory arrest, in which case it
6 might not have anything to do with the original ... It
7 might not be a risk factor because it might have
8 happened after the respiratory arrest.

9 But if you look at the actual patients, they often
10 had risk factors for hypoxia, it had an
11 adenotonsillectomy. Again, I outlined this in my Excel
12 spreadsheet.

13 Q. Let's pull that up if that helps you. It's 208-007-116.

14 MR FORTUNE: I think, in fact, ten patients died in the
15 original Arieff experiment.

16 THE CHAIRMAN: Thank you.

17 MS ANYADIKE-DANES: Thank you.

18 I don't know if you've got your spreadsheet with
19 you, Professor Kirkham, a hard copy of it. If you want
20 one --

21 PROFESSOR KIRKHAM: I think I've got one here.

22 Nine apparently died of brain death in the original
23 Arieff paper. It's not entirely clear which of the
24 patients -- whether the patients who died had the
25 hypoxic risk factors. But seven of these children

54

1 introduction. Would you like the next page brought up?

2 PROFESSOR KIRKHAM: Let me just have a look. I think he
3 actually says even in the introduction ...

4 THE CHAIRMAN: Could you blow up the bottom half of the
5 page, please?

6 PROFESSOR KIRKHAM: Certainly, in one of his early papers he
7 says, when he describes the previous literature, that
8 it's much commoner to have the hyponatraemia in the
9 context of hypoxia, even in the early stages. And in
10 his later paper, he makes that point more clearly. I'm
11 not sure it is in this paper. I don't know if it's
12 in that report. (Pause).

13 At paragraph 45 in my final report, I see:

14 "... recent work from the research group, which
15 includes Arieff ..."

16 THE CHAIRMAN: Just a moment, professor. It's 208-007-084.

17 "Recent work from the research group", is that what
18 you're referring to?

19 PROFESSOR KIRKHAM: Yes.

20 THE CHAIRMAN: I have just brought it up so everyone can
21 follow it. Are you emphasising here the point about the
22 hypoxia?

23 PROFESSOR KIRKHAM: Yes. Moritz & Ayus (2005) and Ayus et
24 al (2008).

25 MS ANYADIKE-DANES: If we can bring up the next page

56

1 alongside it, 085. I'm just trying to distil from that
2 what you are saying about it. Are you saying that
3 Arieff, who to some extent is credited with starting the
4 greater examination of this issue, has not found yet in
5 his studies that hyponatraemia without any of the other
6 predisposing factors, if I can put it that way, leads to
7 death?

8 PROFESSOR KIRKHAM: His original 1992 paper is
9 retrospective, so if you're looking ... In clinical
10 studies, there are two options: you can do
11 a retrospective study, which is easier, but it means
12 you are going backwards and you don't necessarily have
13 all the information about each patient because it's not
14 collected unless you ask for it. Then there's
15 a prospective study, which is more difficult to do
16 because you have to go forwards. It's usually got to be
17 funded, but it provides better quality data because you
18 ask for the things that you want the information on.

19 So Arieff's original 1992 paper was a retrospective
20 study, and, as such, can be criticised for not
21 necessarily having all the information. It's also from
22 20 years ago, so some of the things that we now know
23 about hyponatraemia weren't considered then. Arieff is
24 clearly a good scientist and he has, throughout his
25 writing, looked more widely at the question of cerebral

57

1 but I have difficulties, and therefore I wrote in my
2 paper some sentences in that direction, that first
3 I didn't know in which way it would place ... What
4 would happen here and which are our roles. And at that
5 time, when I wrote this report, when I got the second
6 report, I got the impression that there are two
7 different persons who have to defend her views and I got
8 the impression that it was your task to bring together
9 very, very small pieces of different things to make the
10 argument that hyponatraemia will not bring brain oedema,
11 to make this more reliable. And therefore, I was
12 a little bit astonished when you write there was
13 a tonsillitis. You say that is a risk of hypoxaemia.
14 There was a non-descended testicle. There's a risk that
15 there's a central problem. Tonsillitis, tonsillectomy,
16 non-descended testis is so often, and now it starts to
17 become ... I think it's worthwhile that Arieff has put
18 it down, that everybody can read about it. But I have
19 a little bit of difficulty that these are factors
20 really ... There is no case of a hypoxaemia written by
21 Arieff. He has not said, "This child has had an
22 additional hypoxia", but he writes that there is
23 a tonsillectomy, orchidopexy, and then you are setting
24 a fracture or, coming out of a fracture, could it be
25 some brain trauma. That means ...

59

1 oedema in the context of hyponatraemia. And even at an
2 early stage, when he quotes one of the previous -- some
3 of the previous papers, I think it's actually the
4 Crumpacker paper from 1973, which actually also mentions
5 the hypoxia, and in one of his early papers I know that
6 Arieff actually says it's unusual to get hyponatraemic
7 and cerebral oedema without a degree of hypoxia. And
8 certainly, in his 2008 paper, he says that again.

9 PROFESSOR RATING: Do you think that at the end of his
10 active life when he was writing he has changed his mind
11 that hyponatraemia alone will not bring up cerebral
12 oedema?

13 PROFESSOR KIRKHAM: I don't think he changed his mind.
14 He was quite careful in his early research to
15 acknowledge that there were often other factors. My
16 interpretation of Arieff's work is that he was
17 interested in hyponatraemia, he was interested in trying
18 to look at whether it was an important problem
19 clinically, so he did a retrospective study, which would
20 have not needed much funding, and he wrote that paper
21 quite carefully and he acknowledged it was
22 a retrospective study and some of the previous
23 research --

24 PROFESSOR RATING: Your comment on this paper, everything
25 you say about it is retrospective and it's totally okay,

58

1 I realise that later on he has given information
2 in that direction that especially endocrinological(?)
3 processes -- for example, the [inaudible] have some
4 impact, and that nearly-proven hypoxia have impact on
5 the brain oedema that I can admit easily because you can
6 explain why the hypoxia will worsen, ongoing, or in
7 starting brain oedema. But in this context, I think
8 it is not very -- in some way, artificially to say that
9 they are really risk factors that bring up -- without an
10 orchidopexy I will not get a brain oedema by osmotic ...
11 By too much ... This association is here, but it's
12 closely connected --

13 PROFESSOR KIRKHAM: But scientifically, I think the evidence
14 remains retrospective and the case is, in my opinion,
15 not proven. I'm not saying that it couldn't be -- I've
16 never said it couldn't be -- but I'm just saying that in
17 many of the cases there were risk factors for hypoxia
18 and other central nervous system problems, and that has
19 to cast doubt on whether dilutional hyponatraemia -- on
20 its own and without anything else -- actually causes
21 fatal cerebral oedema.

22 THE CHAIRMAN: Okay. We've almost reached an impasse
23 between our experts.

24 Mr Fortune?

25 MR FORTUNE: Sir, as my learned friend has referred to

60

1 paragraph 46, could Professor Kirkham particularly help
2 me, but I suspect others? Is Professor Kirkham saying
3 that Adam had a pre-existing or preoperative risk of
4 hypoxia that may have affected, firstly, him suffering
5 intracranial pressure or indeed having a greater effect
6 from the volume of fluid put into him by Dr Taylor
7 at the rate at which we know that it was infused?
8 I hope that question makes sense.
9 PROFESSOR KIRKHAM: I think Adam was anaemic. He had a fall
10 in haemoglobin during the operation. That is a risk
11 factor for cerebral hypoxia. There's no evidence of
12 cerebral hypoxia at the post-mortem, but I think it's
13 another of the factors that we don't actually know
14 whether it was there or not in Adam's case.
15 THE CHAIRMAN: Thank you.
16 MS ANYADIKE-DANES: Mr Chairman, I was going to ask
17 if we might perhaps break now. I'm conscious that
18 Professor Kirkham wants to look at some paper.
19 Professor Rating wants to do the same --
20 THE CHAIRMAN: Yes.
21 MS ANYADIKE-DANES: -- to deal with some of these live
22 matters. And I would like to gather together what we've
23 heard so far and see what's left of what I would still
24 like to ask.
25 THE CHAIRMAN: I can't think there's very much left to ask

61

1 THE CHAIRMAN: And, Dr Carson, we'll start your evidence
2 this afternoon. I can't say exactly when, but we'll
3 start it this afternoon. Thank you very much. 1.30.
4 (12.23 pm)
5 (The Short Adjournment)
6 (1.30 pm)
7 THE CHAIRMAN: You have caught up on the reading?
8 PROFESSOR KIRKHAM: Yes.
9 THE CHAIRMAN: Good, okay.
10 MS ANYADIKE-DANES: So Professor Rating, perhaps I could ask
11 you about the -- I have called it the renal haemorrhage
12 paper.
13 PROFESSOR RATING: The renal haemorrhage paper, yes. They
14 make the point that renal haemorrhage will come mostly
15 in accidental -- that means shaken baby or some other
16 accidental -- and is less often in others. But at the
17 end, they give the information, what is not my
18 experience, because I have seen it, that renal
19 haemorrhage which was never seen in intracerebral, high
20 intracerebral pressure due to hydrocephalus. I have
21 seen it that there have been haemorrhages, but they said
22 for children it was not there, therefore I quoted
23 a little bit what the significance is of this paper.
24 But at the end, I would not take this paper to make
25 the clearly discussion in between -- that was your

63

1 because we've been through this major issue. I think
2 the question is how to organise this. I see Dr Carson
3 has arrived and he's available now to give evidence.
4 Since both witnesses want some time to read papers,
5 we can do a number of things. We can take an early
6 lunch and come back at 1.15 or 1.30 and allow these two
7 experts to finish and go into Dr Carson or we can take
8 an early lunch and then start Dr Carson at 1.15 and give
9 these two witnesses more time.
10 Why don't you discuss that? It depends how much
11 time -- let me ask. Do you have any idea of how much
12 time you'd want to read?
13 PROFESSOR KIRKHAM: Whatever you think is most reasonable.
14 THE CHAIRMAN: Both of you will finish your evidence today,
15 so this won't -- it's just a question of how we sequence
16 it today without everybody here sitting around for
17 an hour or so while you're reading papers to catch up.
18 PROFESSOR KIRKHAM: I don't think that will be necessary.
19 I've read all these papers before except the few from
20 Professor Rating. I think I can read them quickly.
21 THE CHAIRMAN: Okay. Professor, do you --
22 PROFESSOR RATING: I agree, the same, yes.
23 THE CHAIRMAN: If we broke now and took lunch, if we come
24 back at 1.15 or 1.30 and finish these two professors --
25 MS ANYADIKE-DANES: Say 1.30.

62

1 point. I believe it was, on the one side increased,
2 hypertensive encephalopathy on the one side, and on the
3 other side it was ... No, you are make it because of
4 venous sinus thrombosis of the one side and osmotic
5 diffusion, that means hypoosmolarity-driven intracranial
6 pressure on the other side. That was I think your
7 first ...
8 PROFESSOR KIRKHAM: My point is that you do definitely get
9 haemorrhages in hypertensive encephalopathy, but not
10 necessarily in raised intracranial pressure from any
11 other cause.
12 PROFESSOR RATING: Yes. I'm not convinced that this is --
13 that you can -- this really cut(?) make(?) out of this
14 paper.
15 MS ANYADIKE-DANES: Why is that?
16 PROFESSOR RATING: They have not given an example. We have
17 seen(?) that amount of retinal haemorrhages, they didn't
18 give at which time they have seen it. It isn't a paper
19 for giving an overview, but they have not given any
20 data. They have not gone there: we have seen 1,000
21 haemorrhages and from these 1,000 haemorrhages, so many
22 have accidents, so many have intracranial pressure
23 so-and-so have cerebral palsy, so much have ... There
24 are no data in it that you can follow their conclusion.
25 Their reports are experienced, but they didn't give any

64

1 data why they came to that. You understand?
2 Q. Yes, I do. Professor Kirkham, maybe you can respond to
3 that.
4 PROFESSOR KIRKHAM: Well, they've reviewed the literature.
5 Could you pass me ...
6 PROFESSOR RATING: Yes. (Handed).
7 PROFESSOR KIRKHAM: They basically did -- I think they did
8 review the literature and their experience that
9 extensive retinal haemorrhages are not common in acute
10 raised intracranial pressure is actually my experience.
11 So my experience is different from Professor Rating's.
12 I don't see extensive retinal haemorrhages in children
13 with acute raised intracranial pressure.
14 PROFESSOR RATING: We have to be a little bit careful here
15 because I have just read that. There is no
16 classification on the haemorrhages and, to my
17 remember -- but I may be wrong -- where they are seen in
18 Adam. There is especially round about the papilla,
19 there are reported haemorrhage, small haemorrhages, but
20 I don't know where it was in Adam's case and how great
21 they have been. And they claim that it is very, very
22 bad to say mild, less severe haemorrhages because it
23 suggested that you have to count it to give some more
24 precise data. And this paper is not a meta-analysis
25 from literature; it is some sort of literature back-up

65

1 MS ANYADIKE-DANES: Mr Chairman, if you look at the first
2 page of the paper it gives its design:
3 "To review published clinical post-mortem and
4 experimental research findings worldwide, pertinent to
5 the objective."
6 And the objective is:
7 "To evaluate the role of intracranial pressure in
8 the production of retinal haemorrhage in young
9 children."
10 In fact, I had put to Professor Kirkham what you
11 take to be the significance of this paper and what
12 weight you think, from your point of view, you would be
13 prepared to place on it.
14 PROFESSOR KIRKHAM: In Adam's case, there were very obvious
15 retinal haemorrhages when he was first examined as well
16 as papilloedema. This paper reviews the literature on
17 whether extensive retinal haemorrhages are a feature of
18 acutely-raised intracranial pressure and finds that
19 there's little evidence that that's the case, which is
20 my experience. My experience is that. In fact, it's
21 relatively unusual to get papilloedema in acute raised
22 intracranial pressure. The pressure can go up and
23 there's not necessarily papilloedema and there's very
24 rarely haemorrhage. And this paper, having reviewed the
25 literature, finds that it's unusual to have extensive

67

1 that I accept they have more than 60 papers as
2 a reference. But at the end, there are no data in this
3 paper.
4 THE CHAIRMAN: Do I understand it correctly, this paper is
5 a review of other published papers?
6 PROFESSOR RATING: Yes, but not in the sense of
7 a meta-analysis. They tried to give the original data
8 in some form of a table and then you can have it out.
9 They have, for example, 100 intracranial pressures due
10 to, say, cerebral palsy, hydrocephalus. That means you
11 don't have the right data on it.
12 THE CHAIRMAN: So it's a summary or an analysis?
13 PROFESSOR RATING: A summary, yes.
14 THE CHAIRMAN: For instance on page 103 on our version,
15 which I think is internally page 625, they say:
16 "Despite the suggestions just discussed, there is
17 abundant literature grounded in clinical data and human
18 and animal experiments that speak to the contrary."
19 So this is not new research, this is an analysis of
20 existing literature?
21 PROFESSOR RATING: It's an analysis of existing literature,
22 but not giving what is nowadays you had to do that, some
23 sort of meta-analysis, to give the information, how many
24 patients were seen and tried to do clusters and say
25 something to that.

66

1 retinal haemorrhages of the sort that would have been so
2 obvious to the people looking after Adam in the
3 immediate post-operative period.
4 Q. But you have heard Professor Rating's criticism of the
5 paper. He said if you were going to set out that you
6 should have had a better description of the data and how
7 you went about or at least how people analysed it so
8 that one can be clearer about how robust your
9 conclusions are. So can you respond to the criticisms
10 that he has made against the paper or about the paper?
11 PROFESSOR KIRKHAM: I would agree that a full meta-analysis
12 would be reasonable, but in fact these also did actually
13 do an extensive literature search. They actually used
14 PubMed, MedLine and Ovid, and then did what's called
15 hand-searching the references that they found for other
16 papers. So it may not be a meta-analysis as defined,
17 but it is actually quite a comprehensive review of the
18 literature. I don't think they've missed major papers.
19 THE CHAIRMAN: What is the term that you and
20 Professor Rating are both using about a meta-analysis?
21 M-E-T-A?
22 PROFESSOR RATING: I would agree with most of you, but you
23 take this paper to an argument that this is in one
24 direction and to exclude it in the other direction.
25 That means you make with this paper a hard split between

68

1 those poles and that, I think, you cannot create out of
2 the paper. If I look how often you are arguing with
3 possibilities and risk factors end on end, I am a little
4 bit irritated that you take this paper without any data
5 as such a hard data source.

6 PROFESSOR KIRKHAM: Well, I'm sorry to irritate you, but
7 this paper --

8 THE CHAIRMAN: I think the irritation is probably
9 a translation issue. "Irritation" might be
10 a translation issue.

11 PROFESSOR KIRKHAM: Okay, fair enough.

12 THE CHAIRMAN: If I understand Professor Rating's point, and
13 you'll correct me if I'm wrong, in your reports,
14 Professor Kirkham, you have said a number of times that
15 despite the fact that something isn't there, you can't
16 exclude it; is that the point you're getting at?

17 PROFESSOR RATING: Mm-hm.

18 THE CHAIRMAN: Then he's putting that against the fact that
19 on this paper, it has reached this conclusion and you
20 say that he thinks that you take too strong a conclusion
21 from this paper by saying that because something is not
22 allowed for in this paper, you exclude it.

23 PROFESSOR KIRKHAM: Well, just to make it very clear,
24 Professor Rating and I are in complete agreement that
25 Adam had raised intracranial pressure post-operatively

69

1 I remember ... haemorrhages spontaneously. I cannot
2 answer. It's not in my memory, no. From the
3 literature, papilloedema is written. That I can
4 remember well. I had to look for it. But haemorrhages,
5 I don't remember that, that's right. And you have read
6 it. You have not found any papilloedema in your papers?

7 PROFESSOR KIRKHAM: Actually, I think that may be a weakness
8 of the reporting methods. I think that the cases are
9 from a long time ago and the papilloedema may not have
10 been reported. But actually it has not been a major
11 feature of the cases and haemorrhages have not been
12 reported as far as I can see in the hyponatraemic
13 dilutional hyponatraemia cases reported.

14 PROFESSOR RATING: I have to agree that I don't remember
15 a single case in these papers.

16 MS ANYADIKE-DANES: Is the significance of that, then, if
17 they're not reported as being associated with the
18 hyponatraemia, then if you do see it, is that what you
19 take to lend credence to the view that something else
20 was going on?

21 PROFESSOR KIRKHAM: Yes.

22 Q. Thank you. Then can I ask you this question. If the
23 sodium-pumping mechanism, as I'm calling it, to use
24 a layman's expression, is impaired in some way, maybe
25 not hugely, but impaired, and therefore not able as well

71

1 while he was on the intensive care unit. I don't think
2 there's any doubt about that. However, he had retinal
3 haemorrhages very obviously on readmission to the
4 paediatric intensive care unit and, on the balance of
5 probabilities, given that retinal haemorrhages are
6 a definite feature of hypertensive encephalopathy and
7 relatively rarely seen in my experience clinically
8 and -- from this review of the literature, I appreciate
9 that this paper has weaknesses. But nevertheless, on
10 the balance of probabilities I feel that Adam had
11 an important clinical sign of hypertensive
12 encephalopathy with retinal haemorrhages in addition to
13 the papilloedema.

14 PROFESSOR RATING: But I would like to insist on the point
15 that you cannot get out of this paper the message that
16 because there are haemorrhages that you have to exclude
17 all those cases which are not going along the line of
18 hypertensive encephalopathy. That means it is only
19 increase of intracranial pressure by osmotic swelling if
20 you accept that there could be something like that.

21 PROFESSOR KIRKHAM: Can I just ask you, Professor Rating,
22 have you found any of the cases reported with
23 hyponatraemic dilutional hyponatraemia to have either
24 papilloedema and/or retinal haemorrhages?

25 PROFESSOR RATING: I think there are papilloedema ... if

70

1 to protect the blood-brain barrier from water going
2 across, which is one of its functions, I suppose. Is it
3 possible then that if you have hyponatraemia and
4 therefore an accumulation of water in the body because
5 of the normal osmotic process because of the low sodium
6 in the body, is it possible in those circumstances for
7 the water to cross into the brain?

8 PROFESSOR KIRKHAM: Yes, I think that if the sodium pump
9 mechanism is faulty for whatever reason and
10 hyponatraemia is present, there would be more ... There
11 would be water crossing into the brain, which was not
12 necessarily then being pumped out or sodium wouldn't be
13 pumped out quickly enough for the water to follow down
14 the gradient.

15 Q. What I'm putting to you is a situation where, in and of
16 itself, without the development of the hyponatraemia,
17 the level of compromise to the sodium pumping mechanism
18 may not have been sufficient to have led to death, but
19 it's enough compromise when you are faced with
20 significant hyponatraemia and accumulation of free water
21 in the body for that then to lead to the water passing
22 into the brain and leading on to the type of sequelae
23 that you saw with Adam; is that possible?

24 PROFESSOR KIRKHAM: I certainly think it is possible that
25 the amount of free water that Adam had on board in the

72

1 absence of a fully-functioning sodium pump would have
2 meant that there was an excess of water in the brain.
3 Q. Yes. And if --
4 PROFESSOR KIRKHAM: That might have then been a factor
5 in the severity --
6 Q. That's the very word you used. That's a question that
7 I did not put to you before the break. That's what
8 I was trying to ask you when I was asking you about the
9 possible significance of hyponatraemia.
10 THE CHAIRMAN: Sorry, I want the professor to finish that
11 sentence. That might have been a factor in the severity
12 of what?
13 MS ANYADIKE-DANES: The oedema.
14 PROFESSOR KIRKHAM: In the severity of the cerebral oedema.
15 If the pump was not working, I don't think it would have
16 happened if the sodium pump were working, but I think if
17 the sodium pumps were not working -- and we don't know
18 either way, but I certainly think if the sodium pumps
19 were not working -- then more water would have been
20 going into the brain than would have been coming out.
21 Then if you have a further insult such as the
22 hypertension, then as in many things -- and I think this
23 point has been made throughout the inquiry -- one little
24 thing may not make a difference, but a lot of things
25 can ... You can have a number of things which end up

73

1 sodium-pumping mechanism in the brain, then that water
2 can go across and then set up some sort of sequence of
3 events that could lead to death.
4 PROFESSOR KIRKHAM: It could be a component of cerebral
5 oedema, which eventually leads to a raised intracranial
6 pressure, which, with shift between brain compartments,
7 can lead to cerebral herniation. There's a number of
8 factors. But the amount of free water in the brain, if
9 it is not going out down the sodium-pump mechanism,
10 could be a factor. I don't think it is the only factor
11 and I think it would have to be predicated by saying
12 that the sodium pump was not working.
13 Q. I have predicated it in that way. That's how I started
14 the proposition I was putting to you: it's not
15 working --
16 PROFESSOR KIRKHAM: Yes.
17 Q. -- to some degree. And that, which is what I was
18 putting to you, allows the free water to go across.
19 What I was putting to you is that you could have the
20 free water in the body because you've put too much low
21 sodium in --
22 PROFESSOR KIRKHAM: Too much free water.
23 Q. Too much free water in. Yes, okay, you've put too much
24 free water in.
25 PROFESSOR KIRKHAM: It's free water. That's what

75

1 with a major problem.
2 Q. That's the point I'm getting at. In that scenario,
3 hyponatraemia would have played a role, been a factor,
4 whatever the expression you want to use is, in his
5 ultimate demise?
6 PROFESSOR KIRKHAM: Excess free water might --
7 Q. The excess free water might have been the product of the
8 hyponatraemia.
9 PROFESSOR KIRKHAM: The actual evidence that it's sodium as
10 opposed to the excess free water in the brain is -- the
11 sodium is probably a marker for the fact that there is
12 too much free water. I do think that if the sodium
13 pumps were not working, free water will have been going
14 into the brain and not coming out along the gradient
15 generated by the sodium pumps.
16 Q. Thank you. But the point that I was putting to you
17 is that if you've got too much free water accumulated
18 in the way that Dr Coulthard spoke about it, which is
19 that you're putting very quickly in a lot of low-sodium
20 fluid, the body --
21 PROFESSOR KIRKHAM: A lot of free water.
22 Q. A lot of free water. The body doesn't have a way of
23 excreting that because the kidneys, which would be part
24 of that process, are compromised. Then if you're
25 in that situation and you've got some effect to the

74

1 Dr Coulthard says in his report: it is a free water
2 problem.
3 Q. You are right: you put too much free water in. So then,
4 if that's happening, you've put too much free water in,
5 is then the hyponatraemia merely incidental to that or
6 just a way of marking the fact that you have got too
7 much free water in?
8 PROFESSOR KIRKHAM: The low sodium is a marker for the --
9 Q. Because all the hyponatraemia is a low sodium --
10 PROFESSOR KIRKHAM: Yes.
11 Q. -- so what you have done is simply label the condition
12 of having put too much free water in; is that right?
13 PROFESSOR KIRKHAM: I think so, yes.
14 Can I just ask you what the evidence is that Adam
15 passed no urine during the operation?
16 Q. There isn't because it was never measured.
17 PROFESSOR KIRKHAM: Because that's fairly crucial to the
18 argument, isn't it? You need him to be anuric for that
19 and we don't know whether he was anuric or not.
20 Q. There were two things that the evidence showed. One,
21 that the condition of his kidneys meant that he had
22 a maximum amount that he could pass per hour
23 irrespective of what amount was administered to him.
24 That's the one thing. And that was part of the error
25 that Dr Taylor made. He didn't, at that time, appear to

76

1 have factored that into his fluid calculations.
2 The second thing was that they were not measuring
3 his urine output for various reasons and if you have
4 read the transcripts you'll see the debate about that
5 back and forward with Mr Keane and so on and so forth as
6 to whether they should have and whether they could have.
7 They do have some measurements, which is that some
8 of what is in that total figure, what previously was
9 thought to be all blood, may actually be some urine that
10 was there when they opened the bladder, but actually
11 what happened in terms of urine output during the course
12 of the surgery, we have not been able to identify that
13 from the evidence.
14 PROFESSOR KIRKHAM: And do we know how much additional free
15 water compared with the maximum amount that Adam could
16 have passed as urine?
17 Q. I suspect Dr Coulthard's made that calculation. I'll
18 try and see if we can find it. We certainly know what
19 his maximum amount per hour was. I will find out
20 whether you can then do the calculation and see what
21 amount over and above that he was receiving.
22 THE CHAIRMAN: But is your concern that there has to be
23 a gross discrepancy between those two in order for the
24 free water issue to stand up as a cause of death?
25 PROFESSOR KIRKHAM: I think the sodium pump has to be not

77

1 particular instance, the discussion seemed to me to
2 recall Dr Taylor's 13 key arguments, which Dr Coulthard
3 dealt with in his third report. It's at 200-005-089.
4 It's argument number 12. Dr Taylor explains that
5 osmosis is a process in which salt passes from areas of
6 high concentration to areas of low concentration. But
7 if we can go on, please, in that report to 096, which is
8 the page where Dr Coulthard actually addresses point 12.
9 If we can ask for point 12 to be enlarged.
10 Perhaps Professor Kirkham could read that and then
11 would Professor Kirkham agree that what Dr Coulthard is
12 saying is that the excess water has overcome or exceeded
13 the power of the cellular sodium pump and, if so, what
14 then is the result?
15 PROFESSOR KIRKHAM: My understanding of the situation
16 is that water is passing into the brain down an osmotic
17 gradient. That does not involve any salt. However,
18 salt is being pumped out by an active process in a cell
19 that's not hypoxic or compromised, and therefore water
20 is coming out down a gradient alongside the salt. So
21 you've got two processes continuing. One is osmosis is
22 water going in and the other is an active transport of
23 sodium out of the cell with water following it.
24 Would you be happy ...
25 PROFESSOR RATING: I want to make a principal comment to the

79

1 working and I think there has to be no urine being
2 passed and we're not sure that there's no urine being
3 passed.
4 THE CHAIRMAN: You mean none at all or very little?
5 PROFESSOR KIRKHAM: Well, the argument is that you get
6 a massive fluid overload in a very short period of time
7 and I think we need to just review exactly what the
8 maximum and minimum figures are for that.
9 MS ANYADIKE-DANES: One thing that might help us: just
10 before we broke for lunch, I was asking you about if the
11 sodium pumps are working and you are putting in that
12 amount of free water, what happens, and you said
13 effectively, I think you said, the body just becomes
14 more oedematous because the kidneys can't deal with it
15 but the brain's being protected by the mechanism you've
16 been discussing. Adam's body generally is described as
17 being puffy, variously "puffy", "very puffy" or
18 "bloated" in fact. That's his mother's evidence, that
19 he was bloated, and there is a photograph of him.
20 That's the information that we have. It is not recorded
21 anywhere else. It certainly wasn't recorded on autopsy,
22 but that's what the mother has said about his body.
23 I think Mr Fortune had a question.
24 MR FORTUNE: Sir, before Professor Kirkham asked the
25 question about what do we know about urine in this

78

1 protocol later on. Because we are now always speaking
2 of "sodium pumps"; that's incorrect. We have to speak
3 of ion pumps. It is not sodium alone, but it is
4 chloride and potassium and therefore -- sodium is the
5 most false word you can use because it's mostly chloride
6 and potassium.
7 MS ANYADIKE-DANES: That's my fault. It is actually been
8 referred to as "ion pumps" and I have, in a colloquial
9 way, said "sodium pumps".
10 PROFESSOR RATING: But this is not the sodium which is
11 coming out here and it should be corrected in all the
12 protocol. Otherwise we --
13 Q. I understand. Sorry, Professor Kirkham, as you're
14 answering this question, just so I'm clear about how
15 you're addressing this, do you read this to be an issue
16 to do with the way the brain works or an issue to do
17 with the way that cells in the rest of the body are
18 working? Because I'm not sure from what you said that
19 you have described the ion-pumping mechanism as
20 something that happens in all cells in the body or
21 something that is there to protect the brain.
22 PROFESSOR KIRKHAM: The ion-pumping process does occur
23 across all cells in the body. There are probably
24 additional mechanisms for the brain, which are quite
25 complicated, but I think that the ion-pumping mechanisms

80

1 are present in all cells.
2 Q. Is the brain more protected by them than anywhere else
3 in the body?
4 PROFESSOR KIRKHAM: There are additional mechanisms for
5 pumping water out in the brain because it's pretty
6 critical that you don't get cerebral oedema, otherwise
7 if you drink too much tea, you'd get cerebral oedema.
8 Q. Just so that Mr Fortune has a clear answer to this, your
9 answer to this point that Dr Coulthard is making?
10 PROFESSOR KIRKHAM: I would agree with it. I think osmosis
11 is a process which does not involve salt.
12 Q. Thank you. There was one other related question, not to
13 this, but the previous one that I asked you, that
14 somebody would welcome an answer to. That is: if free
15 water carries on being administered and even assuming
16 that the ion-pumping mechanism in relation to the brain
17 is not compromised, so that's still working, could you
18 reach a stage where simply the volume of free water
19 that's been administered is something that the body
20 can't -- I'm assuming now compromised kidneys --
21 something that still can't continue? What happens? Is
22 there a heart attack? What happens?
23 PROFESSOR KIRKHAM: There must be a theoretical maximum, but
24 I don't know that the literature is very ... I don't
25 think there's a literature on what that point is.

81

1 evidence of it happening generally, is that because
2 nobody would allow a situation to continue? It would be
3 addressed so you'd never know what would happen if you
4 reached that theoretical limit?
5 PROFESSOR KIRKHAM: Well, children have ... Patients have
6 been given volumes of hypotonic fluids before and that's
7 why there's been a scientific literature leading to the
8 piglet experiment, for example. So Adam's case is not
9 unique by any means. But actually, the evidence that
10 it's possible to overcome the pumping mechanisms and
11 cause fatal cerebral oedema without other factors is not
12 very strong, and therefore I think it is not necessarily
13 likely to have happened in Adam's case.
14 THE CHAIRMAN: It is a curious phrase, isn't it, professor,
15 "not necessarily likely"?
16 PROFESSOR KIRKHAM: Sorry I was ...
17 THE CHAIRMAN: I'm not critical of you for using it, but I'm
18 observing that we're into -- yesterday there was
19 inevitably, you would say, some speculation. We've also
20 been talking about probabilities and possibilities. And
21 now you use a phrase like "not necessarily likely".
22 PROFESSOR KIRKHAM: Okay, I am going to say it is possible
23 but not probable.
24 THE CHAIRMAN: Okay. Let me just pause there. That was at
25 the end of a sentence that there's no strong evidence

83

1 Q. But if you reached that point, what happens? Even
2 though you've got a perfectly, still healthy,
3 ion-pumping mechanism in the brain, so nothing yet has
4 happened there, it's not like you have some sort of
5 blockage or anything, that's just working, but the
6 kidneys can't excrete the water and you keep on
7 administering free water, if you reach the theoretical
8 maximum what happens in the body?
9 PROFESSOR KIRKHAM: Well, if you reach the theoretical
10 maximum and osmosis is continuing and water is still
11 crossing in, you probably will get cell swelling, but
12 there's not very much evidence that that actually
13 happens.
14 Q. If that doesn't happen, what does happen?
15 THE CHAIRMAN: Sorry, there's no much evidence that it
16 happens generally or there's no much evidence that it
17 happened in Adam?
18 PROFESSOR KIRKHAM: There's not much evidence generally or
19 in Adam. There's not much evidence that it happens in
20 general, and therefore it is difficult to state that
21 that must have been the mechanism of Adam's death.
22 Because there's not very much evidence in the past, it
23 means that it's quite a dangerous assumption to consider
24 that Adam's death was caused by that mechanism.
25 MS ANYADIKE-DANES: If you take that there's not much

82

1 that excess fluid leads to cerebral oedema.
2 PROFESSOR KIRKHAM: Fatal cerebral oedema. I think you may
3 get some cell swelling, but whether you get -- you have
4 to have a chain of events to get to herniation.
5 You have to have a cerebral oedema, the raised
6 intracranial pressure, the brain shift, and the
7 herniation of the brain through the foramen magnum.
8 Those four points all need to happen. And I think that
9 the evidence that just giving a massive volume of free
10 water leads right to the cerebral herniation point is
11 weak and, therefore, the evidence base is not very
12 robust.
13 Therefore, even if Adam has the highest volume of
14 hypotonic fluid that has ever been given -- and I'd be
15 surprised if that were the case -- I still think that
16 it is only possible that the excess free water is
17 a factor in his death. I certainly don't think it's the
18 only factor in his death. I think to say that, in legal
19 terms, "This is the cause of his death", is based on an
20 evidence base which is relatively weak.
21 MS ANYADIKE-DANES: We have the answer for the fluid. The
22 experts say that Adam's urine output would have been
23 between 56 to 62 ml per hour. They think that the
24 excess fluid at the end was about 2,000 ml. And that's
25 from Professor Gross, Dr Haynes and Dr Coulthard. What

84

1 we don't have is what it was hour-by-hour because that's
2 essentially the way that Professor Rating has put it.
3 That's the damage, the way it is done in that way, and
4 we don't know, at least not at the moment, the matching
5 excess as you go. It may be that we can deduce that
6 from the information we have, but I don't have that
7 figure at the moment.
8 MR UBEROI: Could I ask where that figure came from?
9 MS ANYADIKE-DANES: If one looks at Professor Gross' report
10 at ... Sorry, just give me a moment. I think that was
11 the table that Dr Coulthard did when he analysed all the
12 other experts' figures. 300-077-148.
13 This is a schedule that the inquiry put together,
14 having got the figures from each of the experts,
15 including Dr Taylor's and Dr Savage's figures. You may
16 recall that your clients were asked to complete a table.
17 So we've shown all those on a single table to try and
18 give the information that's been asked, which is how
19 much.
20 THE CHAIRMAN: So it's either side of 2,000 ml.
21 MS ANYADIKE-DANES: Mm-hm.
22 THE CHAIRMAN: Okay.
23 MS ANYADIKE-DANES: As I understand it, Dr Coulthard
24 calculated the free water because he and Dr Haynes had
25 slightly different calculations. Dr Haynes was 668,

85

1 better mechanisms for making sure it doesn't become
2 significantly oedematous than the rest of the body, so
3 you could see a scenario where Adam would be generally
4 oedematous, but his brain still would not be fatally
5 compromised. He might well have some swelling in the
6 brain, but whether he would actually have had fatal
7 cerebral oedema simply from that mechanism is
8 questionable.
9 Q. Professor Rating, do you accept that the brain has
10 better mechanisms for protecting itself from the egress
11 of free water than other cells in the body?
12 PROFESSOR RATING: I cannot answer the question quite as you
13 like it. I know -- and she is speaking of the other
14 substrates which are there, which are involved to get
15 body [sic] out of the cells. I do not know whether
16 these other substances play a role in the kidney or the
17 liver or the other thing. I don't know. In this
18 moment, I cannot answer you, your question, that the
19 brain has more mechanisms than other cells. I only know
20 for the ionic pump, that's the same. Whether the other,
21 which play a major role in the brain -- and the
22 aquaporin is very clearly described. I remember that
23 aquaporin is described as a mechanism in the kidney too.
24 Therefore, I cannot say it's a better one. I don't
25 know.

87

1 Dr Coulthard's was 1,181 ml. Those figures come --
2 I think the figure for Dr Haynes comes from 200-020-248.
3 THE CHAIRMAN: It's okay, we don't need to go back into
4 that. We've got the --
5 MS ANYADIKE-DANES: Just so that Mr Uberoi knows where
6 they're coming from.
7 And Dr Coulthard's comes from 200-020-247.
8 So those are the figures. The question that you
9 were putting to the inquiry, Professor Kirkham, is
10 whether, if we knew that, and we knew what his hourly
11 output was assessed to be, would you have some insight
12 into whether the excess over his output was enough to
13 set up the scenario that I had put to you. Is there any
14 way of knowing?
15 PROFESSOR KIRKHAM: I don't think there is any way of
16 knowing. Can I just point out -- I found the reference
17 to it. We did discuss it at the experts' meeting. The
18 ion pumps are universal throughout the body. The
19 blood-brain barrier, which you have been discussing,
20 does have additional functions for ways of getting rid
21 of water, including the aquaporins. So the brain is
22 relatively protected. These mechanisms are still being
23 discovered. It's a very active area, and
24 Professor Rating has provided some new literature, which
25 is complex, but very relevant. The brain probably has

86

1 Q. Well, Professor Kirkham, do you have any evidence to
2 show that, that the brain is better protected?
3 PROFESSOR KIRKHAM: I'm not sure that that many scientists
4 have looked at -- there are aquaporins in other tissues
5 and I think this is a very active area of research.
6 I think it's difficult to be absolutely sure.
7 Q. I thought you had suggested that the brain does have
8 a better way of protecting itself.
9 PROFESSOR KIRKHAM: The brain has a number of additional
10 mechanisms, including the aquaporins, for maintaining
11 cell volume, and those are quite complex and some of
12 them are specific to the brain.
13 Q. Could you give some examples?
14 PROFESSOR KIRKHAM: Aquaporin 4, for example, is specific to
15 the brain, and some of the other mechanisms --
16 PROFESSOR RATING: And the neurotransmitters which are not
17 expressed in the kidney and not expressed in the liver.
18 You asked me whether this is better. I think it would
19 be logical that it will be preserved better than other
20 organs. But I cannot say, yes, there is evidence that
21 it is better. I didn't know. Maybe it is. I would
22 believe it is better, but I cannot answer your question
23 so simply.
24 Q. Okay. Can I ask you, Professor Rating, a question I was
25 asked to put, which is: why, in your view, acute

88

1 hyponatraemia is able to defeat the protective
2 mechanisms? That's the blood-brain barrier that
3 Professor Kirkham's been talking about. Why do you
4 think that that, in and of itself, without any other
5 factor, can achieve that end?

6 PROFESSOR RATING: First is the argument from the
7 literature, though we have learnt that the literature
8 may be weak. But I am interest by the point that even
9 in the last literatures -- 2010, 2012, and 2013 is the
10 newest one -- they all are speaking of mortality and
11 great problems with that. And there has been, in the
12 past, some cases, which for a clinician I would like to
13 accept: yes, here is given too much water and the child
14 dies, and I would accept that this child died because of
15 it.

16 During this inquiry, especially during the last two
17 days, I learnt that you want to have much more precise
18 and go to the mechanisms, and there we are now, that you
19 are very clearly asking how great is the evidence that
20 this -- what for me as a clinician I would accept
21 immediately. Can you prove it? And there we are with
22 the literature, that it is difficult, and we cannot
23 prove it. Now you ask me why I'm convinced, why I think
24 that it would be possible. As a medical doctor, you
25 have seldom all information you probably want to have,

89

1 a hypotonic crisis, which brings them directly to death,
2 what's the likeliness of that? Why came up that ...
3 I think that I would like to see was it first, was it
4 the second, and to all the discussion we have during
5 these two days I am not convinced that there is any
6 other thing which was first and which was triggering off
7 all the effects, including the hyperosmotic state that
8 was a secondary effect of it.

9 Q. But Professor Rating, what you have said -- and correct
10 me if I'm wrong -- seems to amount to: well, I believe
11 that hyponatraemia in that way can lead to fatal
12 cerebral oedema because there are cases -- I think
13 that's what you said in your first point -- there is the
14 literature, which seems to suggest that. But then you
15 carefully said: but the literature is not very robust
16 and a lot of it is quite historic and we didn't know or
17 we didn't have the evidence about whether these other
18 things could play a part. In a way, you have built that
19 first point on something that you have acknowledged
20 might be a little weak.

21 Then when you go to talk about what actually
22 happened in Adam's case, doesn't that not in fact amount
23 to an association? Nobody has denied the fact that
24 he had an awful lot of free water. That has been
25 measured, that's accepted, it's known, so far as it can

91

1 but you have to make decisions on possibilities or
2 probabilities -- I think mostly on probabilities -- to
3 go to the next step. And that's the same for me here in
4 this situation too.

5 What was the greatest mistake in this case? And the
6 greatest mistake in this case was a wrong calculation of
7 free water intake. For me, that would be the first step
8 to bring on a stone for rolling. Whether then as
9 a mechanisms because there is some brain swelling,
10 because of the length of the parenchymal cell on one
11 side and the vessel on the other side, that because of
12 vein swelling become a little bit farrer [sic], that
13 means that there is some sort of not-so-good energy
14 supply of the cell that could alter the ion pump or
15 something like that. Whether perhaps there is some sort
16 of an ischaemic, very small ischaemic, hit too because
17 of the reduced brain perfusion. That this can play
18 a role, that's for me clear, but I would stick to it
19 that at the beginning there was this wrong decision,
20 then there was water intake, and this water intake leads
21 to some sort of brain swelling and then this
22 [inaudible].

23 If I go the other way round, why on earth this
24 child, who had never had a hypertensive crisis up to
25 now, now in the theatre for the first time had

90

1 be done, what his normal output was, and therefore
2 a calculation is made as to what his ability to excrete
3 water would be. So those parameters are known. And
4 then, when he has that amount of free water, ultimately
5 within a few hours he has the crisis that he does, and,
6 with that association, you have attributed one as the
7 cause of the other. But when you were discussing with
8 Professor Kirkham yesterday, you talked about her
9 associations. In the absence of knowing that actually
10 that is how the body would work, for which you rely on
11 the literature which you say is weak, is yours also not
12 just an association?

13 PROFESSOR RATING: I would give ... That's the problem of
14 evidence. You know probably digitalis and everybody in
15 this room knows that you give digitalis to men who have
16 problems with his heart, and therefore you give
17 digitalis to our children and even to term and pre-term
18 children. You know that there is no study which ever
19 showed that digitalis has an effect, it was never shown
20 by a study, which would have to do today to get
21 digitalis on the medical -- to get a licence as a drug.

22 That means there is old evidence, it is empirical
23 evidence, for me it has some strength, that
24 hyposmolality infusion or infusion of free water could
25 lead to brain swelling and I cannot answer all

92

1 questions, I think that there's quite a lot of
2 mechanisms not well-known. I have read out this night
3 that I can show papers that if it goes quickly that the
4 cell swelling is more pronounced instead of if it is
5 gradually going -- and I think I have to dig a little
6 bit more, I have to find really that this mechanism of
7 pumping out his barriers, you cannot exceed, but in this
8 moment I cannot give you the evidence therefore, and
9 therefore I cannot say that is ... But it is for me as
10 a clinician the most logical and most reliable
11 explanation. I cannot say any other thing.
12 Q. Maybe, Professor Kirkham, you were going to respond to
13 the papers or at least address the papers that
14 Professor Rating had provided. Can you explain what you
15 think their significance is?
16 PROFESSOR KIRKHAM: The papers that I read at lunchtime?
17 Q. Yes.
18 PROFESSOR KIRKHAM: Do you have the ...
19 PROFESSOR RATING: 306-115-001.
20 PROFESSOR KIRKHAM: There are three relatively recent papers
21 on control of cell volume in brain cells, which discuss
22 quite complicated mechanisms for cell volume control.
23 This is one of them and then there are two others. And
24 then there's a useful --
25 PROFESSOR RATING: Can I go to 004 of this paper? In the

93

1 brain volume --
2 Q. Okay.
3 PROFESSOR KIRKHAM: -- and under experimental circumstances.
4 Q. Why is that not useful if you're trying to understand
5 the possible impact of the speed with which he was given
6 the free water?
7 PROFESSOR KIRKHAM: Well, it doesn't say anything about
8 intracranial pressure or cerebral herniation, it just
9 talks about cell volume.
10 Q. Are you not able to extrapolate from that?
11 PROFESSOR KIRKHAM: I wouldn't want to extrapolate.
12 Q. Why?
13 PROFESSOR KIRKHAM: Well, I think it's unscientific to
14 extrapolate.
15 Q. What about the other papers that Professor --
16 PROFESSOR RATING: May I please go in this paper to 008?
17 There in the first row of the right side:
18 "Thus a mechanism activated by GOR [that means by
19 the gradual decrease] in our conditions, although not
20 sufficiently to fully prevent swelling, can
21 substantially reduce it."
22 That means that there is cell swelling, even if
23 it is going slower and it is even greater if there's an
24 acute. That you can read out of this paper, not more.
25 And yes, it's not scientifically to extrapolate, but

95

1 middle on the right side, it says "exposed to GOR". GOR
2 stands for a gradual increase or decrease of the
3 hyposmolar(?) state:
4 "... exhibit a progressive increase in cell volume,
5 which continued over the time of the experiment, up to
6 83 minutes, when the osmolarity was decreased to 50
7 per cent. These results indicate the absence ..."
8 Then:
9 "However, cells swelled significantly less [that
10 means GOR significantly less] than those exposed to
11 sudden decreases."
12 That means here is a paper, basic science, which
13 shows that in a gradual increase, there is an increase
14 of cells and that is more pronounced if that is given
15 very quickly than if it is gradually. And that's one of
16 the points I want to make. And there is on --
17 MS ANYADIKE-DANES: Sorry, before you do that, maybe
18 Professor Kirkham can just deal with that first.
19 PROFESSOR KIRKHAM: Yes. This is a basic science paper and
20 it does suggest that cell volume increases are different
21 with the speed of ... But I don't know how much this
22 directly relates to Adam's case.
23 Q. Sorry, just why do you say that? Why do you say it
24 might not be relevant to his case?
25 PROFESSOR KIRKHAM: It's looking at cell volume rather than

94

1 brain volume, cell volume, has to do something with
2 brain volume, but I cannot calculate it up, that has
3 increased 5 per cent. [inaudible] percentage whether it
4 goes 5 or 10 per cent or 15 per cent, it means it cannot
5 go up there because it is known that not every cell in
6 the brain has the same amount of swelling. That means
7 astrocyte and the neurons have not the same amount of
8 swelling. But there is swelling, which is more
9 pronounced in an acute situation.
10 Q. Professor Kirkham?
11 PROFESSOR KIRKHAM: I would agree with that. There may be
12 more acute cell swelling with a rapid --
13 Q. Was not the point, though -- it's not whether there
14 would be more acute swelling, but whether the --
15 PROFESSOR KIRKHAM: Cell swelling.
16 Q. Yes. Whether the rapidity of the administration of the
17 free water would produce the effects that
18 Professor Rating is saying, which ultimately led to the
19 cerebral oedema that killed him. That's the
20 proposition. So are you saying that you can't take from
21 a study that indicates there would be some cell swelling
22 right to the end that that would have produced, in that
23 short period of time, a fatal cerebral oedema?
24 PROFESSOR KIRKHAM: Yes, exactly. I would not want to
25 extrapolate from where I would agree with

96

1 Professor Rating that you would get more cell swelling
2 to a situation where you would get fatal herniation.
3 It's the herniation that's fatal, not necessarily the
4 swelling. Swelling can happen, probably happens all the
5 time, but whether that actually leads to fatal cerebral
6 herniation is the issue that we disagree on.
7 Q. Or whether it swells so much that there is no more space
8 and that drives itself down the foramen magnum, that's
9 the point you're talking about?
10 PROFESSOR KIRKHAM: Yes, that's the point that I think is
11 very weak in the literature.
12 Q. And the other papers?
13 PROFESSOR RATING: But you have to accept that if you
14 compare the graduate [sic] and the acute experiment,
15 that in the acute experiment the mechanisms are not
16 sufficient -- they are not even in the slowly increase
17 or decrease sufficient to preserve the cell volume.
18 Even in the more chronic form of experiment, the cell
19 volume goes a little bit up.
20 PROFESSOR KIRKHAM: Yes, I agree.
21 PROFESSOR RATING: That is an indication that it belongs to
22 the amount of the free water coming in, that this
23 process cannot be held on.
24 PROFESSOR KIRKHAM: I would agree that --
25 PROFESSOR RATING: I cannot show it to you now, I have not

97

1 overwhelmed for it to get to that stage.
2 PROFESSOR KIRKHAM: Yes.
3 Q. Is that it?
4 PROFESSOR KIRKHAM: That's my position. The increase in
5 cell volume might be one of the factors, but I cannot
6 find good evidence in the literature that on its own the
7 increase in free water is fatal.
8 Q. And Professor Rating, would your view be that although
9 that's what you consider happened and that these papers,
10 as I think you put it, were a step along the way because
11 they establish the increase in cell volume, would you
12 agree or not with Professor Kirkham's view that there is
13 not yet research and papers that take that to the end of
14 fatal cerebral oedema on its own?
15 PROFESSOR RATING: Scientifically there are missing papers,
16 yes. There is missing data.
17 May I ask a question? I asked a little bit
18 polemically why hypertensive crisis came up at
19 10 o'clock in the theatre and not before and never had
20 any problems in that direction.
21 PROFESSOR KIRKHAM: Well, I have been trying to find the
22 paper and I haven't been able to find it. My
23 understanding of the literature on hypertensive
24 encephalopathy is that you're more likely to have
25 hypertensive encephalopathy if your blood pressure's

99

1 found data, but it is a puzzle in that direction.
2 PROFESSOR KIRKHAM: There would indeed be an increase in
3 cell volume, but I think it ... I don't think you can
4 extrapolate from that to say that that would cause fatal
5 cerebral herniation.
6 PROFESSOR RATING: But we are on the way to come to the
7 point that we have to accept that by hypoosmotic [sic]
8 infusion -- or giving too much free water, is a better
9 phrase -- that there comes up cell volume increase.
10 PROFESSOR KIRKHAM: Yes, cell volume increase. I think --
11 PROFESSOR RATING: Brain oedema.
12 PROFESSOR KIRKHAM: I think -- brain oedema is quite
13 a complex subject. You can have cytotoxic oedema and
14 vasogenic oedema, so let's just keep it at "cell volume
15 increase". I'm happy to agree these papers are in line
16 with the other literature that we've read that suggests
17 that cell volume can increase.
18 Q. So where the two of you seem to diverge now then is that
19 what happened to Adam could have led to the cell volume
20 increase. Although the paper doesn't show it, but you
21 believe there is enough, Professor Rating, to permit the
22 conclusion that that carried on and ultimately the
23 increase was at the level that it produced his fatal
24 cerebral oedema. Your view is, it wouldn't carry on
25 without some other factors that would have had to be

98

1 always been completely normal and then you have an acute
2 rise. So in fact, Adam would have been more at risk
3 having had well managed blood pressures before. I don't
4 think he'd ever had a high blood pressure. So he would
5 have been more at risk of acute hypertensive
6 encephalopathy.
7 PROFESSOR RATING: And in that direction, the amount of free
8 water has no triggering factor or nothing in that
9 direction?
10 PROFESSOR KIRKHAM: I think the amount of -- I mean, in
11 fact, leaving aside the crystalloid fluids he was given,
12 he was also given some colloid to try and perfuse the
13 kidney, and all of that will have increased his
14 circulating volume. And in the context of the fact that
15 he became -- his blood pressure then increased, the
16 amount of fluid he was given may have increased the risk
17 of him becoming significantly hypertensive with the risk
18 of encephalopathy. But I don't think that the major
19 factor is the free water. I think that the free water
20 may be a factor, but that the major factor is the
21 increase in blood pressure.
22 Q. Can I ask you to clarify something that I have asked for
23 you to clarify, which is: what do you think caused
24 Adam's oedema and how do you think that led to his
25 death?

100

1 PROFESSOR KIRKHAM: I think ... I think that the oedema is
2 likely to have had several factors. I do think that the
3 sudden increase in blood pressure will have been
4 a significant factor. You do get vasogenic oedema if
5 the blood pressure goes up suddenly and I do think
6 that's a major factor. If, as has been put to me this
7 afternoon, Adam had no way of pumping out sodium and
8 some of the other mechanisms that keep the blood-brain
9 barrier intact and water always coming out in balance
10 with water going in, I do think that, for example, if
11 he was anaemic as well as significantly ... If he had
12 a significant fall in haemoglobin and became a little
13 hypoxic and the pumps failed, that is a possible factor,
14 but I don't think it's a definite factor, whereas I do
15 think the blood pressure went up. The oedema is
16 predominantly posterior and he had retinal haemorrhages
17 as well as papilloedema, so I do think that the major
18 factor in his cerebral oedema is vasogenic oedema in the
19 context of hypertensive encephalopathy.
20 Q. Thank you. If I can ask Professor Rating the question
21 relating to the cases in Berlin where the children died.
22 You did give it yesterday and I apologise for not
23 precisely remembering it. When did you say that
24 happened?
25 PROFESSOR RATING: That was around about 1974/75.

101

1 a discussion and then we have not ... I suppose we
2 don't have any contact with the parents at that time.
3 THE CHAIRMAN: Sorry, professor, I'm not clear what you
4 mean. The children came in very ill and the parents saw
5 that, but what do you mean when you say, "And we could
6 not get it"?
7 PROFESSOR RATING: The children have been as ill, we tried
8 everything we could, but the diseases were going on.
9 THE CHAIRMAN: Okay.
10 PROFESSOR RATING: Because that was the most reliable cause
11 for dying for small children, was gastroenteritis.
12 We have to remember that the first needle infusion was
13 started in 60-something. Up to that time, we could not
14 do any infusion in the small children, infants. We
15 don't have any system at that time. They had to be all
16 fed orally and if there is something going wrong, then
17 a second hit of, again, a dehydration and vomiting and
18 loose stool, they die.
19 MS ANYADIKE-DANES: Thank you. Mr Chairman, I've been asked
20 if we might have a couple of minutes. I think there is
21 a question under consideration.
22 THE CHAIRMAN: But otherwise, the questioning is complete?
23 MS ANYADIKE-DANES: I think so. I think I've managed to --
24 there might be somebody else who wants me, but I think
25 I've managed to ask most of them.

103

1 Q. They all happened within about a year or 18 months;
2 is that correct?
3 PROFESSOR RATING: Yes. That was the time, yes.
4 Q. At the time, those treating the children thought that
5 the thing to do was to restore them to the normal level,
6 presumably as quickly as they could, and that seemed to
7 have positive effects initially and then not.
8 PROFESSOR RATING: In the first few hours and then ...
9 Q. What was explained to the families?
10 PROFESSOR RATING: Oh, I don't know, because I have not been
11 involved directly. It was in the hospital, it was great
12 discussion involving different Berlin clinics because we
13 had been the university and we are high. But the most
14 important impact came from the small adult hospital
15 where somebody heard of a discussion and brought it
16 forwards and changed it so it became protocol. But
17 I have not been directly involved with the parents,
18 I have not spoken with the parents.
19 Q. Thank you.
20 PROFESSOR RATING: I believe at that time, because we didn't
21 understand it any better, that we said it was very, very
22 ill child, and the children came ill in and the parents
23 saw that ... And we could not get it. I believe
24 it would be the declaration at that time. Because it
25 needed some times after the last case that we started

102

1 THE CHAIRMAN: What we do is we typically allow a few
2 minutes at the end of the questioning so that the
3 families or the other interested parties can confirm
4 that they don't want anything further asked. So I will
5 rise just for a few minutes. This will be a very short
6 break to sort out if there are any other questions, but
7 apart from that your evidence is complete. So if you
8 just give us a few moments. Thank you.
9 (2.50 pm)
10 (A short break)
11 (3.00 pm)
12 THE CHAIRMAN: Is there anything further?
13 MS ANYADIKE-DANES: Yes, Mr Chairman. There are some points
14 from two different sources. The first relates to the
15 paper that Professor Rating kindly provided on the
16 volume changes and whole cell membrane currents
17 activated during gradual osmolarity in C6 cells. The
18 paper is at 306-115-001, but the question is directed to
19 the discussion at 306-115-008.
20 So the discussion is the discussion of the findings.
21 If you see, it starts on the right-hand column, at least
22 the point that I want to put to you:
23 "According to the study of Lohr & Yohe, in C6 cells,
24 swelling is prevented only when the osmolarity decrease
25 is of ... and the osmolality reductions do not exceed 20

104

1 per cent. Therefore [and this is the conclusion the
2 paper reaches] C6 cells possess mechanisms to counteract
3 hypoosmotic swelling, which, however, appear less
4 efficient than those present in renal cells, A6 cells,
5 and some neurons, which are able to maintain constant
6 volume in the face of osmolarity reductions similar to
7 those used in the present study."

8 The question is, that seems to indicate -- and
9 I think Professor Rating, you had conceded that -- that
10 it indicates that the effect of that kind of reduction
11 is not uniform, and therefore different cells have
12 different ways of responding to it, and the C6 cells,
13 according to this paper, apparently can be more
14 resistant to that than A6 cells and those present in the
15 renal cells. So the question is for you,
16 Professor Kirkham, which is: are you able to assist with
17 what proportion of the brain cells are C6 cells?

18 PROFESSOR RATING: It's a glioblastoma cell line. That is
19 the cell line coming out from a glioblastoma, from the
20 tumour, and because they are easier to grow in culture,
21 they use them as an example.

22 Q. Yes. But the question --

23 PROFESSOR RATING: You have no glioblastoma cells in the
24 brain.

25 Q. So those aren't in the brain [OVERSPEAKING]?

105

1 which was obviously before he was admitted for his renal
2 surgery, and the after photographs are after his
3 surgery. If I pull up the two that we have from before.
4 300-079-150 and 300-079-151 alongside each other.

5 The child towards the bottom of the table is Adam
6 and the child on the right-hand side, that's Adam.

7 PROFESSOR RATING: Age of?

8 Q. Sorry?

9 PROFESSOR RATING: At the age of?

10 Q. The same age, it's the same year. It's very shortly
11 before he was admitted to hospital.

12 THE CHAIRMAN: Is this a birthday party?

13 MS ANYADIKE-DANES: Yes.

14 THE CHAIRMAN: Is his fourth birthday party? So this was
15 taken in August and the operation was in November.

16 PROFESSOR RATING: Okay, fine.

17 Q. So that's how he would have appeared when he was
18 admitted. And then if one puts up two photographs
19 alongside each other, 300-080-152 and 300-080-155. In
20 terms of the oedema in the body that I think,
21 Professor Kirkham, you indicated might have happened
22 differentially from the cerebral oedema in the brain.
23 Does that difference in his appearance assist?

24 PROFESSOR KIRKHAM: Well, I think there is ... It does look
25 as though his face and arms are quite swollen. So

107

1 PROFESSOR KIRKHAM: They are tumour cells, so you
2 wouldn't --

3 Q. Okay. So that wouldn't be relevant.

4 Are there differential responses to the fluid in
5 brain cells than in perhaps other cells?

6 PROFESSOR KIRKHAM: Well, I think one point that is worth
7 taking is that neurones are relatively protected, in
8 other words, actual brain cells, neurones, are
9 relatively protected. What swells is the glial cells,
10 mainly. So there are differences between cells, even
11 within the brain, and then, to be honest, I think
12 it would be very hard to extrapolate from this paper on
13 tumour cells. I think the important point here is that
14 tumours often have some oedema associated with them,
15 which needs treatment in its own right, because once
16 you've got a mass lesion and swelling around it then
17 there is a risk of herniation. But this is a paper
18 specifically on tumour cells.

19 Q. So that doesn't help, but I think the only thing that
20 you took out of it that might go to the argument that
21 we're dealing is the relative protection of neurones.

22 PROFESSOR KIRKHAM: Yes.

23 Q. I was also asked to ask both of you to look at the
24 before and after photographs, if I can put it that way,
25 of Adam. So the before photographs relate to a party,

106

1 I think there is oedema, systemic oedema.

2 Q. And if there is, how do you interpret that in terms of
3 what you think led to his death?

4 PROFESSOR KIRKHAM: I don't think it's actually particularly
5 helpful. I think he has systemic oedema, but it doesn't
6 tell us why he had cerebral herniation.

7 Q. But it's evidence -- sorry.

8 MR FORTUNE: Sir, what allowance should Professor Kirkham
9 make for any fluids administered in PICU after the
10 collapse? Because we've been down this route before,
11 have we not, with Dr Armour?

12 MS ANYADIKE-DANES: We have. Yes, we have been down that
13 route. It's a matter of how much you make the allowance
14 for the fluids he was administered, how much you make
15 the allowance for the fact that he was given mannitol
16 and so on. So there are -- he was administered --

17 PROFESSOR RATING: He was kept dry, as we medical doctors
18 say. They tried to get out and not infuse any more. As
19 dry as possible.

20 THE CHAIRMAN: Well, I think Professor Kirkham, what you're
21 saying is this shows oedema, but it doesn't particularly
22 help in advancing any further explanation on the cause?

23 PROFESSOR KIRKHAM: I don't think it actually particularly
24 helps. Can I just ask, because I think there was a new
25 report that I hadn't seen before about whether there was

108

1 pulmonary oedema. What's the final decision on whether
2 there was pulmonary oedema or not?
3 MS ANYADIKE-DANES: I'm not aware of the report.
4 PROFESSOR RATING: Regarding pulmonary oedema, it is said
5 that there is no pulmonary oedema, but we have to
6 recognise that the pulmonary oedema, this child was
7 ventilated for a long time, 24 hours, and that's very
8 effective to throw away any pulmonary oedema. Therefore
9 of the pulmonary oedema at the end in the autopsy, we
10 cannot argue on pulmonary oedema at 10, 10.30 or 11 or
11 11.30.
12 MR FORTUNE: Professor Kirkham refers in her second report
13 at 208-007-080 at paragraph 35 to the review by
14 Dr Landes. Is that the report that you have in mind,
15 professor?
16 PROFESSOR KIRKHAM: I thought there was a subsequent report
17 because I think Dr Landes' report says there's no
18 pulmonary oedema.
19 MS ANYADIKE-DANES: Sorry, whose report?
20 PROFESSOR KIRKHAM: Dr Landes' report.
21 MS ANYADIKE-DANES: We're just checking it now.
22 PROFESSOR KIRKHAM: I don't think it's in the bundles that
23 we've got here, but I think it was something that I was
24 sent recently where there was a further report from
25 a chest physician.

109

1 trust from that it must be oedema in the brain.
2 THE CHAIRMAN: Thank you.
3 MS ANYADIKE-DANES: Professor Kirkham, I have the correct
4 reference, I beg your pardon. It's 207-007-001.
5 THE CHAIRMAN: Okay, there's no pulmonary oedema.
6 MS ANYADIKE-DANES: Actually, no, Mr Chairman, that's why
7 I was checking it because I seem to remember there was
8 a second report that came, and I think Professor Kirkham
9 was right, there is a second report. It is 207-007-001.
10 THE CHAIRMAN: Is there a date on it?
11 MS ANYADIKE-DANES: Yes. 25 May 2012. It's a report by
12 Dr Landes. What she says is:
13 "The chest X-ray dated 27 November 1995 at 1.20
14 [which is just after he came out of theatre] does not
15 show pulmonary oedema. The chest X-ray dated
16 27 November 1995 at 9.30 pm shows evidence of pulmonary
17 oedema."
18 PROFESSOR KIRKHAM: 9.30 pm?
19 Q. That same evening. So at 1.30 pm, the chest X-ray shows
20 no pulmonary oedema; at 9.30 that evening the chest
21 X-ray shows evidence of pulmonary oedema.
22 MR FORTUNE: That's not what Professor Kirkham is led to
23 believe in paragraph 35 of her report.
24 PROFESSOR KIRKHAM: But I think that my report was completed
25 before Dr Landes re-reported the second chest X-ray.

111

1 MS ANYADIKE-DANES: 207-006-011.
2 THE CHAIRMAN: Literally the bottom line on that page.
3 MS ANYADIKE-DANES: "The pulmonary oedema is seen on the
4 chest X-ray."
5 MR FORTUNE: Is this Dr Landes?
6 MS ANYADIKE-DANES: Yes.
7 THE CHAIRMAN: It must be. Can we ask the same question to
8 Professor Rating about the photographs?
9 MS ANYADIKE-DANES: Yes. That's where I was going to next,
10 sorry.
11 Professor Rating, first I just wanted to clarify
12 something that Professor Kirkham said. When you said it
13 didn't help, it doesn't help with the fatal cerebral
14 oedema?
15 PROFESSOR KIRKHAM: It doesn't help with what caused the
16 herniation. It is the herniation caused death.
17 Q. What caused the herniation? Sorry, yes.
18 Professor Rating, how do you interpret those two
19 sets of photographs?
20 THE CHAIRMAN: Do you interpret anything from them at all?
21 PROFESSOR RATING: No, I cannot see any ... The child seems
22 to have oedema, but if the child, for example, had
23 another -- meningitis or something like that -- and
24 he was ventilated for 24 hours longer than he already
25 was, it could be the same appearance. You don't can

110

1 THE CHAIRMAN: If it is the case that there is, on the
2 second X-ray, evidence of pulmonary oedema, how does
3 that affect your evidence?
4 PROFESSOR KIRKHAM: I'm going to assume that the photograph
5 of Adam is taken the following day.
6 MS ANYADIKE-DANES: I think it is. I am just going to get
7 some instructions.
8 PROFESSOR KIRKHAM: So I think that in terms of the
9 aetiology of cerebral herniation, it doesn't really
10 help. It does suggest that there wasn't any pulmonary
11 oedema at the time that he came back from theatre, which
12 I think would be consistent with the pumping mechanism
13 still working at that stage throughout the body with the
14 sodium being pumped out of the cells and therefore the
15 mechanism -- the overall systemic mechanism not being
16 overwhelmed. However, if there's pulmonary oedema at
17 9.30 and the following day Adam has widespread oedema,
18 I think that would be consistent with there being a more
19 serious problem with the pumping mechanisms later on,
20 after the herniation has already occurred.
21 Q. Firstly, let me give you the time of the photographs.
22 The photographs were taken by the PICU nurse at about
23 11 o'clock on the 28th. And the reference for that is
24 witness statement 001/2, page 14. Not to be pulled up,
25 just for the record. So then you are saying that the

112

1 pulmonary oedema shown on the later X-ray, but not on
2 the earlier one, when he first comes out, is actually
3 consistent with your view that the ion-pumping
4 mechanism, if I can put it that way, was working and
5 subsequently became overwhelmed?
6 PROFESSOR KIRKHAM: Yes.
7 Q. If that's the case and it was working at that stage,
8 then where does that take you in terms of trying to see
9 what the supporting evidence is for the cause of his
10 death?
11 PROFESSOR KIRKHAM: I think it means that there's no
12 evidence that the pumping mechanism will have been
13 overwhelmed and therefore that the body, lungs and brain
14 will have been so full of fluid that the herniation was
15 caused by the fluid, the free water.
16 Q. Yes, thank you.
17 Professor Rating, can I ask you --
18 MR FORTUNE: Sir, before we move from that, I'm reminded by
19 Professor Savage that the chest X-ray taken after
20 leaving theatre, so that's at 13.20, was taken and it is
21 marked "on expiry", and perhaps Professor Kirkham would
22 confirm that it is difficult to read a film in such
23 circumstances.
24 PROFESSOR KIRKHAM: Yes, but we are left with the evidence
25 we have. I think even an expiratory film will have

113

1 that, by 11.30, he had such massive cerebral oedema that
2 he coned, and that that really was all that was
3 involved, if that is the case would you have expected to
4 see any evidence on an X-ray of pulmonary oedema by
5 1.30, which is two hours or so after the coning?
6 PROFESSOR RATING: I cannot answer your question. I don't
7 know.
8 Q. You don't know whether you would have expected it or
9 not?
10 PROFESSOR RATING: Yes, I don't know.
11 Q. Would you have expected to see pulmonary oedema at any
12 stage on an X-ray?
13 PROFESSOR RATING: The other way round. If I would have
14 seen the pulmonary oedema in the first X-ray, it would
15 not have puzzled me. I'm now thinking about why the
16 first one didn't show it and the second one did show it.
17 Okay, it could be more difficult because in an
18 experienced situation to calculate on pulmonary oedema,
19 it is a better one later on. Maybe that's the
20 explanation for ... If that would be a pulmonary
21 oedema, I would say, yes, that goes with what I'm
22 thinking on. But if it's not there, that would mean I
23 cannot say that ... Because the difference is -- the
24 brain has a skull, which is rigid and it cannot give any
25 space. All other organs can have some space. And by

115

1 shown significant pulmonary oedema if it was there.
2 MR HUNTER: Just on that point, sir, of course there is
3 evidence from Professor Savage and Dr O'Connor and
4 Adam's mother that he was swollen immediately after
5 theatre when he was brought out.
6 THE CHAIRMAN: Yes.
7 MS ANYADIKE-DANES: Well, Mr Chairman, I don't want to get
8 entirely into that because -- well ...
9 THE CHAIRMAN: Let's hear what Professor Rating says.
10 MS ANYADIKE-DANES: The date of Professor Kirkham's report
11 is 28 March 2012, so she would not have seen this
12 expert's report by that time.
13 THE CHAIRMAN: Professor Rating, what did you want to say?
14 PROFESSOR RATING: We cannot discuss the pulmonary oedema
15 only on the basis of pump mechanisms because if the
16 child which is in intensive care unit, which is going
17 bad, it could have ... We cannot say he is pump --
18 because it could be a cardiac problem, it could be
19 problems with ventilation, and I think it's a little bit
20 difficult to say that is all with the pulmonary oedema
21 that has all to do with the pumping mechanisms.
22 MS ANYADIKE-DANES: Can I ask this question though: if your
23 assessment of what happened is that he received an
24 overwhelming amount of free water, that lowered his
25 sodium levels and the result of that ultimately was

114

1 that, the kidney, the liver and even in the skin you see
2 it, it can be stored quite a lot of water. And I think
3 in some way the most water will be in the skin tissue.
4 MS ANYADIKE-DANES: Thank you.
5 THE CHAIRMAN: Okay, thank you very much. I think that
6 finally brings an end to your questioning. I'm very
7 grateful to you for coming from Germany and to you,
8 Professor Kirkham, for labouring through what is clearly
9 a very heavy cold or flu. Thank you for your time.
10 You're now free to leave.
11 Ladies and gentlemen, we'll take a break for 15
12 minutes and we'll get at least one session in with
13 Dr Carson this afternoon. Thank you.
14 (3.24 pm)
15 (A short break)
16 (3.26 pm)
17 THE CHAIRMAN: Sorry, there's apparently something
18 outstanding.
19 MS ANYADIKE-DANES: I beg your pardon. The question is
20 really directed to Professor Kirkham.
21 You had said that, I think your wording was that
22 Adam was not unique. Adam's case was not unique, I beg
23 your pardon. Adam, of course, was unique. Adam's case
24 was not unique; you said that in one of your answers to
25 the chairman. The question to you is: what did you mean

116

1 by that and what's the evidential basis of it?
2 PROFESSOR KIRKHAM: I think in fact I have to check the
3 transcript. But I think what I was actually saying was
4 that there were --
5 Q. I can give it to you now. What you said was:
6 "Patients have been given volumes of hypotonic
7 fluids before and that's why there's been a scientific
8 literature leading to the piglet experiment, for
9 example. So Adam's case is not unique by any means."
10 And just to complete your sentence:
11 "But actually, the evidence that it's possible to
12 overcome the pumping mechanisms and cause fatal cerebral
13 oedema without other factors is not very strong and
14 therefore I think it's not necessarily likely to have
15 happened in Adam's case."
16 The question is: what do you mean when you say that
17 Adam's case is not unique?
18 PROFESSOR KIRKHAM: What I meant there because I think
19 I said something slightly -- about whether Adam's case
20 followed on from the other cases in a different context
21 earlier. I think what I meant in that context was that
22 other children have been given large volumes of free
23 water.
24 Q. So in that sense other children have also received large
25 volumes of free water?

117

1 that the inquiry should adopt those statements as part
2 of your formal evidence?
3 A. I am, chairman. Can I maybe just point out two small
4 errors that I've included within those? The first
5 relates to WS077/2. I cited under paragraph 4 the GMC
6 guidance that "Good Medical Practice" was first
7 published in 2001. As the inquiry will know, it was
8 first published in 1995, with revisions in 1998, 2001
9 and 2006. So that was an error of transcription.
10 The other relates to witness statement 270/1, and
11 under paragraph 2 I was asked to comment on:
12 "Please detail changes in clinical and corporate
13 governance in the Royal Group of Hospitals/RBHSC as
14 between 1995 to 1997 and 1997 to 2004."
15 And against both subsection A and subsection B I had
16 stated, "None that I can recall". That related to 1995
17 to 1997. The period 1997 to 2004, I had actually
18 detailed those in witness statement 306/1. My apologies
19 for that.
20 Q. I'm grateful for that. You were, in fact, the medical
21 director and deputy chief executive of the Trust from
22 1993 to 2002. So in fact, your period in office covered
23 the period when both Adam and Claire received their
24 treatment and died.
25 You have supplied us with your CV, which starts at

119

1 PROFESSOR KIRKHAM: Yes.
2 THE CHAIRMAN: And not necessarily died?
3 PROFESSOR KIRKHAM: And not necessarily died.
4 MS ANYADIKE-DANES: Okay. Thank you very much indeed.
5 THE CHAIRMAN: Thank you very much.
6 (The witnesses withdrew)
7 (3.27 pm)
8 (A short break)
9 (3.45 pm)
10 DR IAN CARSON (called)
11 Questions from MR STEWART
12 THE CHAIRMAN: Can I say, doctor, my intention is to try to
13 do up to an hour of your evidence this afternoon, and
14 hopefully that will ensure that you get your evidence
15 finished tomorrow and, if we don't finish Mr McKee,
16 we'll come very close to finishing him.
17 MR STEWART: Dr Carson, you were good enough to supply the
18 inquiry with five witness statements. They were:
19 WS077/1 of 8 July 2005, supplied in your capacity as
20 deputy Chief Medical Officer; WS077/2, of 14 May 2012,
21 in relation to Adam Strain's case; WS077/3, of 9 January
22 of this year, in relation to both Adam's and Claire's
23 cases; WS270/1, in relation to Claire's case, on
24 4 September 2012; WS306/1, on 13 December 2012,
25 in relation to Raychel Ferguson's case. Are you content

118

1 306-088-001. We can see it gives your professional
2 background, your postgraduate education, I see this is
3 the third bullet point in the postgraduate education as
4 being relevant. You were appointed to the
5 Northern Ireland regional educational adviser to the
6 Royal College of Anaesthetists, 1988 to 1996. So again
7 that covers the period with which we are principally
8 interested. And below that, we see at the bottom that
9 you also have experience as a clinical director, having
10 served in that capacity in anaesthetics and intensive
11 care from 1990 to 1993.
12 A. Correct.
13 Q. So that was preparatory to the Trust coming into being?
14 A. Correct.
15 Q. And again, if you turn the page to 002, medical director
16 and deputy chief executive. We see then the dates:
17 "Reporting to and accountable to the
18 chief executive."
19 I'm going through this, with your leave, to point
20 out one or two things of relevance. In the bullet
21 points that follow that, the third one down, you served
22 on the Audit Committee of Northern Ireland Council for
23 Postgraduate Medical and Dental Education. So your
24 interest in education is marked?
25 A. Yes. From my appointment as a consultant in 1975,

120

1 I have taken an active interest in medical education.
2 I was, for many years, the clinical tutor in the Royal
3 Group of Hospitals on behalf of the then Faculty of
4 Anaesthetists in the Royal College of Surgeons, later
5 the Royal College of Anaesthetists, and I later served
6 then as a -- and that was with responsibilities
7 internally in the hospital when it was still a directly
8 managed unit of the Eastern Board. Later in my career,
9 the mantle extended to cover Province-wide
10 responsibilities on behalf of the college as the
11 regional educational adviser.
12 Q. And of course, your career then in 1993 became one where
13 you started to concentrate more on the governance aspect
14 of the hospital rather than your clinical duties.
15 A. I maintained -- and most clinical directors and
16 certainly all of the -- most clinical directors and most
17 medical directors across the Health Service, both in
18 Northern Ireland and elsewhere in Great Britain, would
19 have retained some clinical practice. I had one day
20 a week in which I continued to work as a cardiac
21 anaesthetist. And I continued with my on call
22 responsibilities along with other members on the rota
23 during that period of time, right up until I left the
24 hospital in 2002.
25 Q. We then find your interest in the governance side of

121

1 really the sole medical man.
2 A. Yes.
3 Q. Of course, there was the director of nursing, but
4 amongst the non-executive directors, there would have
5 been a medical academic.
6 A. The Queen's University were represented on the Trust
7 board from commencement in 1993. In fact, I can't
8 remember who the first Queen's University representative
9 was, but I don't think they were clinically -- had
10 a clinical background. I know, for example, that
11 Mary McAleese at one period represented the university
12 on -- it was because of our teaching responsibilities
13 and our responsibility to the university in regard to
14 undergraduate education within the Trust that the
15 university had a seat on the Trust board.
16 Subsequently, I know that then Mr James O'Kane, who
17 had finance responsibilities, I think, within Queen's
18 University. I think he was the final member of the
19 Trust board at the time I think I left the Trust.
20 Q. So the board and the chief executive really relied upon
21 you to a large extent in relation to clinical input?
22 A. Myself and the director of nursing would be the two sole
23 representatives on the Trust board with a clinical
24 background.
25 Q. So then moving on down to the bullet point, "My main

123

1 things, you being a founder member of the British
2 Association of Medical Managers.
3 A. Yes.
4 Q. What was the approximate date of the foundation of
5 that association?
6 A. I honestly can't remember, but it would have been in the
7 early 90s, probably not very much distant from 1993 when
8 the Trust was established. It would have been around
9 1993, 1994, I would think.
10 Q. And in the bullet point beneath, we find your reference
11 to your special interest in the development of medical
12 appraisal and the handling of doctors with performance
13 difficulties. When does that interest date from?
14 A. That would have -- during my period as Trust medical
15 director, that would have been a growing interest at
16 that time. There was a huge amount of change going on
17 within the Health Service in relation to modernising
18 systems and processes for handling doctors with
19 problems, and I would have been very much involved
20 in the early days of that development.
21 Q. Over the page, then, to 306-088-003, your key areas of
22 responsibility. That is, first:
23 "To ensure an effective medical contribution to the
24 formulation and implementation of policy."
25 On the board, you were, as an executive director,

122

1 area of responsibility", this is in the department. So
2 these are, of course, your responsibilities within the
3 department after you become deputy Chief Medical
4 Officer; is that correct?
5 A. Yes.
6 Q. And that was from 2002 --
7 A. To 2006.
8 Q. And it was during that period that the UTV broadcast its
9 programme, "When Hospitals Kill", and when the death of
10 Claire Roberts went to inquest; was that during that
11 period of your career?
12 A. Correct.
13 Q. We'll deal with that later. Over the page to 005, you
14 list the various learned societies to which you
15 belonged, both currently and previously. And the
16 previous section of that category, apart from the first
17 one, all the other associations are based outside of
18 this jurisdiction. In Britain, USA and indeed the rest
19 of Ireland. Did you go off to conferences and have much
20 liaison with these organisations?
21 A. During my time as Trust medical director?
22 Q. Yes.
23 A. Well, yes, I would have -- first of all, I would have
24 had to retain my continuing medical education
25 responsibilities. As a registered medical practitioner,

124

1 you need to keep abreast of developments. I was still
2 practising as a clinical anaesthetist in the cardiac
3 surgical unit, so I would have taken steps to ensure
4 I was keeping up-to-date with developments in cardiac
5 anaesthesia. In relation to -- but I had other areas of
6 interests and my developing interest in the area of
7 clinical management would have been areas that I would
8 have pursued as a Trust medical director, yes,
9 principally through the British Association of Medical
10 Managers, which was an organisation that was set up, as
11 I say, in the early 90s to assist those doctors who had
12 taken that unique decision, if you like, to get involved
13 in the administration and management of Health Service
14 Trusts. This was a new area for doctors to work in.
15 There was a limited amount of training provided on
16 appointment. It was a whole new area for doctors to get
17 involved in, both not just as clinical directors, but
18 particularly as Trust medical directors.

19 Q. And so this association helped you receive information
20 and training?

21 A. Well, I wouldn't maybe use the word "training" quite
22 specifically, in the same way as you'd apply that to
23 maybe undergraduate education or postgraduate education,
24 but it was certainly a forum in which you learnt from
25 other colleagues working in other parts of the UK. The

125

1 various stages during the development of the Trust,
2 trying to innovate and to learn from each other. So
3 there was a lot of that learning and networking, and
4 that was encouraged within the Trust, I have to say. So
5 there was a very positive approach to that.

6 THE CHAIRMAN: Doctor, can I ask you about that? In these
7 formative years of the trusts, would that mean that part
8 of the advantage of being involved in the Association of
9 Medical Managers would be that instead of you having to
10 wait to take the lead from the Department of Health and
11 Stormont about something, you could exchange ideas and
12 find out if things are developing more quickly in
13 England and you could import their ideas to
14 Northern Ireland without having to wait for anything
15 from Stormont?

16 A. That was very much the case. There was considerable
17 difficulty in the Northern Ireland context because of
18 the political developments, the assembly up, the
19 assembly down, local ministers in, Northern Ireland
20 officers, ministers taking responsibility for health and
21 social care.

22 THE CHAIRMAN: And some more interested than others --

23 A. Possibly.

24 THE CHAIRMAN: -- or some more knowledgeable than others?

25 A. Certainly. I think for those Northern Ireland Office

127

1 pace of change, if you like, in relation to NHS reforms
2 was different, faster if you like, in England than it
3 was here in Northern Ireland. So I used it very much as
4 an opportunity to see how the developments might take
5 place within Northern Ireland in due course. And it was
6 an opportunity to share -- again there's
7 a tremendous ... In 1993, when trusts were beginning to
8 be established in Northern Ireland, we had quite a range
9 of size of organisations, different natures of services,
10 some were community based, some were acute hospital
11 based, some were large, some were small.

So I was very keen to liaise and to have contact and
to network with trust medical directors working in
larger teaching hospitals like Leeds, Manchester,
Birmingham. And that was where I had the opportunity to
undertake that engagement.

Q. Were you able to capitalise on those contacts with
Birmingham and Leeds and keep up to date with what they
were doing?

A. Very much so, and we did -- I did that obviously at
a personal level when I was meeting particularly through
the Association of Trust Medical Directors, but also as
a Trust, the chief executive and other members of the
senior management team in the Trust -- we had particular
relationships with Manchester, Leeds and Birmingham at

126

1 ministers who came in, they were very reluctant,
2 I think, to impose an English model of governance or
3 quality for Northern Ireland, whenever they knew that
4 the whole area of devolution of health education was
5 going to be an issue for local ministers. So that --
6 there was tremendous reluctance I think on their part to
7 do that. I would also suggest that at the time the
8 Trust was established, when Bairbre de Brun eventually
9 became on as the first devolved Minister for Health,
10 there was maybe a reluctance for her to take on English
11 models as well.

So the drive to develop and put in place a model for
quality and safety was slow here. So I was -- and I to
a certain extent -- at a personal level maybe -- was
quite frustrated by that because I was seeing some
excellent work coming out in England that I really felt
would have been beneficial if it had been in place in
Northern Ireland, and also I was keen to try and adopt
and adapt that in the context of our own Trust, and we
did manage to do that.

THE CHAIRMAN: Can I ask you two things? First of all, were
the problems which you gathered from your English
colleagues they were facing, were they similar or
perhaps sometimes even identical to the problems you
were facing?

128

1 A. The underlying problems of managing a very complex
2 organisation was common across particularly the larger
3 hospitals. The span of responsibility for trust medical
4 directors at board level was very, very broad. The vast
5 majority of trust medical directors, certainly first
6 wave trust medical directors -- I had a secretary who
7 worked with me, who managed my diary and did very little
8 else. I had no infrastructure, no department, as the
9 medical director, that would enable me to manage all of
10 the elements of the medical director's responsibility.
11 And that was not uncommon across the NHS in
12 Great Britain as well.

13 So many, many trust medical directors found that
14 they were paddling very ferociously under the water. So
15 we did share and learn from each other.

16 THE CHAIRMAN: The second point is: if you did see some
17 scheme or system working or being developed in England,
18 could you bring that over the to Royal with the
19 approval, presumably, of the chief executive and the
20 board, but without necessarily having to get approval
21 from the Eastern Board or the department?

22 A. Well, in 1993, the Eastern Board's responsibilities were
23 solely those of commissioners of services. The
24 department's oversight of the Trust -- I mean, I think
25 the transition and the move into the self-governing

129

1 MR STEWART: Indeed, that very theme finds reference in
2 a letter written to you in July 1992 by WGH Quigley, who
3 was the chairman of your Trust.

4 A. Yes.

5 Q. This appears at WS306/1, page 13. In this letter, which
6 is at the establishment of the Trust, he is sketching
7 out his view of the post of medical director and how he
8 sees it. Halfway down that first paragraph, there is
9 a sentence beginning:

10 "The medical director has to be able at one and the
11 same time to empathise with colleagues and to avoid the
12 temptation simply to act as their representative and
13 spokesman."

14 So in other words, he sees an element of objectivity
15 and independence from your colleagues. Was that
16 important to the system of being put in place?

17 A. I think it was extremely important. It was also
18 extremely important for myself in conducting that role.
19 I remember when I was being interviewed for the post as
20 Trust medical director, a number of what I would call
21 senior colleagues came up to me and said was I in my
22 right mind going forward to apply for this post. And
23 I had one other senior colleague who supported me in
24 this initiative, but he certainly spoke to me afterwards
25 and still to this day says I really feel sorry that

131

1 Trust status was actually a difficult one in many ways
2 because it did allow trusts certain freedoms and the
3 opportunity was there. I have to say that the board and
4 the chief executive in particular were very supportive
5 of me in enabling me to take forward a number of
6 initiatives in relation to medical management within the
7 Trust. I had a particular interest in training clinical
8 directors and equipping them for what I thought actually
9 was the most difficult task, that of a clinical leader
10 within an area of the hospital, working very closely
11 with clinical colleagues, managing clinical colleagues.
12 That was a very difficult -- a tense interface at times
13 for clinical directors, in some ways more difficult than
14 medical directors.

15 THE CHAIRMAN: Because you're a step back?

16 A. I was a little bit distant from that.

17 THE CHAIRMAN: So you could have the anaesthetic director
18 potentially having to confront or speak fairly bluntly
19 to a colleague?

20 A. They have to work with their colleagues on a daily basis
21 and quite often when difficult issues did emerge, it was
22 uncomfortable for them, maybe, to say the least, at
23 times. But they were -- the vast majority of them,
24 I have to say, did work very closely with myself and
25 I would have given them whatever support they needed.

130

1 I encouraged you to take on this role because he could
2 see the burden that was carried by a Trust medical
3 director, and he felt that in many ways I had sacrificed
4 other aspects of my clinical career to take on the
5 management role.

6 I think there was a difficult relationship for Trust
7 medical directors, but I think I myself, and certainly
8 I know others, were very clear about this distinct
9 management function that we were required to do on
10 behalf of the Trust as an executive director. We were
11 very clear that we had to stand back, even from the
12 clinicians in our own specialty within our own
13 directorate, if you like, that we had to carry this
14 corporate board responsibility.

15 Q. In this letter, is it Sir George Quigley?

16 A. Yes.

17 Q. Sir George continues down towards the bottom of the page
18 at paragraph 13 to hope that these indications are
19 helpful. He goes on to say:

20 "They reflect my strong feeling that the Trust's
21 medical director has an indispensable contribution to
22 make in shaping, in the new environment,
23 a patient-centred institution, driven by the imperative
24 of clinical excellence and supported by an
25 organisational structure and systems."

132

1 So he's setting out there what he sees as the
2 fundamentals. It's quite a tall order, but it's what he
3 reckons, I think, is the distillation of his vision for
4 the Trust.

5 A. That would be correct. I submitted this document, it
6 was the only document I had actually retained from the
7 time of my appointment. It was in the context of
8 whether I had a job description, and I couldn't find
9 a job description for the post of medical director in
10 1992/93 when I was appointed. That was the only
11 evidence that I could produce that maybe helped to
12 illustrate the nature of the transition that was taking
13 place from when doctors involved in running services,
14 when we were a directly managed unit -- he draws a
15 distinction between the representative role of doctors,
16 if you like, in management to the management role of
17 doctors.

18 A very bold decision was taken, particularly in the
19 Royal Trust, I have to say, where there was a very clear
20 and distinct devolution of resources, funds, to clinical
21 directorates. Some of the trusts -- and I was nearly
22 going to say "many of the trusts", and I think that
23 probably would be right. In very few of the trusts
24 in the early days in the 1990s was that bold initiative
25 taken. Clinical directorates were set up with clinical

133

1 management coming right into the proximity of the
2 hospital or the group of hospitals, some doctors found
3 that as being quite a challenge.

4 THE CHAIRMAN: Doctor, just briefly: on your CV, you were
5 clinical director from 1990 to 1993 and then, in effect,
6 the first medical director in 1993. Was that right?

7 A. Yes.

8 THE CHAIRMAN: Was the clinical director's job which you did
9 from 1993 really quite different from what a clinical
10 director would do after 1993 or after the Trust was
11 established?

12 A. Not really. The Royal Trust was part of a resource
13 management initiative. This was something that was
14 taking place in Great Britain, resource management
15 initiative. And the Royal had -- when we were
16 a directly-managed unit of the Eastern Board and with
17 the blessing of the Eastern Board and, I suspect, the
18 department at that time, there was recognition that
19 there might be benefits for the Royal being aligned with
20 this resource management initiative across the water.
21 And this was all about managing resources in a period of
22 time when resources were becoming a huge issue within
23 the Health Service -- increasing demands on the service,
24 limited budget -- and so the whole efficiency drive
25 within the Health Service following the Griffiths review

135

1 directors with certain responsibilities, but they did
2 not necessarily have the funding responsibility devolved
3 down to directorate level. In the Royal, staff
4 resources, funding, was devolved down to the
5 directorate. So the clinical director and his
6 management team were ultimately fully responsible for
7 the management of those resources and accountable to the
8 chief executive for that.

9 So this was quite a change for the hospital as well.
10 Not all of the doctors professionally UK-wide, not even
11 in Northern Ireland, and certainly not in the
12 Royal Trust, were absolutely in favour of this move to
13 Trust status, and you know... And there were those who
14 were for it, saw it as being an opportunity for the
15 Trust to develop services. Others were very reluctant
16 because it brought management right up into their front
17 garden, if you like.

18 Prior to 1993, the Eastern Board, for many doctors,
19 might as well have been on the other side of the moon.
20 They had no dealings with the Eastern Health and Social
21 Board or any of the other social boards and the
22 department likewise. Their contract as a consultant was
23 held at the Eastern Board, they sent in their
24 applications for study leave and annual leave and that
25 was it. Very little interface. But now, with

134

1 and the Thatcher reforms, there was tremendous work
2 being done on that, particularly in England. So the
3 Royal participated in that.

4 One of the steps that we undertook as a hospital,
5 when we were directly managed, was to move from the old
6 cogwheel representative structure into a clinical
7 directorate structure and what used to be the chairman
8 of the anaesthetic division, that position evolved into
9 being the clinical director for anaesthetic theatres.
10 So it was not that dissimilar; it was a journey towards
11 a full implementation, if you like, in 1993.

12 THE CHAIRMAN: So it was a step almost towards the Trust,
13 but then the big step was 1993?

14 A. Correct, and prior to 1993 there would have been no
15 devolution of resources or the budgets that were
16 applicable to that particular clinical area,
17 anaesthetics and theatres, for example.

18 THE CHAIRMAN: Thank you.

19 MR STEWART: So 1993 was something -- you described it as
20 a revolution?

21 A. It was a sea change.

22 Q. You described that devolution of budgetary
23 responsibility to the directorates. Were you yourself
24 responsible or involved in that decision to configure
25 the Trust in that way?

136

1 A. Not that I can recall. Are you talking about the
2 financial --
3 Q. Yes.
4 A. No. Personally, I wasn't. The director of finance
5 at the time and the chief executive would have shaped
6 the extent of the budget devolution to directorates.
7 This was a particularly difficult time for the Royal as
8 a new Trust. I'm sure other trusts faced similar
9 issues, but it was a particular issue within the Royal.
10 The Royal was seen, I suspect, by many in the department
11 and the Eastern Board as being a great black hole that
12 money just kept being poured into and the Royal kept
13 asking for more. So there was tremendous pressure and
14 the challenge for Sir George Quigley was that he would
15 bring this ship under control and manage the system
16 efficiently, effectively and at the same time deliver
17 high quality of service.
18 So the devolution of budgets in relation to the
19 Children's Hospital, which might be an area that the
20 inquiry wanted to pursue a little bit further -- because
21 it was quite complex. I suspect each and every
22 directorate when they had the budget devolved to them
23 said, "This isn't enough". I'm sure every clinical
24 director and every directorate manager probably said the
25 same thing. Some funds were held centrally for what I

137

1 the trust. So this was actually quite a tense era
2 because for a hospital like the Royal, the service that
3 was provided was, I would say, threefold. There were
4 services that were, if you like, local to our community
5 in north and west Belfast, if you put it that way, very
6 much local services that were being provided by the
7 Trust. But we also had a wider Eastern Health Board
8 responsibility in Greater Belfast and then we had this
9 regional responsibility, particularly for regional
10 specialties.
11 These regional specialties were often commissioned
12 by what was called the Regional Medical Services
13 Consortium acting on behalf of the four health boards
14 because they were recognised as being services that were
15 being commissioned for everybody. There was no point
16 individual boards negotiating for half a dozen of this
17 and a dozen of that.
18 So when it came to devolving budgets down to the
19 individual directorates, one of the challenges that was
20 faced for clinical directors was to try and identify how
21 much of this budget was due to services that they
22 provided locally or regionally. So it was a very
23 complex -- and that got into the whole area of ...
24 I noticed issues around depth of coding and coding and
25 a lot of that was to try and clarify and explain how

139

1 would call central activities or central functions of
2 the trust, but the funds that were delegated down to the
3 individual clinical directors, I suspect many of them
4 said, "This isn't enough".
5 Q. So there must have been a great deal of debate about
6 corporate issues, corporate governance issues,
7 structures and so forth. To what extent did the old NHS
8 mantra of "a patient-first organisation" continue?
9 A. That's an interesting question. To use your exact
10 phrase, patient-first didn't emerge until much later
11 in the 1990s. It was part of the Health Service reforms
12 that took place in England or were being driven
13 forwards. Dare I say it, after, in England, the
14 decision was taken to discontinue the "internal market",
15 the focus in the early 1990s was very much on this
16 internal market, separation of purchasers, the health
17 boards, from providers of services, trusts. And this
18 market, internal market, was often described as being
19 red in tooth and claw. Funding being supplied by
20 commissioners and the trusts having to deliver those
21 services within the context of that funding.
22 The opportunity was there for trusts to generate
23 income from other sources other than the funding that
24 came centrally through what -- that ultimately came from
25 the department to the four health boards and then into

138

1 much of the -- to what extent the service was a regional
2 service, what extent of it was a local service, how much
3 of it was the responsibility of the Eastern Board alone,
4 how much of it should be shared by other boards.
5 Q. It does sound a difficult, challenging and complex time.
6 To what extent, in the midst of this tooth-and-claw
7 negotiation and reconfiguration, did people say this
8 should be a people-centred institution; did that arise
9 as a debate?
10 A. I can't recall, but certainly the ethos of the Trust --
11 and even before it was a trust -- was that within the
12 Royal, when it was a directly-managed unit, there would
13 have been an ethos of delivering high quality services.
14 That's what the hospital was all about, that's what the
15 staff were very, very committed to. And there have been
16 many, many examples down through the years -- and even
17 at the time we're specifically talking about -- of what
18 I would call excellence in care. And that was at the
19 heart of every clinical team and not -- but it also
20 pervaded the whole way right up through the ethos to the
21 Trust board. And the board would have -- I know that
22 the non-executive directors took particular interest in
23 the quality of services, they walked around the
24 hospital, they visited departments, and they were there
25 not infrequently meeting doctors, nurses and other staff

140

1 within the hospital and learning about the quality of
2 care that was being delivered to patients.
3 THE CHAIRMAN: I think part of where that last question is
4 coming from is that while the doctors and nurses who are
5 handling and dealing with the patients directly -- it
6 almost doesn't matter to them whether it's the
7 Eastern Board which is their employer or the
8 Royal Trust: if somebody is coming into casualty or
9 cardiology, you still have a doctor, you still have
10 a nurse looking after the patient. I think perhaps
11 where Mr Stewart's question was coming from is that, at
12 board level, amongst all the organisation, setting up
13 the structures, the devolution of roles, the management
14 of roles, did that ethos get lost a bit at the top
15 level?

16 Sorry, let me give you an example from a very narrow
17 perspective. It doesn't appear to have appeared on the
18 agenda very often.

19 A. I would have to agree with that. I think the focus for
20 Sir George -- and for the board as a whole -- was
21 financial survival. And I put it as blunt as that
22 because there would have been views to say that this
23 Trust was a problem because it was always over budget.
24 We need to manage this place much -- get a grip on
25 things. The whole future of the organisation as an

141

1 for survival?
2 MR STEWART: Can you recall, in relation to a consultant-led
3 service, when that emerged?
4 A. I'm not sure that the two terms were actually ever
5 discussed at Trust board level. The distinction between
6 a consultant-led service is where a consultant, a senior
7 consultant would lead a team, maybe with another
8 consultant in it, junior medical staff, nursing staff,
9 the whole concept of the team, and the consultant would
10 have delivered a service or led a service through a team
11 approach.

12 A consultant-delivered service is where a consultant
13 is maybe working on their own without junior medical
14 staff, would be called in because there were no juniors,
15 between them and the patient. So a consultant-delivered
16 service was something that would be much more specific
17 to the size or other of the team.

18 The vast majority of services in the Trust, in the
19 early 1990s, would have been consultant-led. As the
20 consultant ... The problem, I think, in a number of
21 what I'll call regional sub-specialties was that quite
22 often you could have had a consultant working on their
23 own, and therefore delivering a totally
24 consultant-delivered service with little in the way of
25 infrastructure below. The use of the terms

143

1 independent organisation was under threat because in
2 1995 we had, under the chairmanship of ... I've gone
3 blank. The acute hospitals reorganisation project.
4 That was a real threat to the delivery of services
5 in the Royal Group of Trusts because vascular surgery
6 could have moved from currently being delivered in two
7 sites to one site or another site, so -- there was
8 a threat to clinical services being removed or moved
9 elsewhere or even the whole Trust as a whole being
10 considered to be unmanageable or whatever.

11 So I would have to -- chairman, I would agree: the
12 focus and the emphasis at board level was very much
13 around survival of the organisation and getting it into
14 financial equilibrium. Huge pressure on resources and
15 funding.

16 MR FORTUNE: My learned friend used the phrase
17 "patient-centred." It went on the transcript as
18 "people-centred".

19 MR STEWART: I did say "people-centred". That's my mistake.
20 It's "patient-centred".

21 MR FORTUNE: We have also heard -- certainly from
22 Dr Steen -- about the terms "consultant-delivered
23 service" or "a consultant-led service". At that time in
24 this evolutionary process did those terms ever appear at
25 board level, particularly when the board was fighting

142

1 "consultant-led" and "consultant-delivered" didn't --
2 I can't recall it being a distinction that was drawn to
3 the attention of the Trust board at all as far as I'm
4 aware.

5 Q. Very well. However, as medical director, quality of
6 care remained a major consideration for you.

7 A. Absolutely.

8 Q. And in October 1995, over two years after creation of
9 trust, the management executive wrote to your
10 chief executive at WS306/1, page 15, to set out more
11 fully your professional responsibilities.

12 In the first paragraph, line 5, we see:

13 "The annex to this letter concentrates on the role
14 of the medical executive director and thereby completes
15 the guidance on the role of the professional executive
16 directors."

17 And we go to page 16, we find that annex, which,
18 although it's dated at the top "2/94", in fact it dates
19 from October 1995. Paragraph 3:

20 "In addition, however, the management executive
21 expects such a director [this is your post, that's you]
22 to have three specific areas of
23 responsibility: professional standards and practices;
24 oversight of clinical functions discharged by the Trust;
25 and management or development issues relating to medical

144

1 services generally."
2 That's a broad remit of responsibility and it goes
3 on to clarify that at paragraph 4 in the second
4 sentence:
5 "It will expect the post holder's role to be set out
6 in such a way that it covers the following clearly and
7 unambiguously."
8 And at paragraph (b) you are charged unambiguously
9 to:
10 "Advise the Trust on medical workforce policy,
11 including staffing levels."
12 So staffing comes within your specific remit. And
13 at (c) that includes:
14 "Agreeing job plans with consultants."
15 And, further on down:
16 "Disciplinary matters."
17 So you were able, as I understand it, to include
18 within job plans quality assurance undertakings. Can
19 I ask you about disciplinary matters? Did that include
20 disciplining individual clinicians for competence
21 issues?
22 A. If that emerged, yes. In relation to disciplinary
23 matters, the medical director's role and contribution
24 there would have been very much in close association
25 with the director of human resources in the Trust. The

145

1 A. To write my own script, yes, for better or worse.
2 THE CHAIRMAN: Subject to the HR director.
3 A. Well, I have to say, if you were to ask me
4 professionally as a Trust medical director, who did
5 I spend my time with, obviously I had a very close
6 working relationship with the chief executive and
7 I deputised for him in his absence. And his office was
8 next door to mine. But if you were to ask me of all the
9 other executive directors in the trust, who would have
10 occupied my diary most, it would have been the director
11 of HR: handling contracts, appointments, and on
12 occasion -- rare occasions I have to say, thankfully --
13 issues in relation to discipline.
14 MR STEWART: Over the page, page 17, at (d) we come back
15 here to you:
16 "... leading [clinical directors] in managing
17 particular services with budgetary information and
18 quality responsibilities."
19 So your influence is reaching right the way down
20 into the directorates. Even though the budgetary
21 responsibility may be devolved to them, it seems as
22 though you were supposed to lead them.
23 A. Mm. Well, the role of medical director was one about
24 leadership. Many people say that that's really what it
25 was all about, it was clinical leadership in the Trust.

147

1 issues around, if you like, what I will call
2 professional or personal conduct, for example, were
3 covered by Trust standards and procedures for handling
4 personal behaviour. So those policies and procedures
5 were drawn up by the director of HR and then,
6 in relation to competency, professional performance or
7 professional competence, that would have been other
8 procedures that we would have had to embark on.
9 It's interesting that this document from the
10 management executive came out two years after the Trust
11 was established. So you can understand maybe some of
12 the frustration that I, as a Trust medical director, was
13 experiencing, whether I had a job description in 1993 or
14 not, but it was largely on the basis of this guidance
15 that I started to modify the job description for the
16 Trust medical director.
17 My initial appointment, I think, was for three
18 years, renewable -- I'm not sure whether it was annually
19 or whatever -- but when it came up to 1996 I would have
20 been three years in post, so working with the director
21 of HR, I personally got involved in drafting and
22 redrafting a job description for the Trust medical
23 director, and that continued to evolve right up to the
24 time that I left in 2002.
25 Q. So you were in a sense given the opportunity to --

146

1 I was in many situations, I was in many -- was quite
2 often the public face of the Trust. So medical
3 leadership was key with the appointment as Trust medical
4 director.
5 Can I make another little -- because I observed in
6 various transcripts prior to now, the issue about
7 reporting of clinical directors, who were they, who were
8 they responsible to, who did they report to. Can I just
9 say that we obviously had clinical directors in place in
10 the late 80s, early 90s, before we became a trust, and
11 some of the people who were appointed as clinical
12 directors in the late 80s, 90s, moved into the position
13 as being the clinical director within the Trust.
14 The job descriptions I think that they had around
15 that time in 1993 would have been quite clearly saying
16 that they reported to and were accountable to the
17 chief executive. They were not accountable to me as the
18 Trust medical director, nor did they report to me.
19 However, professionally, there would have been what's
20 been described, I think in earlier transcripts, as
21 a dotted line through to the Trust medical director.
22 I would have had very close contact with clinical
23 directors, my door was always open, I would have met
24 them formally and informally.
25 So although their job descriptions said that they

148

1 reported to and were accountable to, that was very much
2 in relation to the devolved responsibilities that they
3 had, financial, staffing and so on, through to the
4 chief executive. But when it came to professional
5 matters, they would have come to me first, without
6 a doubt.

7 Q. So they've reported to you, but would be ultimately
8 accountable to the chief executive?

9 A. Their job description said that they reported to the
10 chief executive and were accountable to him. They would
11 have reported -- they would have communicated or --
12 let's use the word "reported" -- reported to me
13 professionally if there were issues in relation to
14 professional issues, whether that was clinical services,
15 clinical service development that they wanted to see, if
16 they wanted to appoint new consultants, if there were
17 issues in relation to training of junior doctors, they
18 would have reported to me.

19 THE CHAIRMAN: And in essence, that's because you yourself
20 are a doctor and you would have had -- might have
21 a better understanding than Mr McKee, who's not
22 a doctor, would have had about various aspects of the
23 things for which they're responsible?

24 A. That would be right, yes. And ultimately, I would be
25 the person that Mr McKee would turn to at any Trust

149

1 aware of that was at or around the time of the inquest.
2 And again, one of the things I'm struggling with now is
3 having read so many transcripts in relation,
4 particularly to Claire's case, was trying to put myself
5 in the position of what it would have been in 1996
6 rather than what I've read and heard and learnt. But
7 I would have thought there was sufficient happening in
8 Claire's case that that should have been brought to the
9 attention initially of the clinical director and then
10 subsequently ... There were issues there that should
11 have been explored that would have been my
12 responsibility.

13 Q. Fair enough. Would you classify that as a failing
14 in the system?

15 A. I think the system did not do justice to Claire.

16 THE CHAIRMAN: Doctor, I have to say to you that I can
17 understand what you said about Claire, but in terms of
18 Adam there has been -- the debate which you heard today
19 in fact is a debate which has emerged only very recently
20 about the extent to which hyponatraemia played a role in
21 Adam's death. Because at the inquest in 1996 the
22 finding was that hyponatraemia was the main cause. And
23 I've understood from the evidence that has been given
24 previously to the inquiry in the spring that that was
25 the accepted position in the Royal. But whether that's

151

1 board if an issue came up and said, "Ask Dr Carson to
2 speak to that".

3 MR STEWART: And those self-same clinical directors would
4 have reported to you if they had an issue with a
5 clinician's performance, that would have come to you?

6 A. That would be my expectation.

7 Q. Expectation.

8 A. Yes.

9 Q. Of course, in the cases we are dealing with, Adam and
10 Claire, in neither case was the clinical director
11 informed of the death. And in neither case did
12 information come to you directly through that route.

13 A. That's correct.

14 Q. Did that surprise you, looking back?

15 A. Um ... I think I was more surprised that
16 Claire Roberts' case hadn't been brought to my attention
17 than maybe Adam Strain's.

18 Q. Why is that?

19 A. Well, as I had the privilege of sitting in this
20 afternoon or this morning and this afternoon's
21 discussion ... Again, as a clinician, I would have seen
22 Adam Strain as being a case, as being really a very
23 complex case. The issues surrounding his death were
24 quite complex. So in some ways, I wasn't surprised that
25 his death wasn't reported to me and the first that I was

150

1 accepted or not, there was one unfortunate and awful
2 mistake made in Adam's case, made by Dr Taylor, and
3 while I understand perhaps -- this will be developed
4 more tomorrow perhaps -- about what did or didn't happen
5 after Adam and Claire's case, is it not surprising,
6 since you would expect any issue of professional
7 performance to come to you, that Dr Taylor's
8 professional performance in Adam's case didn't come to
9 you?

10 A. Um ... It's difficult. And this, I think, in some ways
11 illustrates the complexity of the responsibilities of
12 a trust medical director in handling any
13 underperformance issue within an organisation. It would
14 have been, I think ... A trust medical director would
15 more likely have been required to act if there was
16 a pattern of underperformance in regard to a doctor, if
17 complaints were beginning to emerge or if colleagues
18 were expressing concern around the capability of
19 a doctor, the capacity of a doctor to carry out their
20 clinical responsibilities. That would have been when
21 a trust medical director would have to take action. As
22 far as Dr Taylor was concerned, at no stage in the
23 run-up to Adam's surgery had I ever had any concerns,
24 either me personally or concerns or complaints expressed
25 through the professional reporting line in regard to his

152

1 competence, neither before nor subsequent to.
2 THE CHAIRMAN: Yes, but let me look at two examples with
3 you. One is if you have a doctor who -- doctors are the
4 same as lawyers, same as any other people, some develop
5 drink problems. If there's an emerging pattern of
6 a doctor coming to work smelling of drink, then that is
7 the sort of thing which -- it's a pattern of behaviour
8 which you would expect to come to you.
9 A. Absolutely.
10 THE CHAIRMAN: That's because that pattern of behaviour
11 might sooner or later endanger the safety of the
12 patients.
13 A. Mm, yes.
14 THE CHAIRMAN: Okay? But if you have a case where there is
15 a doctor like Dr Taylor, with a very good record, who is
16 trusted and liked in the hospital, but he has a terrible
17 day and it appears that that leads to the death of
18 a child, since a child has died, surely you don't wait
19 for a pattern.
20 A. Well, I mean, I indicated, I think, in previous
21 statements that deaths, either expected or unexpected,
22 were not reported to a trust medical director. I didn't
23 know that Adam Strain had died until roughly, as I said,
24 some time around the inquest. I didn't even know.
25 So patterns of behaviour are extremely important

153

1 supporting the coroner's remit if you like.
2 MR STEWART: Perhaps I can assist. We can return to this
3 another time, but Dr Murnaghan's evidence of
4 25 June 2012, page 165, starting at line 1, this is
5 Dr Murnaghan telling you about Adam Strain's death and
6 the inquest. He told this inquiry:
7 "I'm almost certain that I would have told him that
8 Dr Taylor had a different view and he was advancing
9 various arguments in his support. How much more I told
10 him of that, I don't know. I would have told them that
11 the coroner was involved and was going to hold an
12 inquest. I do not know what we agreed after that,
13 I can't remember, but I know that Dr Carson is on the
14 witness list."
15 He's saying he can't remember, but you may remember
16 more, but he's definitely saying that it was before the
17 inquest and that there was a difference of opinion.
18 A. I honestly can't recall here. It would not have been
19 a surprise to me that Dr Murnaghan says I'm down to --
20 I'm going down to the coroner's inquest. I certainly
21 cannot recall at all Dr Murnaghan saying to me that
22 there was a difference of view, I suppose, in relation
23 to Dr Sumner's evidence to the coroner. Is that what
24 we're referring to? I do not recall at all Dr Murnaghan
25 having that discussion with me.

155

1 triggers. That doesn't -- and I think if there were
2 indications that a doctor required training or
3 supervision, yes, that's the sort of thing. But that
4 would normally come to the clinical director or the
5 trust medical director on the basis of reports from
6 others. If that doesn't come to you as trust medical
7 director, then you're in ignorance.
8 MR FORTUNE: Sir, without jumping the gun as to what we
9 might discover tomorrow, having listened carefully to
10 Dr Carson, it rather begs the question as to what
11 Dr Carson will make of paragraphs (f) and (m),
12 particularly against the background, as we now know, of
13 the many discussions in the meetings involving
14 George Brangam as the Trust solicitor, leading up to the
15 inquest into Adam's death and the reconciliation or the
16 attempt to reconcile the diametrically opposed
17 positions. Surely those matters would be well within
18 ambit or the remit of the medical director,
19 paragraph (m).
20 THE CHAIRMAN: That depends, I think, on the point at which
21 Dr Carson became aware of Adam's death. Do you remember
22 if that's prior to the inquest or afterwards?
23 A. I honestly can't remember. As the inquiry knows, and
24 it's been part of ... Dr Murnaghan's role as director of
25 medical administration in terms of supplying and

154

1 Q. Perhaps Professor Savage.
2 THE CHAIRMAN: I think it's a bit more than Dr Sumner's
3 view. It's the view held by Dr Taylor on the one hand
4 and by Mr Keane and Professor Savage on the other about
5 what went wrong in Adam's treatment.
6 A. I certainly was not aware of that prior to the inquest.
7 THE CHAIRMAN: Okay.
8 MR STEWART: When Adam died, his death was brought to the
9 attention of Dr Murnaghan immediately because there was
10 a referral to the coroner.
11 A. Mm-hm.
12 Q. Dr Murnaghan's reporting and accountability lines were
13 somewhat different to the other clinical leads and
14 people in his position in the corporate structure, were
15 they not?
16 A. I can't recall accurately. Dr Murnaghan was in post as
17 director of medical administration before we became
18 a trust. I can't remember when he was appointed to take
19 on this medical administrative role. I can't remember
20 the commencement of that. Dr Murnaghan, prior to that,
21 had been a consultant obstetrician in the Royal
22 Maternity Hospital. And prior to trust status, there
23 would have been what was called a unit clinician, who
24 sat on the executive team of the hospital, as we're
25 a directly-managed unit, and I think Dr Murnaghan and

156

1 his predecessors would have acted as literally a medical
2 administrative position in the hospital.

3 Prior to 1993, when the organisation was directly
4 managed by the Eastern Health Board, a consultant's
5 contract -- my contract at that time, as a consultant
6 anaesthetist, was held in the Eastern Board. But
7 doctors in training or junior doctors who might have
8 been appointed for one year or three years as part of
9 a rotation, their contracts were held at hospital, at
10 unit level. So there was an administrative structure
11 within the hospital. And Dr Murnaghan managed and
12 administered that aspect, if you like, of medical
13 administration among other responsibilities, working in
14 association with the coroner, handling negligence cases,
15 looking after clinical or medical audit, as it was in
16 those days.

17 So Dr Murnaghan was in position and I suspect his
18 contract or whatever contract he had as a director of
19 medical administration probably ran seamlessly through
20 from the period when he was working in
21 a directly-managed unit to when he became in the trust.
22 And again, I suspect that his ... I would know that his
23 contract initially would have been just the same as
24 those first wave clinical directors, "accountable to and
25 reporting to the chief executive". He, however, was, if

157

1 THE CHAIRMAN: In hierarchical terms, you were senior to
2 him. Your query is whether he's quite right in saying
3 that he was accountable to you.
4 A. Yes. He would not have been accountable to me.
5 THE CHAIRMAN: Okay.
6 A. He discharged many functions for me, let's put it that
7 way.
8 MR STEWART: Were those functions that you delegated to him?
9 A. I personally didn't. They were functions that he
10 delivered before I was appointed as trust medical
11 director and it continued seamlessly on into the period
12 when we became a self-governing trust.
13 Q. It would seem that unexpected deaths were reported to
14 Dr Murnaghan and, for example, Adam Strain's death was
15 reported to him.
16 A. Yes.
17 Q. It wasn't reported to the clinical lead, it wasn't
18 reported to you, it went to him. This is a case where
19 the anaesthetist, Dr Taylor, said, "I don't know what
20 happened, I don't know why the child died". This is
21 a case where they look at the machinery and the
22 equipment and they say, "It's okay". They don't know at
23 the beginning what caused this death. Would you not
24 have expected Dr Murnaghan to report that to you, the
25 totally unexpected, totally inexplicable death. Would

159

1 you like, my left hand in many ways.

2 As I said, I, as a trust medical director, had one
3 personal secretary who administered my diary and my
4 commitments. Dr Murnaghan delivered many of the
5 responsibilities that I would have had to answer for or
6 report to the trust board on. So the whole area of risk
7 management, clinical audit, junior doctors' hours, those
8 things were the responsibility of Dr Murnaghan. He
9 would have reported -- and it is "report" with a small
10 R.

11 THE CHAIRMAN: The two of you worked very closely together
12 then?

13 A. Very close as his office was convenient to mine, the
14 same building.

15 MR STEWART: Indeed, he's told us that he was accountable to
16 you and also accountable to the chief executive.

17 A. I suspect that's not correct. He was accountable to the
18 chief executive and he also reported to the
19 chief executive. I think. That's what my understanding
20 is.

21 THE CHAIRMAN: You would have been senior to him as you're
22 the deputy chief executive as well as being the medical
23 director, aren't you?

24 A. I was, yes. He was senior to me in years. He was in
25 position before I was, but ...

158

1 that not have been reported to you?

2 A. That would not have been unreasonable, yes.

3 Q. Would you go further to say that that should have
4 happened?

5 A. Should it have happened? I think so. In the light
6 of -- certainly in the light of, I would say, very early
7 developments in our clinical governance agenda within
8 the Trust, that should have happened.

9 THE CHAIRMAN: But, sorry, doctor, I can understand that --
10 I'm querying whether we get hung up on what stage
11 governance had developed. I think that might be more
12 relevant if we were looking at cases here where children
13 hadn't died, but when we're looking at cases where
14 children died, is it not the case that whatever the
15 precise development of governance and governance theory
16 and governance systems, you have here a child who has
17 died unexpectedly where the equipment in the hospital is
18 checked, it turns out not to be the problem. The
19 anaesthetist who is in charge of the operation, he's
20 saying "I don't know what went wrong". Two others who
21 are very closely involved are saying, "Unfortunately, we
22 think we do know what went wrong and we think it was
23 Dr Taylor who went wrong". Surely, on any view, that
24 should reach you well before the inquest.

25 A. I would have expected that, I would have to say that.

160

1 THE CHAIRMAN: That's why I was a bit surprised when you
2 said earlier that you were more surprised that Claire's
3 case hadn't come to you than Adam's. Because --
4 A. I think I've been influenced in Claire's case by a lot
5 of the factors that I've read through the transcripts.
6 I have to say, chairman, that in Northern Ireland the
7 vast bulk of deaths occur in hospitals. That's a fact
8 of life. Patients either are admitted to hospital in
9 a terminal condition and they die there or some patients
10 are brought to hospital and ultimately die there. The
11 Royal, again, being a regional centre, would have had
12 a significant number of complex cases admitted to it,
13 and the history of the hospital was such that there were
14 many other traumatic deaths taking place. A lot of our
15 patients were referred to HM Coroner for -- I don't know
16 how many inquests a year would have taken place.
17 I would say it was certainly on average somewhere
18 between 6 and 10 inquests a year on patients dying in
19 the Royal.
20 Now, there is absolutely no way that I as Trust
21 medical director in 1993/1995, or dare I say it, even
22 slightly later than that, would I have been able to
23 investigate each and every death that took place in the
24 Trust, even ones that were referred to the coroner.
25 THE CHAIRMAN: No, and I don't think that's -- I'm not

161

1 MR STEWART: I hope tomorrow to go through a number of the
2 guidelines and directives and circulars that would have
3 been in your armoury when dealing with risk management
4 and patient safety issues. One of them we're going to
5 look at tomorrow is -- you were talking about people
6 seeing the coronial system as being the ultimate
7 investigative force. Just at this stage, having said
8 that, I draw to your attention 314-016-010. This is
9 from the guidance issue with effect from 1 April 1996 on
10 complaints. Here at paragraph 4.18:
11 "The fact that a death has been referred to
12 the coroner's office does not mean that all
13 investigations into a complaint need to be suspended.
14 It is important for the trust or FHS practitioner to
15 initiate proper investigations regardless of
16 the coroner's enquiries and where necessary to extend
17 these investigations if the coroner so requests."
18 So even at that time, can I suggest to you that the
19 referral to a coroner was not regarded as the end of the
20 matter?
21 A. Could you remind me what this extract is from?
22 Q. The front page is 314-016-001. Do you recognise that
23 document? It's not the actual directive itself, it's
24 the guidance procedure.
25 A. Yes. And again, the inquiry will be aware that the

163

1 saying the bar is being raised that high. I think what
2 the suggestion is that you should at least have some
3 information about what's going on because that will help
4 you to decide: is this something that I should be
5 investigating or the hospital should be investigating
6 internally or is it something which we can leave to the
7 coroner at least for the moment?
8 A. I have to say that would be my expectation. There was,
9 however, I think, a prevailing view at that time that
10 the coroner's inquest was the ultimate evaluation of
11 what went on, what was the cause of death. So in many
12 ways, I suspect many organisations would have looked to
13 the coronial system to provide that independent
14 assessment of what happened to a particular patient.
15 Maybe there was over-reliance on that and maybe the
16 governance arrangements within self-governing trusts
17 weren't sufficiently sophisticated at that time to
18 enable trust medical directors to probe more fully.
19 There's no doubt that in the later 1990s and into the
20 2000s, and certainly when Dr McBride took over from me,
21 the trust did put in place further developments
22 in relation to what to do when something went wrong, but
23 I have to say maybe that at that time it maybe wasn't as
24 refined as it could have been or it should have been.
25 THE CHAIRMAN: Okay.

162

1 process for handling and managing complaints
2 investigation was the responsibility of the director of
3 nursing, and obviously the chief executive responded
4 ultimately to complainants in writing as a definitive
5 end stage of that process. But I mean, I don't ...
6 It is quite clear what the guidance from the HPSS was at
7 that time and the HPSS executive in that regard.
8 I would agree with that.
9 Q. You'd agree with that?
10 A. Yes.
11 Q. Also, it says elsewhere at 314-016-001 in relation to
12 proper -- sorry, I've got that there. If you'll allow
13 me a second, I'll find it. Initially, it says when
14 there is an indication of litigation that the principles
15 of good risk management should be applied and that
16 a full and thorough investigation be pursued. So it's
17 fairly strong in its guidance on when investigations
18 should be pursued. Was this document given much
19 credence or recognition at the time?
20 A. Is it coming up on the screen?
21 Q. If you'll allow me a second, I'll try to find --
22 A. I think there were ... I mean, a lot of the guidance
23 that was being issued by the management executive at
24 that time came down into the trusts and they were
25 certainly disseminated down to clinical directorates.

164

1 It would have been the responsibility of the directorate
2 management team to put in place any recommendations that
3 came through from circulars that arrived in the
4 chief executive's office. So the short answer is, yes,
5 they were followed through to the best of our ability at
6 that time and the infrastructure that was in place.

7 And certainly complaints, if a complaint had ...
8 I wasn't aware of a complaint in relation to
9 Adam Strain. I may be wrong there. If there was
10 a complaint raised about a doctor, the director of
11 nursing would have brought that quite specifically to my
12 attention.

13 Q. The reference I was trying to draw your attention to was
14 at 314-016-017, which deals possible claims for
15 negligence. At paragraph 5.45:

16 "In all prima facie cases of negligence or where the
17 complainant has indicated that they propose to start
18 legal proceedings, the principles of good claims
19 management and risk management should be applied. There
20 should be a full and thorough investigation of the
21 events. In any case, where the Trust/Board accepts
22 there has been negligence, a speedy settlement should be
23 sought."

24 In April 1996 a formal solicitor's letter of claim
25 was dispatched and received by the trust in relation to

1 Adam Strain. So it would seem that this would indicate
2 that a full and thorough investigation was indicated.

3 A. I would accept everything that's written under 5.45
4 there as being what should happen. But what was missing
5 was how that investigation should be conducted. There
6 was no guidance that I'm aware of as to how an
7 investigation should take place, and I think that's
8 still an issue today.

9 Q. Well, in 1955 --

10 THE CHAIRMAN: Okay, well, forget about 1955, if we look at
11 5 o'clock tonight, if you don't mind taking a break at
12 this point.

13 A. I'm at your disposal.

14 THE CHAIRMAN: Can we pick it up tomorrow morning?

15 Thank you very much. We'll sit at 10 o'clock tomorrow
16 morning and resume with Dr Carson. Thank you.

17 (5.00 pm)

18 (The hearing adjourned until 10.00 am the following day)

19

20

21

22

23

24

25

1 I N D E X

2 PROFESSOR FENELLA KIRKHAM1
3 (continued)
4 PROFESSOR DIETZ RATING (continued)1
5 Questions from MS ANYADIKE-DANES1
6 (continued)
7 DR IAN CARSON (called)118
8 Questions from MR STEWART118
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25