

2 (11.00 am)

3 (Delay in proceedings)

4 (11.16 am)

5 Housekeeping discussion

6 THE CHAIRMAN: Good morning, everyone. Just before we  
7 start, let me make a few preliminary points. The first  
8 is that the ruling which I was asked to give on behalf  
9 of Dr Sands about what Mr and Mrs Roberts were  
10 contending about Dr Sands' note, that ruling will now be  
11 given on Thursday morning.

12 Secondly, I will develop this more over the next day  
13 or two, but from now on the inquiry will not accept any  
14 statements which are volunteered to the inquiry without  
15 the inquiry asking for them. I understand why this has  
16 happened to date. For instance, Professor Young has  
17 volunteered a number and Dr Carson volunteered one,  
18 which reached us on Friday afternoon, but we can't  
19 continue to run the inquiry on the basis that people  
20 send in statements at their whim. So I'll be issuing  
21 a more specific format on that over the next day or two,  
22 but from now on the procedure is that if anyone has  
23 provided a statement and wants to add to it, that person  
24 has to outline what they propose to say to the inquiry's  
25 solicitor in a preliminary note and only if that is

1 THE CHAIRMAN: That's exactly the point. We can't have the  
2 evidence being given and then somebody saying, "Here's  
3 another statement from me", and either perhaps another  
4 written statement from Dr Steen or another written  
5 statement from Dr Sands or a request that everybody  
6 starts coming back into the witness box. I can't run  
7 the inquiry on that basis. So what I'm doing for the  
8 moment is saying that we've received a statement and  
9 I will make sure it is circulated to everybody today and  
10 we will discuss over the next few days, after you've had  
11 a day or two to look at it and maybe take instructions  
12 from your client, about how that might be dealt with.

13 MR FORTUNE: Thank you, sir.

14 THE CHAIRMAN: For this morning's purposes, we're going  
15 back, as you all know, to an outstanding issue in Adam's  
16 case, which arose from the reports which we received  
17 from Professor Kirkham. You'll remember in February  
18 that led to the start of the inquiry being delayed and  
19 there were two experts' meetings in Newcastle.  
20 Subsequent to that, the inquiry engaged  
21 Professor Rating, he has provided his report, and  
22 you will have seen the exchanges which followed between  
23 Professor Kirkham and Professor Rating with  
24 a contribution being sought from Dr Squier.

25 What we propose to do today is to have

1 approved will a further statement be accepted.

2 Tied into that is the fact that Professor Young  
3 volunteered another statement last week, which I think  
4 has been circulated. Has it reached you for one,  
5 Mr Fortune?

6 MR FORTUNE: No, sir.

7 THE CHAIRMAN: I'll make sure it reaches you today because  
8 it is expressly critical of Dr Steen. So what he has  
9 done is, having given his oral evidence and then  
10 Dr Steen having given her further evidence, he has come  
11 back and volunteered another statement in which he has  
12 been critical of her. I'm unhappy with this sequence of  
13 events, so that's why I've now decided that we can't  
14 continue to accept volunteered statements. The  
15 immediate question is, since I've seen Professor Young's  
16 statement, how that is handled; okay? So I'll make sure  
17 you get that today. It's also relevant, Mr Quinn, to  
18 your clients and perhaps also to Dr Sands.

19 MR FORTUNE: Following on from that, sir, I would be  
20 concerned -- just as I'm sure everybody else will be  
21 concerned -- with subsequent applications for clinicians  
22 to be recalled.

23 THE CHAIRMAN: Absolutely.

24 MR FORTUNE: That cannot be, frankly, in the interests of  
25 everybody.

1 Professor Kirkham and Professor Rating given evidence  
2 together. The third person you'll see here today is  
3 Miss Eva Ewart, who is an interpreter. She is here  
4 effectively as back-up or support for Professor Rating.  
5 I hope that it's not necessary for her assistance to be  
6 sought very much because I understand that  
7 Professor Rating's English is actually very good, but  
8 there may be a few moments during the day when he needs  
9 some additional support.

10 So unless anybody has any specific point to raise or  
11 objection to make about Professor Kirkham and  
12 Professor Rating giving evidence together, I intend to  
13 call the two expert witnesses and the interpreter to be  
14 sworn. Is there any difficulty? Okay, thank you very  
15 much.

16 PROFESSOR FENELLA KIRKHAM (called)

17 PROFESSOR DIETZ RATING (called)

18 Questions from MS ANYADIKE-DANES

19 MS ANYADIKE-DANES: Good morning.

20 As the chairman said, we are revisiting a matter  
21 that we last dealt with many months ago. In order to  
22 assist, there is a summary of events that the inquiry  
23 prepared, and you can see that at 240-003-001. It has  
24 the benefit of being quite short. You will see it goes  
25 through who the inquiry experts are, and then the next

1 page on, who was subsequently engaged, and then just  
2 at the bottom you see a title, "Emerging differences  
3 amongst the experts". That is summarised on the  
4 succeeding four pages, including their notes. If one  
5 goes to 007, you see the nub of it, which is the cause  
6 of Adam's death as it's recorded on the verdict on  
7 inquest, and what it is that the inquiry has been asked  
8 to consider in relation to the cerebral oedema.

9 So that's a summary, just to try and bring you up to  
10 speed. There are some quite technical arguments amongst  
11 all the experts. The chairman has referred to two  
12 meetings; you may recall there was one meeting  
13 in February and another meeting in March. The inquiry  
14 produced a summary to try and set out in schedule form  
15 what the differing experts were saying at that time.

16 If I take you to 306-016-130. This is the  
17 information that we had from the experts before they had  
18 attended the experts' meeting. Across the top are not  
19 all the inquiry's experts engaged in Adam, but those  
20 that are relevant to this issue. So you have:  
21 Professor Kirkham, of course, the paediatric  
22 neurologist; Dr Squier, who was giving evidence a little  
23 while ago, who's the pathologist; Professor Gross who is  
24 an internalist; Dr Haynes, who is a paediatric  
25 anaesthetist; and Dr Coulthard, who is a paediatric

5

1 experts have made, but these two present today are from  
2 precisely the same discipline, and so although there  
3 might have been differences between, for example,  
4 Dr Haynes and Dr Kirkham or Dr Haynes and  
5 Professor Gross, they were all from different  
6 disciplines; those two experts are from the same  
7 discipline, so the differences between them perhaps are  
8 more significant for the inquiry to understand the basis  
9 of them and the importance of them.

10 You should also have received the curriculum vitae  
11 of the two experts. Professor Kirkham, do you have your  
12 curriculum vitae there?

13 PROFESSOR KIRKHAM: Yes.

14 Q. Professor Rating, do you have yours?

15 PROFESSOR RATING: Yes.

16 Q. Professor Kirkham's curriculum vitae can be found at  
17 306-095-001, and I'm going to ask her some things about  
18 that in a moment. Professor Rating's curriculum vitae  
19 can be found at 306-097-001.

20 If we can just keep Professor Kirkham's CV there for  
21 a moment because I'm going to ask firstly about that and  
22 then I'm going to turn to Professor Rating's CV.

23 In addition, it is possible that both experts will want  
24 to refer to some of the more significant papers or  
25 articles that have been relied upon in terms of trying

7

1 nephrologist.

2 And down the side we took some of the issues that  
3 had caused difference between them. From developmental  
4 delay, we looked -- I'm not going to take you through  
5 all these, just to give you an indication. The various  
6 risk factors that it was thought existed for conditions  
7 such as acute venous thrombosis that was being  
8 considered, the fact that he was polyuric and the  
9 significance of that, and so on.

10 Then down on to the conditions that were being  
11 considered, venous sinus thrombosis and PRES. And on to  
12 the hyponatraemia itself: we then produced another  
13 schedule, which is at 306-017-146. This was to reflect  
14 the position after the meeting of the experts. It  
15 follows precisely the same style in terms of the  
16 categories of issues and the experts whose views we had  
17 gathered. The actual discussion can be found on the  
18 website in two transcripts, if you wanted to, but this  
19 was to try and gather it up under those particular  
20 headings.

21 So the purpose today, really, is to deal with the  
22 differences that have emerged between, or that exist,  
23 between Professor Kirkham and Professor Rating. But  
24 I will be asking them to address some of the other  
25 points that the inquiry's experts have made or other

6

1 to have them explain what they think happened to Adam  
2 and how the cerebral oedema developed and its role in  
3 his death, or at least the role of the hyponatraemia in  
4 his death.

5 The first document to help you with that is  
6 a spreadsheet of articles that Professor Kirkham  
7 produced and attached to her second report. That can be  
8 found at 208-007-116. You can see the style of the  
9 thing. It has the author, she has categorised it in  
10 terms of relevance for certain factors, and if we go to  
11 the next page, which is 117, you can see she's got  
12 across what would be the top, but it's the side there,  
13 certain factors in the studies, whether they were noted  
14 as having headache, for example, seizures, and what the  
15 Glasgow Coma Scale was, and whether there was a CT scan  
16 and what that showed. It may be that she will go  
17 through some of those in terms of explaining the  
18 literature and how that assists.

19 In terms of the articles that may be mentioned, some  
20 of them we'll have to have paginated for you. The first  
21 one, which we already have paginated, is the 1992  
22 article by Professor Arieff and others:

23 "Hyponatraemia and death or permanent brain damage  
24 in healthy children".

25 That's to be found at 011-011-074.

8

1 I think there's about two or three others. I'll  
2 just tell what you they are. One is Moritz & Ayus.  
3 These are also articles that were discussed in  
4 Newcastle. That article was about preventing  
5 neurological complications from [inaudible] in children.  
6 Then a third article is by Halberthal and  
7 Professor Bohn, who's one of the peer reviewers for the  
8 inquiry. That's:  
9 "Acute hyponatraemia in children admitted to  
10 hospital: a retrospective analysis of factors  
11 contributing to its development and resolution."  
12 And then there is an article, another Canadian  
13 article, Hoorn et al -- and also Professor Bohn:  
14 "Acute hyponatraemia related to intravenous fluid  
15 administration in hospitalised children: an  
16 observational study."  
17 And then finally an article of a study that was  
18 drawn to our attention by Professor Rating. It's by  
19 Witt et al and others and that is:  
20 "Safety of glucose-containing solutions during  
21 accidental hyperinfusion in piglets."  
22 The purpose of that study was to try and see to what  
23 extent one could replicate things and then what could be  
24 observed during the examination of the pigs after they  
25 had died.

9

1 and hypoxic exposure in sickle-cell disease.  
2 Q. Then if we go over the page, 003, your masters was in:  
3 "Cerebral haemodynamics in normal subjects and  
4 children in coma."  
5 And that was in Cambridge. You've also had  
6 awards: Best Doctors in Europe 2000, and renewed in  
7 2007. Does that mean you also got the same award in  
8 2007?  
9 PROFESSOR KIRKHAM: Yes.  
10 Q. And then if one looks at 004, one sees your professional  
11 history, and is what you're indicating down that  
12 left-hand side the hospitals you've actually worked in?  
13 PROFESSOR KIRKHAM: Yes.  
14 Q. And as well as being a clinician, you're also an  
15 academic; would that be fair to say?  
16 PROFESSOR KIRKHAM: Yes.  
17 Q. If one goes to 005, one sees the professional bodies  
18 that you're a member of: Royal College of Physicians.  
19 And you were also a founding member and a founding  
20 fellow of certain -- that's the Royal College of  
21 Paediatrics and Child Health, you were a founding fellow  
22 there, 1997.  
23 PROFESSOR KIRKHAM: Yes.  
24 Q. And as founding member, you were a founding member of  
25 the European Society of Paediatric Neurology and also

11

1 So those are some of the articles that may be  
2 referred to and we'll try and make sure they're all  
3 paginated by the next break so they can come up and you  
4 can follow what is being discussed in relation to them.  
5 If we can please pull up again Professor Kirkham's  
6 CV, 306-095-001. And if we go straight to 002.  
7 Professor Kirkham, looking at that, do I take it that  
8 you first became a consultant in paediatric neurology  
9 in December 1999?  
10 PROFESSOR KIRKHAM: No, I was a consultant at Great Ormond  
11 Street from June 1990.  
12 Q. I beg your pardon. Professor Kirkham, you don't need to  
13 stand to deliver your evidence.  
14 Then you were at Great Ormond Street, and you were  
15 also at Southampton; is that correct?  
16 PROFESSOR KIRKHAM: Yes.  
17 Q. You were a visiting associate professor of paediatric  
18 neurology in the Washington University School of  
19 Medicine. And that was in 2004.  
20 PROFESSOR KIRKHAM: Yes.  
21 Q. How long did you spend there?  
22 PROFESSOR KIRKHAM: I have an ongoing collaboration with  
23 St Louis and I'm still an associate professor there.  
24 Q. What took you there, was it a particular area of study?  
25 PROFESSOR KIRKHAM: Yes. Particularly sickle-cell disease

10

1 the European Academy of Childhood Disability. Do you do  
2 much collaborative research work with other European  
3 academics?  
4 PROFESSOR KIRKHAM: Yes. I work particularly with Dr Ulrike  
5 Nowak-Gottl in Kiel on looking at stroke in children and  
6 with a number of other European academics,  
7 Professor Kees Braun in Utrecht, other people in France,  
8 Professor Chablier in Montpellier [sic].  
9 Q. As well as your collaborative work in North America?  
10 PROFESSOR KIRKHAM: Yes.  
11 Q. And then if one looks at your committee membership, you  
12 also were on the BPNA working party on the development  
13 of a coma scale. Does that mean a development away from  
14 the Glasgow Coma Scale, an alternative scale?  
15 PROFESSOR KIRKHAM: It's not an alternative; it's looking at  
16 the available ways of determining coma score in young  
17 children. The Glasgow Coma Score is for adults and  
18 pre-verbal children were not able to be documented  
19 properly. There were a number of alternative scales  
20 developed: a European one and one developed in the  
21 States. We developed a working party to look at it and  
22 see one was the best and then implement that across the  
23 UK.  
24 Q. Did that in fact result in a scale?  
25 PROFESSOR KIRKHAM: Yes.

12

1 Q. Then we see your other committee memberships. If one  
2 goes to 006, it's headed up "peer review". Does that  
3 mean the work that you do for that grant-assisted work  
4 and the papers in those journals, all that work is peer  
5 reviewed?

6 PROFESSOR KIRKHAM: This is actually my peer review of other  
7 people.

8 Q. You are peer reviewing?

9 PROFESSOR KIRKHAM: Yes. Then beyond that is the grants  
10 that I've had and the papers I have published.

11 Q. If we look at 007, those are the grants that you've got.  
12 For example, that first one, the National Heart, Lung  
13 and Blood Institute of America. That is for  
14 \$2.5 million. That is going to be peer reviewed work?

15 PROFESSOR KIRKHAM: Yes.

16 Q. As is all that work, is it?

17 PROFESSOR KIRKHAM: Yes, it has to be peer reviewed.

18 Q. If one goes on a few pages to 009, you have listed there  
19 the talks and the sessions that you have chaired. In  
20 fact, if we go over the page to 010, we see a reference  
21 to venous sinus thrombosis in that third paper. There's  
22 another reference about three-quarters of the way down  
23 to cerebral venous sinus thrombosis and its causes, and  
24 there's quite an a bit of reference to studies in coma  
25 in children. And if we go just below that second

13

1 cardiac surgery."

2 And then finally, at 015:

3 "The natural history of coma after cardiac arrest."

4 Just so that we are clear, when you talked about the  
5 potential significance of Adam having an enlarged heart,  
6 from those papers it would seem that you have some  
7 familiarity with the likely significance of that.

8 Can you explain your work briefly in that area?

9 PROFESSOR KIRKHAM: I've had a long-standing interest in the  
10 neurological complications of congenital heart disease  
11 and its treatment and also have looked at the prediction  
12 of outcome from cardiac arrest in childhood. So I've  
13 worked with my cardiologists colleagues for a long time  
14 looking at mechanisms for brain injury in such  
15 circumstances to try and prevent them.

16 Q. Have you done any work with children with learning  
17 disabilities? I see a paper at 013, "Treatable  
18 neurology in children with learning disabilities". Are  
19 children with those sorts of disabilities part of the  
20 work that you have done?

21 PROFESSOR KIRKHAM: Yes, very much so. That's part of the  
22 work of a paediatric neurologist and I've taken  
23 a long-standing interest in working with children with  
24 learning disabilities to maximise their potential.

25 Q. Then if we go to the next page, 014, I had mentioned

15

1 reference to cerebral venous sinus thrombosis, we see,  
2 "Coma: the black box". That was part of the Festschrift  
3 for Professor Brian Neville. That is Professor Neville  
4 who's given evidence in the inquiry in Claire's case: is  
5 that right?

6 PROFESSOR KIRKHAM: That's right, yes.

7 Q. Over the page to 011, you have got a paper on the  
8 Glasgow Coma Scale.

9 PROFESSOR KIRKHAM: Yes. That was a debate about the use of  
10 the Glasgow Coma Score and the BPNA-recommended one.

11 Q. And then if we go over the page again to 012. You made  
12 some references to the possible significance in Adam's  
13 case of his having had a slightly enlarged heart for  
14 a child of his age. And there might have been an issue  
15 as to the extent to which you were familiar with  
16 paediatric heart conditions. If we look again about  
17 three-quarters of the way down that page, we see  
18 a paper, "The neurology of congenital heart disease".

19 If we go over the page again, 013, in roughly the  
20 same place:

21 "Risk factors and prevention of neurological  
22 complications after cardiac surgery in children."

23 Over the page again:

24 "Neurological problems associated with cardiac  
25 disease in childhood and neurological complications of

14

1 before that you had earlier had quite a bit of reference  
2 to paediatric coma. And we see it there as well. I'm  
3 going to ask you about that because you have a summary  
4 of what your actual research interests are. But just  
5 almost at the bottom of that page, the third paper up,  
6 "Cerebral perfusion in the unconscious child"; is that  
7 an interest of yours?

8 PROFESSOR KIRKHAM: Yes, that's what my MD was on, cerebral  
9 haemodynamics and perfusion pressure in unconscious  
10 children, and my original research for three years was  
11 on that in the 1980s under the supervision of  
12 Professor Neville.

13 Q. If we just look quickly at 017, it has you under that  
14 title examining -- that's you being the external  
15 examiner in PhDs and so forth; is that right?

16 PROFESSOR KIRKHAM: Yes.

17 Q. At 018, that's your teaching work?

18 PROFESSOR KIRKHAM: Yes.

19 Q. If I can bring you to what I had just mentioned there,  
20 which is your research activity, 021. You have tried to  
21 summarise for us there -- you say:

22 "I have had a long-standing interest in the  
23 detection and prevention of brain damage in acutely sick  
24 children."

25 And you talk about your work at Guy's and your

16

1 interest in cerebral ischaemia and in methods of  
2 deciding whether or not cerebral blood flow was  
3 adequate, and you go on to talk about the grants that  
4 you have got from the British Heart Foundation to study  
5 the monitoring of cerebral perfusion and function in the  
6 unconscious child and also your interest in the role of  
7 seizures and status epilepticus in causing secondary  
8 deterioration after acute insults.

9 And then finally, from there, the development of  
10 techniques for imaging and monitoring cerebral perfusion  
11 and for documenting seizures which have allowed insights  
12 into the pathogenesis of secondary deterioration after  
13 brain insults and hopefully leading to the development  
14 of collaborative controlled trials.

15 Can you help us with understanding exactly how that  
16 interest of yours and the work that you've done in it  
17 fits in with what you have been asked to examine in  
18 terms of Adam's death?

19 PROFESSOR KIRKHAM: Well, I've been asked to examine the  
20 likely pathophysiology of Adam's death immediately  
21 post-operatively, so I've looked very carefully at the  
22 fluid management and also at other risk factors that  
23 Adam had for an acute event during the operation.

24 Q. Is that something that you will have done before in your  
25 work?

17

1 a C2 and a C3 are?

2 PROFESSOR RATING: It has to do with the standing. C4 is  
3 a little bit higher up than a C3. I am an independent  
4 chief for the paediatric department of child neurology,  
5 but the head of the Centre of Paediatrics in Heidelberg  
6 is another person.

7 Q. I understand.

8 PROFESSOR RATING: I have my own department within a centre  
9 of paediatrics and own department of paediatric  
10 neurology and they are paid a little bit different.

11 Q. And you are also both, as I understand it, a clinician  
12 and an academic.

13 PROFESSOR RATING: Yes.

14 Q. When you say that you're head of the department of  
15 paediatric neurology in the Children's Hospital, how  
16 large is the hospital, approximately?

17 PROFESSOR RATING: We had, at that time, 188/190 beds, and  
18 I was -- the department of paediatric neurology at that  
19 time was 21 beds, and I was furthermore ... You can  
20 judge it that about a quarter of the patients in  
21 a paediatric hospital have paediatric neurological  
22 problems. That means a quarter of all. That means  
23 I have to look to the oncology department, for the  
24 intensive care unit, for the paediatric cardiologists,  
25 because in the hospital is a department, their own

19

1 PROFESSOR KIRKHAM: Yes, most of my work would involve  
2 looking at the causes of cerebral oedema and looking at  
3 risk factors for brain damage and death in the context  
4 of intracranial hypertension.

5 Q. Thank you. Then I'm not going to go through it all  
6 because it's quite extensive, but the successive  
7 sections deal with your publications, the books that  
8 you have published and articles and so forth.

9 The interests that I was just taking you to there,  
10 which bear on the work on Adam, is that an ongoing  
11 research interest for you?

12 PROFESSOR KIRKHAM: Yes, very much so.

13 Q. Thank you very much indeed.

14 Professor Rating's CV is to be found at 306-097-001.  
15 We didn't ask you for your full CV, so you have provided  
16 a synopsis of your CV as I understand it, because I note  
17 that you have very many papers and books that you have  
18 published, but you haven't provided us with your full  
19 academic CV, but I wonder if you can help us on the  
20 basis of this.

21 If one looks at that first page, we see that from  
22 1985 to 1989, it says:

23 "C2 professor in the department of paediatrics at  
24 Gottingen."

25 Can you help us with what the differences between

18

1 department of paediatric cardiology, with operating  
2 complicated heart disease and for those, when they're  
3 coming up, neurological problems, that's my task to  
4 operate.

5 Q. Was it a specialist centre for that type of research?

6 PROFESSOR RATING: Yes.

7 Q. Thank you. Then if we go over the page to 002, it says  
8 in 2006 you were registered as a paediatric neurologist,  
9 a consultant. So that was your academic background when  
10 you were telling us about the difference between being  
11 a professor at C2 and a head at C3. This is now your  
12 clinical position, you're a consultant at this stage?

13 PROFESSOR RATING: No, that reflects that in Germany it  
14 needs a very, very long time that the sub-specialty of  
15 paediatric neurology was accepted by the paediatrics.  
16 We started to become our own sub-specialty around 1985  
17 or something like that and it needed quite a long time  
18 to get through, and at that time, 2006, it was accepted  
19 by the Medical Board of Germany that such  
20 a sub-specialty become -- exists at all, though we have  
21 done all the time the work, now it's legal and I'm one  
22 of the first to be there.

23 Q. I understand. Then you retired in 2008, professor  
24 emeritus.

25 PROFESSOR RATING: Yes.

20

1 Q. And you continue to work since 2009 as consultant in  
2 paediatric neurology --  
3 PROFESSOR RATING: Yes.  
4 Q. -- at a different hospital.  
5 PROFESSOR RATING: At a different hospital, yes.  
6 Q. What's the size of the hospital? Is this a hospital you  
7 currently work in?  
8 PROFESSOR RATING: That's a hospital which is in  
9 Ludwigshafen, it's a small hospital of the city of  
10 Ludwigshafen, and I'm having there -- I'm a consultant  
11 there and they have an outpatient and now it's growing.  
12 Q. I understand. It says that since 2009 you have been  
13 a member of the board of the German section of the  
14 International League Against Epilepsy; is that  
15 a particular research interest of yours?  
16 PROFESSOR RATING: My specialty -- I would say I have two or  
17 three. First, epilepsy. Then metabolic diseases and  
18 neurodegenerative diseases.  
19 Q. You detail there the studies that you've done since  
20 1990. They are multi-centre studies and it refers to  
21 European and national studies on anti-epileptic drugs;  
22 is that a European-based centre?  
23 PROFESSOR RATING: No.  
24 Q. But the studies are Europe-wide?  
25 PROFESSOR RATING: Yes.

21

1 Professor Kirkham: the assistance that you've been asked  
2 to give the inquiry in terms of Adam's death and the  
3 contribution of hyponatraemia to it, is that something  
4 that you would be working on in the normal course of  
5 events?  
6 PROFESSOR RATING: Then I would like to make this statement  
7 here: when I was asked to join this, I remember well  
8 when I was a young registrar at the hospital in Berlin,  
9 and we had a time of one or one-and-a-half years, three  
10 to four little children, most of them under the age of  
11 one, but even one was older, with hypotonic dehydration  
12 coming to the hospital. They were very, very bad, blood  
13 pressure was down, seldom blinking of the eyes, they  
14 were really dehydrated and had a sodium of 165 and even  
15 higher. At that time, we didn't have any right protocol  
16 to deal with that and we started to give them albumin  
17 that was normal for the blood pressure, but they got  
18 infused glucose, that means it was the augmentation,  
19 they have so much salt and so much sodium in it, you  
20 should not give them any sodium at all. And we saw  
21 in the next four to five hours that the patients became  
22 alert and they started to ... They became really  
23 better. And then after four to six hours, they started  
24 to seizure. And then they seized and became bad and  
25 all four died. And that was for our hospital -- we have

23

1 Q. And involve you in collaboration with other colleagues?  
2 PROFESSOR RATING: Yes.  
3 Q. And in fact, you have there the international  
4 collaborative infantile spasms study; is that something  
5 that is ongoing still?  
6 PROFESSOR RATING: Yes, it's still ongoing.  
7 Q. You have your main interests there. You have already  
8 given us the epilepsy and the neurodegenerative disease.  
9 And the mitochondrial disease, that's to the heart?  
10 PROFESSOR RATING: It has for some time been a very hot  
11 topic, but it went a little bit apart from that and went  
12 more to epilepsy because in Heidelberg we have our own  
13 metabolic department on metabolic diseases and by that  
14 it was a little bit difficult for me to cooperate with  
15 them together on this field, and by that I got a little  
16 bit more to epilepsy. That has been more important to  
17 me in the 1980s up to 1995 or something like that.  
18 Q. Yes. And then under "membership", you have listed the  
19 professional bodies that you're a member of. You're a  
20 founding and long-standing member of the executive board  
21 of EPNS and past president of the German section of the  
22 International League Against Epilepsy. Then you refer  
23 to your publications in peer-reviewed journals and,  
24 in the final page, your contributions to books.  
25 Can I ask you the same question that I asked of

22

1 realised that we have seen the same patients because all  
2 these patients came to one ward and the nurses will  
3 remember very well for it, and that was for us at that  
4 time because we have not found much clinical papers on  
5 that -- I learned by doing this job now that already  
6 in the 60s there have been papers on that, but we have  
7 not realised at that time. It was a very, very long  
8 discussion on that.  
9 Because for me, it is nearly the same. If you have  
10 a patient with a sodium of 165 and give them free water,  
11 you bring down their sodium immediately in the serum,  
12 but not in the cell. Then the process of osmosis --  
13 diffusion in the cell starts, and that's the same if you  
14 go from the 65 to 45 or if you go from 135 to 111. That  
15 was the remember of them. It was very important for me  
16 at that time. But I have never worked on that  
17 scientifically.  
18 THE CHAIRMAN: When was that approximately? When did those  
19 deaths happen? Is it the 1970s or 1980s?  
20 PROFESSOR RATING: 1973 to 1976, that direction. It was  
21 when I started. I started in the hospital 1972. It was  
22 not during the first two years, but after it. It was  
23 a young colleague and I listened to what was going on --  
24 a very shouting discussion at that time.  
25 THE CHAIRMAN: Thank you.

24

1 MS ANYADIKE-DANES: Did your hospital actually produce  
2 a protocol to deal with how to manage children who came  
3 in with that kind of condition?  
4 PROFESSOR RATING: Yes.  
5 Q. We sent you the transcripts of the discussion in  
6 Newcastle and you may recall that Dr Coulthard spoke  
7 about a similar experience, about the dangers of  
8 bringing down very high serum sodium levels too quickly.  
9 PROFESSOR RATING: Yes. At the beginning, the assistant was  
10 very proud: oh, I have brought ... 145. It's the first  
11 case here -- well done. But then they started to  
12 seizure, and then we learned that this coming down needs  
13 time, really ... You can only do one mistake to be too  
14 quick in this situation. But that is chronic  
15 hyponatraemia, it is totally different of acute. Acute  
16 means in between hours, 12 hours, 24 hours.  
17 Q. And do you equate that to a similar danger in bringing  
18 up a child too quickly who is low?  
19 PROFESSOR RATING: Yes.  
20 Q. And in fact, a child going down too quickly?  
21 PROFESSOR RATING: Is the same problem.  
22 Q. So that whole process of rate of change is what you  
23 deduced from that first experience, the dangers of that?  
24 PROFESSOR RATING: Yes. Because the cell is -- water can  
25 diffuse by osmotic ... And I think that you all, during

25

1 Professor Kirkham and therefore, in responding, by  
2 Professor Rating.  
3 The first is to do with the possibility that Adam  
4 had previous seizures and that he had some form of  
5 developmental delay and to get their views on that, and  
6 if there was any of that, what its significance is to  
7 what happened to him during the course of his transplant  
8 and how it contributes at all to an explanation of his  
9 death.  
10 So Professor Kirkham, I wonder if I could start with  
11 you. At 208-007-071, you said on the balance of  
12 probabilities, the episodes that you had described  
13 before of brief apnoeas, episodes of jitteriness,  
14 jerking of the head and transient twitching and rigors  
15 and so forth, all of which you took from the papers, you  
16 said that on the balance of probabilities you did not  
17 consider those to be diagnostic of epilepsy. And  
18 Professor Rating responded to that to say that there was  
19 no evidence of Adam having epilepsy or epileptic  
20 seizures, and he thought that you were identifying  
21 a problem of epilepsy without necessarily establishing  
22 it.  
23 So if I can just ask you to clear that up. Did you  
24 mean to suggest that there was anything in Adam's  
25 clinical history that indicated he might have had

27

1 your school life, have made this experiment with  
2 semi-permeable membranes that you give to a sugar  
3 solution, put in water, and you see how the bottle --  
4 the bag with sugar. It increase in size because water  
5 is coming in. Osmotic diffusion goes very, very quickly  
6 and there is in the brain, to my knowledge, and in other  
7 cells, no barrier for the water to come into the cells.  
8 But the correcting process -- that means to get the  
9 sodium out of the cells or to get the sodium in the  
10 cells, depending on in which situation you are, the  
11 hypernatraemic or the hyponatraemic thing -- that needs  
12 time and that needs energy. Even because it is an  
13 enzymatic process at the end, like any biological  
14 enzymatic process, it has an upper activity and an upper  
15 range of activity which cannot be overrun. And because  
16 these different mechanisms play an important role around  
17 at that time.  
18 Q. And I understand that that was a formative experience  
19 for you, if I can put it that way, but is it an area  
20 that you have since done any research in?  
21 PROFESSOR RATING: No, I have not done any research in.  
22 Q. Thank you.  
23 Mr Chairman, I was now going to embark on the  
24 substantive questioning of the issues and to go through  
25 the sections as pretty much have been addressed by

26

1 epilepsy?  
2 PROFESSOR KIRKHAM: I considered the individual clinical  
3 episodes, each in their own right, and on the balance of  
4 probabilities in paragraph 4 of my final report,  
5 I considered that there was no evidence that Adam had  
6 epilepsy.  
7 Q. So nothing of that was going to be relevant to what  
8 happened to him when he had his transplant?  
9 PROFESSOR KIRKHAM: I did not think so.  
10 Q. Thank you.  
11 PROFESSOR RATING: May I ask a question? Because there is  
12 a sentence in the way that you make the statement that  
13 because of a problem before, the body or the brain was  
14 more sensible [sic] for the hyponatraemia and by that it  
15 had come up. And then you make a statement that because  
16 of the heart diseases, the heart could not provoke an  
17 increase of blood pressure. By that you could not see  
18 that there could have happened a seizure during the  
19 anaesthesia. You have written a statement that because  
20 of heart disease, the heart could not react, exactly the  
21 blood pressure will go up and by that it would be  
22 probable not being identified. And I was a little  
23 bit -- why you are discussing such a problem.  
24 PROFESSOR KIRKHAM: Could you possibly help me with the  
25 paragraph, please?

28

1 Q. I'm just going to see if I can find it. I think it's  
2 paragraph 29, at 208-007-079. Certainly the part about  
3 the enlarged heart. And what you say there -- I think  
4 you say:  
5 "It's possible that his slightly enlarged heart was  
6 not functioning quite as well as a normal heart,  
7 reducing the ability to compensate by increasing blood  
8 pressure acutely in response to seizures or intracranial  
9 pressure waves."  
10 PROFESSOR RATING: I was wondering why you were writing  
11 that.  
12 THE CHAIRMAN: Let's just pause for a moment.  
13 Professor Rating, we're about to bring up page 079.  
14 (Pause).  
15 MS ANYADIKE-DANES: I think there's some malfunction.  
16 THE CHAIRMAN: Do you have it in front of you, professor?  
17 (Pause).  
18 MS ANYADIKE-DANES: Professor Kirkham, do you have it?  
19 Paragraph 29.  
20 PROFESSOR KIRKHAM: Yes.  
21 Q. Professor Rating, you can tell me if this is the part  
22 that you mean.  
23 THE CHAIRMAN: After the citations from the research, if you  
24 read out the last bit:  
25 "It is possible that ..."

29

1 cases -- including the cases from Berlin that you  
2 mentioned -- actually had seizures as a component of the  
3 hyponatraemia. And there is no evidence because Adam  
4 was anaesthetised and you wouldn't have seen a seizure  
5 and there is no evidence that he had seizures.  
6 My main point in paragraph 29 was to say that  
7 there's more possibility that he had raised intracranial  
8 pressure waves and he may possibly have had seizures  
9 in the operation, although I find no evidence for it,  
10 but he wouldn't have been able to compensate if he had  
11 had any need for an increase in cerebral blood flow in  
12 response to an intracranial pressure wave or to  
13 a seizure, he might have had a lesser response because  
14 of a slightly enlarged heart.  
15 PROFESSOR RATING: But for me, I have difficulties because  
16 you made the hypothesis that there was an enlarged heart  
17 and there is some cardiac problem. If I have read the  
18 papers -- and I have written my first report without  
19 knowing your paper, your report, I have not found any  
20 sign that he was in his physical alertness and that he  
21 could do what he could do ... I didn't find any link or  
22 hint that his cardiac function is not well enough.  
23 That's the first hypothesis.  
24 You make the hypothesis that there is a cardiac  
25 disease and then you make a second hypothesis that there

31

1 MS ANYADIKE-DANES: "... Adam was also hypertensive as  
2 outlined."  
3 Then Professor Kirkham goes on to say:  
4 "It is possible that Adam's slightly enlarged  
5 heart -- likely secondary to chronic anaemia -- was not  
6 functioning quite as well as a normal heart, reducing  
7 the ability to compensate by increasing blood pressure  
8 acutely in response to seizures or intracranial pressure  
9 waves."  
10 Is that the part you meant?  
11 PROFESSOR RATING: Yes. That's a citation of  
12 Professor Kirkham.  
13 THE CHAIRMAN: Yes. And your query about this,  
14 Professor Rating, is why is this issue raised at all?  
15 PROFESSOR RATING: Yes. When she is convinced that there is  
16 no epilepsy, I didn't understand why she brought that  
17 up, that by that possible seizure ... I didn't  
18 understand why it was given there.  
19 PROFESSOR KIRKHAM: I understand. So my original statement  
20 in paragraph 4 related to the possibility that Adam had  
21 had any seizures before the acute event during the  
22 operation. So that's a separate consideration. I also  
23 considered the possibility -- and it was discussed at  
24 the experts' meeting -- that he had a seizure during the  
25 operation, partly I considered that because many of the

30

1 could be a seizure, and then you make the third  
2 hypothesis that because of the heart diseases, the  
3 answer of the heart to the seizures will not be seen.  
4 That means I was puzzled by the problem that you build  
5 up such many hypotheses, one or the other, without any  
6 ground for it.  
7 Q. Just before you answer that, if I can put this in to  
8 assist. Adam's heart weighed 120 grams at autopsy and  
9 it wasn't examined, but Professor Lucas, who was the  
10 inquiry's consultant histopathologist, describes the  
11 heart. He does that at 209-002-003. He says:  
12 "It is large for a four-year-old child. However,  
13 chronic renal disease is associated with enlarged heart.  
14 The perioperative records do not indicate that there was  
15 any cardiac malfunction, whether by pressure or  
16 heartbeat."  
17 So that's, I think, Professor Rating's starting  
18 point. He might have had an enlarged heart, but there  
19 doesn't seem to be any evidence to show that there were  
20 any problems resulting from it being enlarged. And  
21 I think what he then wants to know is how you then build  
22 your successive hypotheses in the light of that.  
23 MR FORTUNE: Sir, to assist Professor Rating further, I'm  
24 looking at his report, which is 240-004-018. It's  
25 page 18. If that could go up side by side. When

32

1 dealing with paragraph 29 of Professor Kirkham's report,  
2 Professor Rating quotes Dr Haynes:  
3 "There not being any evidence of a cardiac problem."  
4 THE CHAIRMAN: Mr Fortune, could you give us the reference  
5 again?  
6 MR FORTUNE: Yes. 240-004-018.  
7 PROFESSOR RATING: Is that my first or my second report?  
8 MR FORTUNE: It is your second report, professor. It is  
9 page 18, halfway down, paragraph 29.  
10 PROFESSOR RATING: Now I have it.  
11 THE CHAIRMAN: Could I just intervene for a moment? We have  
12 a new evidence display operator today because, as you'll  
13 remember, Miss Kirwan finished before Christmas. So  
14 we'll need to -- there might be a few teething problems  
15 while he settles in. Miss Kirwan was used to the way we  
16 operate; this new man isn't.  
17 MR FORTUNE: While I'm on my feet, one of the matters  
18 that is no doubt going to be of great concern to you is  
19 to determine where there is hard evidence, where we have  
20 a possibility, or indeed where we have a probability.  
21 Could the two professors make it clear when they make  
22 a statement, whether they're dealing with hard evidence,  
23 possibilities or probabilities?  
24 THE CHAIRMAN: I'm sure they will as best they can.  
25 Thank you.

33

1 is already a bit high to compensate. It means you have  
2 less reserve and if your heart isn't working perhaps to  
3 the complete maximum, you may have less reserve. It's  
4 not a question of day-to-day, beat to beat; it's  
5 a question of if something else happens, a crisis  
6 happens.  
7 THE CHAIRMAN: Okay.  
8 PROFESSOR KIRKHAM: And my point in paragraph 29 was really  
9 to try to look at the available evidence to try to map  
10 a sequence of pathophysiological mechanisms which might  
11 make sense of Adam's death during the operation. We  
12 discussed extensively whether there was any possibility  
13 that there might have been seizures during the  
14 operation. It is possible, but at the experts' meeting  
15 we decided that it was not probable. So I don't think  
16 that we'll ever resolve that.  
17 I think that the question of seizures in this  
18 context is probably -- well, it should be set aside at  
19 least for this argument, although as Professor Rating  
20 has already said, many of the children who have died  
21 with dilutional hyponatraemia have died with seizures.  
22 So it's a mechanism, it's a pathophysiological mechanism  
23 associated with death in acute hyponatraemia, so that's  
24 why I thought about whether there were seizures or not.  
25 MS ANYADIKE-DANES: Just before we entirely set it aside,

35

1 Okay, I think Professor Kirkham, this is now coming  
2 back to you, because Professor Rating's concern is  
3 whether you built an element of your report on what he  
4 described as three false hypotheses. The first one  
5 being that there was an issue about Adam's heart, the  
6 second one was whether we had seizures and how the heart  
7 would respond to seizures and whether that would  
8 actually be seen or not. Maybe you can respond.  
9 PROFESSOR KIRKHAM: I think I need to take those elements  
10 separately. I think, on the balance of probabilities,  
11 the heart was enlarged: it was enlarged on  
12 a preoperative chest X-ray, it's common to have an  
13 enlarged heart in renal failure, it's common to have an  
14 enlarged heart in anaemia. From my experience in  
15 anaemia -- on which I have a research interest in  
16 sickle-cell disease -- we have evidence that the heart  
17 doesn't work quite so well in anaemia. Not necessarily  
18 day-to-day in maintaining normal blood pressure, but  
19 perhaps in a crisis when you need to put your blood  
20 pressure up to maintain cerebral blood flow.  
21 THE CHAIRMAN: Is that because anaemia means that you're  
22 just generally a bit weaker than you would be otherwise  
23 and, if you're a bit weaker, your organs don't respond  
24 as well as they might?  
25 PROFESSOR KIRKHAM: Well, if you're anaemic, your blood flow

34

1 just so that we know what the significance is, if it had  
2 been possible to know whether he had experienced any  
3 seizures during the course of his transplant, what would  
4 that mean? Would they be a cause of the development of  
5 his condition or would they be evidence of something  
6 that was causing his difficulty?  
7 PROFESSOR KIRKHAM: Well, I think it could be both.  
8 Basically, if you have seizures then there's usually  
9 some reasons. You can often have seizures with low  
10 sodium, with high blood pressure, with venous sinus  
11 thrombosis. It's usually a sign that the brain is  
12 compromised. And then once you have many seizures,  
13 there is a risk that the brain will be further damaged  
14 by the seizures, particularly if it happens acutely.  
15 Q. So it could provide some evidence of what was happening,  
16 but it also could contribute to the damage and his  
17 deterioration?  
18 PROFESSOR KIRKHAM: Yes.  
19 Q. But in any event, we don't know and we can't know now,  
20 so you say you put that to one side. So then what else  
21 are you dealing with as the possible significance of  
22 Adam's enlarged heart or what are you trying to explain  
23 for us in your paragraph 29?  
24 PROFESSOR KIRKHAM: Just before we leave it, can I -- this  
25 doesn't have to be answered immediately, but could

36

1 I just ask Professor Rating a question that I put to him  
2 in my response to his second report? It is about the  
3 Berlin cases. Those children all had seizures, you have  
4 said that already, and I wondered if they'd had raised  
5 intracranial pressure and brain death.  
6 PROFESSOR RATING: They all died. Some of them survived  
7 quite a long time and those children show continual  
8 myelinolysis. That was a question Mrs Squier was asked  
9 by me too. We have found in those who have survived for  
10 some days -- I cannot say how much it is because I don't  
11 have the files any more. They all died. We thought  
12 that they died centrally. That means whether they have  
13 an intracranial hyperpressure, we at that time have not  
14 measured it in Berlin. In 1974/5, it was not done  
15 in the paediatric age group; that came later on. But  
16 we were convinced that they have not died because of  
17 heart or renal disease, but centrally. I would say they  
18 have had a brain oedema.  
19 PROFESSOR KIRKHAM: And did they have intracranial signs  
20 consistent with cerebral herniation and brain death?  
21 PROFESSOR RATING: Yes, yes. They coned.  
22 MS ANYADIKE-DANES: Professor Kirkham.  
23 PROFESSOR KIRKHAM: So setting aside the possibility that  
24 Adam had seizures, which I think we've all agreed is  
25 only a possibility, the second possibility is that

37

1 one reason why we might not have any Cushing responses  
2 in a child who probably did have some raised  
3 intracranial pressure is that the peaks of blood  
4 pressure were not able to happen because the heart  
5 wasn't working so well, even though the blood pressure  
6 itself was rising.  
7 Q. Ah, so the damage was being done but you couldn't see  
8 the normal evidence of it through the peaks of blood  
9 pressure because his slightly enlarged heart wouldn't  
10 allow it to respond in that way?  
11 PROFESSOR KIRKHAM: Yes.  
12 THE CHAIRMAN: Is it fair to describe that as speculative?  
13 PROFESSOR KIRKHAM: I think it's very fair to describe it as  
14 speculative, yes. I'm just trying to explain why we  
15 don't have any evidence for raised intracranial  
16 pressure, apart from not measuring it.  
17 THE CHAIRMAN: Thank you.  
18 MS ANYADIKE-DANES: You say apart from not measuring it. If  
19 he had been fitted with a transducer, you would see what  
20 the measurement of his raised intracranial pressure was.  
21 PROFESSOR KIRKHAM: Yes.  
22 Q. So in the absence of anything to measure it, you are  
23 trying to see if there are other ways of ascertaining  
24 whether it was there and, if it was there, that would  
25 give you some better clue as to what was happening with

39

1 he had cerebral oedema, leading to raised intracranial  
2 pressure, and thus to cerebral herniation. And one of  
3 the compensatory mechanisms if you have raised  
4 intracranial pressure is to put your blood pressure up  
5 in what's called the Cushing responses, and there's  
6 really not much evidence from the blood pressure  
7 recording during the operation that this happened. So  
8 if there were waves of raised intracranial pressure, the  
9 anaesthetic record shows no evidence that there were  
10 Cushing responses to it.  
11 Q. You say that, not to pull up it though, at 208-007-078.  
12 You say:  
13 "There were no large brief increases in blood  
14 pressure or heart rate suggestive of acute seizures or  
15 Cushing responses to intracranial hypertension."  
16 PROFESSOR KIRKHAM: My main point in discussing the slightly  
17 enlarged heart was more to do with why there are no  
18 Cushing responses in a child who appears who have died  
19 of cerebral herniation through the foramen magnum.  
20 We have to have a series of links between the cerebral  
21 oedema, the raised intracranial pressure, the herniation  
22 of the brain through the tentorium or the foramen magnum  
23 and the signs of clinical brain death. I'm just trying  
24 to use my personal experience to see what evidence  
25 we have, and we don't have any Cushing responses. And

38

1 him.  
2 PROFESSOR KIRKHAM: Yes.  
3 Q. If we can then go back to the significance, if any, of  
4 what's been called developmental delay. Firstly, did  
5 you think there was any evidence that there was  
6 developmental delay?  
7 PROFESSOR KIRKHAM: I think this is an extremely difficult  
8 question. I think Adam had some evidence of delay in  
9 gross motor skills, but that's quite common and probably  
10 quite common in a child with neurological problems.  
11 Q. Sorry, what do you mean by "neurological problems"?  
12 PROFESSOR KIRKHAM: Sorry, with renal problems. Sorry,  
13 sorry, I've got a cold and I'm not necessarily saying  
14 everything I should do. It would not be uncommon for  
15 a child in chronic renal failure to have some evidence  
16 of motor delay, and I think there is some evidence of  
17 motor delay in the checks that I was able to do.  
18 His receptive language seems to have been completely  
19 normal. He had some feeding difficulties and he had  
20 a couple of speech and language assessments which  
21 suggests that, in association with the feeding  
22 difficulties, he had some difficulty with expressive  
23 language, which again may simply have been part of the  
24 motor delay or may have been something more specific.  
25 With the evidence that we have, I think it's very

40

1 difficult to be sure.  
2 Q. Well, did you see enough to give you some indication  
3 that he had any kind of expressive language delay?  
4 Where it comes in your report is 208-007-072, where you  
5 say:  
6 "Adam had mild expressive language delay in the  
7 areas of phonology and syntax, but was perhaps of  
8 superior intelligence."  
9 Then you go on at 007-090 and you say:  
10 "An important difference [and this is one of the  
11 things I wanted to ask you and perhaps get  
12 Professor Rating's comments on as well] between Adam and  
13 other children with chronic renal failure is that his  
14 expressive language delay was out of proportion to his  
15 receptive language ability."  
16 What was the evidence that you had to allow you to  
17 assess that or to determine that?  
18 PROFESSOR KIRKHAM: Well, the majority of children with  
19 chronic renal failure, according to Dr Coulthard, have  
20 normal intelligence and normal expressive language.  
21 From the notes that I was provided with, which I have  
22 put down the references to, Adam was referred for speech  
23 and language therapy specifically for his expressive  
24 language, which suggests that there was sufficient  
25 concern for him to be having some therapy. Now, that

41

1 "mild motor delay". What do they mean? And secondly,  
2 sir, you will recall -- and I anticipate that my learned  
3 friend Mr Hunter is about to echo this -- that firstly  
4 any developmental problems are a matter of real concern  
5 to Adam's mother because you will recall that Adam was  
6 accepted for normal primary school, which was to start  
7 in the following year. And of course, there has been  
8 evidence about this limp previously. So what is  
9 Professor Kirkham actually saying in relation to these  
10 matters and what effect, if any, do they have on the  
11 surgery that took place?  
12 THE CHAIRMAN: I think Professor Savage, who I see has come  
13 along today, his evidence was, to put it in general  
14 terms, that Adam was above average for a child with  
15 renal failure. Accepting that children who have renal  
16 failure, I guess because they're off school a lot and  
17 they miss a lot of education, they tend to fall behind,  
18 Adam was doing better than normal for a child with that  
19 difficulty.  
20 MR FORTUNE: Yes.  
21 MR HUNTER: Indeed, sir. Just in relation to the limp, to  
22 assist Professor Kirkham, I would make two points.  
23 First of all, again, Professor Savage, when  
24 I questioned him about Adam and if Adam had a limp,  
25 Professor Savage said he never remembered Adam with

43

1 might well have corrected itself with time, but I think  
2 there was certainly a need for therapy, if not a final  
3 diagnosis.  
4 Q. And even if there was, how does that contribute to your  
5 understanding of what was happening to him during the  
6 period of his surgery?  
7 PROFESSOR KIRKHAM: He had mild motor delay and a mild  
8 expressive language problem, and then at the age of 4,  
9 he had a period when he was admitted to hospital and was  
10 limping on his left leg. All of these things suggest  
11 that he may have had a specific problem and one of the  
12 possibilities for that is that he had a problem with the  
13 venous sinuses and it can be a sign of chronic venous  
14 sinus thrombosis to be limping and to have some degree  
15 of developmental delay.  
16 Q. What suggested to you that that limp was anything other  
17 than something that a child might have who had fallen  
18 down and hurt themselves?  
19 PROFESSOR KIRKHAM: He wasn't reported to have been falling  
20 down and hurting himself. The limp was a significant  
21 concern.  
22 Q. We might have to return to that because I think there is  
23 some evidence that it was something of that type.  
24 MR FORTUNE: Sir, can I come in at this stage? I'm  
25 concerned about the use of the adjectives "gross" and

42

1 a limp. And if you remember, Professor Savage had dealt  
2 with Adam virtually all of his very short life.  
3 The second point, specifically again, and it's  
4 contained at reference WS236/1, at page 5, where Adam's  
5 aunt, Glenda Thompson, made a statement for the inquiry  
6 and she said:  
7 "I would like to say that Adam did not have  
8 a permanent limp. He had a fall while at the zoo on his  
9 fourth birthday and he had previously picked up a minor  
10 injury from this."  
11 So can I ask for Professor Kirkham's comments on  
12 that?  
13 THE CHAIRMAN: The fall at the zoo on his fourth birthday  
14 would roughly coincide with the fact that he was being  
15 assessed at a four-year-old check.  
16 MR HUNTER: Exactly, sir.  
17 THE CHAIRMAN: So there's a coincidence in time?  
18 MR HUNTER: Yes.  
19 THE CHAIRMAN: Professor, does that help you on that?  
20 PROFESSOR KIRKHAM: Firstly, to discuss gross motor skills.  
21 "Gross motor skills" simply means major motor functions  
22 like running, walking, kicking a ball. It's for  
23 comparison with fine motor skills such as tapping your  
24 fingers or writing, so it simply means the difference  
25 between the age at which you walk and the age at which

44

1 you can hold a pencil.

2 MS ANYADIKE-DANES: Does delay in any of that have anything  
3 to do with your intellectual ability and whether you are  
4 likely to be admitted to normal school?

5 PROFESSOR KIRKHAM: Nothing whatsoever. I have taken as  
6 truth Professor Savage's comments that Adam was of  
7 superior intelligence. I'm perfectly happy to accept  
8 that. And children with ... It's perfectly possible to  
9 have great strengths in intellect and fine motor skills  
10 and be able to draw brilliantly and to have a little bit  
11 of difficulty with expressive language delay and all of  
12 those children would be expected to be in mainstream  
13 school, particularly in infant school. That would be  
14 normal.

15 Q. Having said that, if you accept the evidence of Adam's  
16 aunt that, in fact, his limp was associated with a fall  
17 in the way that I put to you, so if that's what caused  
18 his limp and ordinarily he didn't have a limp, what is  
19 left, if you like, of his clinical background to assist  
20 in understanding what happened to him during his  
21 surgery?

22 PROFESSOR KIRKHAM: I think to answer the question about the  
23 limp, we would need to go back to the original records,  
24 because he was actually admitted and had a limp for some  
25 time that summer, and I think I'd need to be redirected

45

1 under 10:

2 "On only one occasion in the context of a febrile  
3 illness."  
4 Therefore I would now be interested to clarify it.  
5 Was it a febrile illness or was it a falling down  
6 accident? I don't know.

7 MS ANYADIKE-DANES: Mr Chairman, if we wanted to do that,  
8 the reference that Professor Kirkham has made to the  
9 particular document is 016-098-145. But those sections  
10 have been redacted. So we can't see precisely how  
11 that's recorded. It may be, Mr Chairman, that over the  
12 break you would want to look at that and see whether  
13 that assists at all.

14 THE CHAIRMAN: Okay, let's see if we have it. 016-098-145.

15 MS ANYADIKE-DANES: That's not it.

16 THE CHAIRMAN: It doesn't obviously help. Okay, if needs  
17 be, we can come back to that after a break.

18 MS ANYADIKE-DANES: Can you help us with this, though? What  
19 is it exactly that you think constitutes Adam's, as  
20 you have termed them, subtle neurological problems?  
21 If we start with that and then what you think the  
22 significance of them is.

23 PROFESSOR KIRKHAM: I think he had mild expressive language  
24 delay, and if you look at the speech therapy reports, it  
25 does sound as though he had specific problems with the

47

1 to the original medical records.

2 Q. Your reference is, I think, in file 16, but we will  
3 check that at one of the breaks rather than take up time  
4 now.

5 PROFESSOR KIRKHAM: The other thing is then, I think he did  
6 have a formal developmental assessment by Dr Cosgrave  
7 in September 1995, which I've never seen.

8 Q. Okay. Well, what you haven't seen you can only  
9 speculate over. But in terms of what you have seen, I'm  
10 trying to find out from you where you get, for example,  
11 what you refer to at 208-007-094 with his rather subtle  
12 neurological problems. Because that's where all this is  
13 going.

14 PROFESSOR RATING: Before you go there, I have in my  
15 second ... On page 16, I have looked, because you have  
16 written that and you have given the reference, and  
17 I have noticed: limping on his left leg on only one  
18 occasion in the context of a febrile illness. That  
19 means what we call it in Germany [German spoken], "hip  
20 cold". Very often small children have, in a viral  
21 infection, some problems with their hips.

22 Q. Yes. It's at 240-004-016.

23 PROFESSOR RATING: Because I have read it from  
24 Professor Kirkham, I have not found it by myself, and  
25 then I have not given the original statement that's

46

1 way his mouth moved. I think I actually mention that in  
2 my report.

3 Q. 208-007-0911, where you talk about affecting his  
4 sucking, chewing and swallowing; is that the bit you  
5 mean?

6 PROFESSOR KIRKHAM: Yes.

7 Q. And you add that with his expressive language problems  
8 and you say that that is consistent with a neurological  
9 disorder affecting bulbar function.

10 PROFESSOR KIRKHAM: If you look at page 3 of my report,  
11 which is on 208-007-070, I said that he sucked on bread  
12 and underwent some intensive feeding clinic input, where  
13 he was felt to have an immature up-and-down rather than  
14 rotated chewing action, as well as a reluctance to  
15 swallow. I appreciate and I have actually acknowledged  
16 in my report that Dr Coulthard says that many children  
17 with renal failure do require tube feeding because they  
18 don't feel like eating, but I feel this has more of  
19 a neurological flavour to it with an actual immaturity  
20 of chewing action as well as a reluctance to swallow and  
21 it's not necessarily the anorexia that I would associate  
22 with chronic renal failure.

23 Q. So it's not the fact that he doesn't want to either,  
24 it's the chewing motion?

25 PROFESSOR KIRKHAM: Yes, which I see as suggestive of

48

1 a neurological problem. You can have bulbar problems --  
2 Q. Just for clarity, a bulbar problem is?  
3 PROFESSOR KIRKHAM: Problems with the lower cranial nerves  
4 and problems speaking. I appreciate Professor Rating  
5 says you normally have drooling with that, but I've  
6 looked after children with a degree of bulbar problem of  
7 this sort, with speech and language problems and  
8 a chewing problem, without necessarily having drooling.  
9 Q. Right. So the chewing action, the expressive delay of  
10 the particular sort that it takes, is there anything  
11 else that for you points to there being a subtle  
12 neurological problem?  
13 PROFESSOR KIRKHAM: Well, I did consider the limp very  
14 carefully and it did sound to me to be potentially  
15 neurological, and I have seen a case of chronic venous  
16 sinus thrombosis where a child presented with a limp,  
17 and that's in the Sebire paper. So that was my linkage  
18 that a child had -- that Adam had evidence of very mild  
19 problems, which I think would have improved with time,  
20 particularly the speech and language ones, with the  
21 sorts of input he was getting, but would have  
22 predisposed him and possibly might have been related to  
23 a very subtle vascular problem, perhaps with the venous  
24 sinuses.  
25 PROFESSOR RATING: Your child with a limp, you have proven

49

1 PROFESSOR RATING: That means, if you say it got better, it  
2 was for a longer time.  
3 PROFESSOR KIRKHAM: I can't remember how long the limp was.  
4 The limp was definitely completely resolved.  
5 THE CHAIRMAN: But you tie into the fact that this child had  
6 a limp also to the fact that this child switched from  
7 one hand to the other hand. Those two go together?  
8 PROFESSOR KIRKHAM: Not necessarily, no, no, I'm just saying  
9 that I have seen a previous case of chronic venous sinus  
10 thrombosis where the child presented with a limp which  
11 improved and had no definite neurological signs other  
12 than he changed hands.  
13 THE CHAIRMAN: But Professor Rating, as I understand it,  
14 seems to be saying that if you have a child who had  
15 a limp, say, for a period, which is unknown, but also  
16 changed hands, that in itself would be evidence of  
17 something significant?  
18 PROFESSOR RATING: Yes, change of the hand from right to  
19 left or left to right is a very important thing.  
20 THE CHAIRMAN: And would you agree with that, professor?  
21 PROFESSOR KIRKHAM: I think it's fairly subtle evidence in  
22 a growing child that there is a problem, but I don't  
23 think it means that Adam could not have had a chronic  
24 venous sinus thrombosis.  
25 THE CHAIRMAN: I know it's jumping ahead to some degree, but

51

1 it was venous thrombosis. Was it only once a limp or  
2 was it a permanent limp problem? What was the limp  
3 problem of him?  
4 PROFESSOR KIRKHAM: He had a limp, briefly changed hands and  
5 then presented, about a year later, with an acute venous  
6 sinus thrombosis.  
7 PROFESSOR RATING: Sorry?  
8 PROFESSOR KIRKHAM: He developed a limp, he got better, he  
9 changed hands, which is unusual in a pre-school child.  
10 PROFESSOR RATING: Okay. That means there's a very, very  
11 clear-cut neurological disease. If you have been right  
12 handed and you become left handed, if you have an  
13 ongoing limp problem, that's a big neurological --  
14 that's not mild.  
15 PROFESSOR KIRKHAM: He didn't have an ongoing limp and  
16 he didn't have any neurological signs associated with  
17 his ... He didn't have any hand problem, he just  
18 changed hands.  
19 PROFESSOR RATING: But you state that there was a limp  
20 problem. Maybe I didn't understand it properly.  
21 MS ANYADIKE-DANES: I think she said it got better.  
22 PROFESSOR RATING: Was it an ongoing problem for a week or  
23 for one day or how long?  
24 PROFESSOR KIRKHAM: I can't remember how long, but it  
25 definitely got better.

50

1 am I right in thinking that part of your approach is  
2 because you are -- because you don't think that  
3 hyponatraemia could have been the primary cause of  
4 Adam's death, you have been looking to see what other  
5 causes or contributory causes may have been present?  
6 PROFESSOR KIRKHAM: Yes.  
7 THE CHAIRMAN: And you are, to some degree, in your report  
8 speculating and hypothesising and, to some degree, you  
9 are saying, "If there's this feature and there's that  
10 feature, that could explain, but we don't really know  
11 what happened"?  
12 PROFESSOR KIRKHAM: I think that's exactly right.  
13 THE CHAIRMAN: Whereas Professor Rating, on the other hand,  
14 is saying he thinks that it's perfectly feasible that  
15 Adam did die from dilutional hyponatraemia, particularly  
16 because of the speed at which he received the excess  
17 fluid; is that right?  
18 PROFESSOR RATING: That's right, yes.  
19 THE CHAIRMAN: Whereas you say, Professor Kirkham, in your  
20 report that you find -- this is at your paragraph 87 --  
21 no evidence in the literature that infusing a high  
22 volume of free water or developing a low sodium over 2  
23 or 3 hours, either separately or together, overwhelms  
24 the brain, whereas Professor Rating says if you draw the  
25 distinctions between you down to one simple point it is

52

1 that what he thinks that what you haven't given enough  
2 weight to is the amount of excess fluid and the short  
3 time period within which it is given. You think that  
4 the two of those together entirely explain Adam's death;  
5 is that right?

6 PROFESSOR RATING: That's my point, yes.

7 THE CHAIRMAN: And you say you haven't found that in the  
8 literature, professor? You don't think that that can be  
9 so.

10 PROFESSOR KIRKHAM: The cases that I've reviewed either had  
11 another risk factor for a cerebral problem or, if there  
12 was imaging, there wasn't cerebral oedema surprisingly,  
13 or the child had seizures, which is why I looked so  
14 carefully for seizures. I mean, I think that children  
15 who become hyponatraemic do seize and can develop  
16 cerebral oedema, but to develop the cerebral oedema and  
17 die of it, all of the cases that I reviewed appeared to  
18 have had a second factor, which had not been fully  
19 investigated.

20 THE CHAIRMAN: Yes. On your approach, it's difficult to  
21 explain why Adam died. You can't point to a definite  
22 conclusion, but you're a bit sceptical or wary about  
23 dilutional hyponatraemia being the main cause; is that  
24 right?

25 PROFESSOR KIRKHAM: Yes, on its own particularly. I don't

53

1 you haven't seen the evidence of such a progression  
2 where all you have is low sodium, even if that low  
3 sodium resulted from a very speedy administration of  
4 free water; would that be it in a nutshell?

5 PROFESSOR KIRKHAM: That's a summary of my position, yes.

6 Q. Okay. So if we move on from the developmental problems,  
7 save to say: how significant, in your way of trying to  
8 assess what happened, do you regard them as being in  
9 terms of what happened to Adam?

10 PROFESSOR KIRKHAM: I think I've been asked to ...

11 THE CHAIRMAN: Do you know, professor? I'm wondering can  
12 you answer that question? To some degree you're being  
13 speculative on this, aren't you?

14 PROFESSOR KIRKHAM: Yes, I've been asked to distinguish  
15 between possibility and probability and I would only put  
16 this as possibility. I think that Adam might well have  
17 been in mainstream school and been a working member of  
18 society, had he survived. I don't think that the  
19 developmental problems were terribly significant other  
20 than just raising the possibility that there were  
21 predispositions to have a cerebral problem acutely.

22 MS ANYADIKE-DANES: And your only interest is the  
23 possibility of them because they might indicating  
24 something.

25 PROFESSOR KIRKHAM: Yes, they might have a bearing on trying

55

1 think there's been a case reported where dilutional  
2 hyponatraemia on its own has caused brain death.

3 THE CHAIRMAN: Right, thank you.

4 MS ANYADIKE-DANES: We'll come to it, but just so that we're  
5 clear at this stage, you're not suggesting that Adam  
6 didn't develop dilutional hyponatraemia?

7 PROFESSOR KIRKHAM: He certainly had a low sodium. I'm not  
8 so sure that the haemoglobin is all related to dilution  
9 because he was losing blood as well.

10 Q. And that dilutional hyponatraemia could have contributed  
11 to a cerebral oedema?

12 PROFESSOR KIRKHAM: He certainly could have had some  
13 cerebral oedema related to the low sodium, yes.

14 Q. So far, you and Professor Rating could be in agreement  
15 about that?

16 PROFESSOR KIRKHAM: Yes.

17 Q. And we are going to come to it in more detail because  
18 I understand it's not a straightforward analysis, but in  
19 broad terms where you start to depart is that you, as I  
20 understand what you were saying to the chairman, then  
21 would be looking for that to have resulted in raised  
22 intracranial pressure and then you would be looking to  
23 see evidence that that raised intracranial pressure  
24 resulted in the ultimate herniation. So you're looking  
25 for that progression. And what you're concerned is that

54

1 to find the cause of Adam's death.

2 Q. If he hadn't had any at all, could he still have had the  
3 sorts of conditions that you think are likely to have  
4 played a greater role in his death?

5 PROFESSOR KIRKHAM: Yes.

6 Q. So they're neither necessary nor sufficient?

7 PROFESSOR RATING: I didn't get the point. Please can you  
8 repeat so I'm quite clear what you're thinking? We have  
9 discussed the possibility that there was a delay and  
10 you have the hypothesis that it is a chronic venous  
11 thrombosis.

12 PROFESSOR KIRKHAM: Yes. What I have just said is that  
13 everything that I've said is that the developmental  
14 delay is only a possibility, not a probability.

15 PROFESSOR RATING: Then we came to the sentence of death and  
16 you say that 25 per cent of ... Have I misunderstood?  
17 Of the possibility ... Sorry.

18 THE CHAIRMAN: No, sorry, Professor Kirkham is not saying  
19 that the developmental delay problems probably  
20 contributed to Adam's death. That's only a possibility.

21 PROFESSOR RATING: That's clear for me. But then are two  
22 further sentences.

23 MS ANYADIKE-DANES: She went on, because I asked her, to say  
24 that any of the conditions that she has discussed as  
25 having played a greater role in Adam's death could have

56

1 happened even if he hadn't had those subtle neurological  
2 symptoms. And then I asked her: does that mean  
3 therefore that you say, for the purposes of what  
4 Professor Kirkham is trying to consider might have  
5 happened, that those subtle neurological problems were  
6 neither necessary nor sufficient. And she said yes,  
7 that's the position.  
8 PROFESSOR RATING: Okay.  
9 Q. Then if we can go on to the chronic and acute-on-chronic  
10 venous sinus thrombosis --  
11 PROFESSOR RATING: Sorry, may I come back to another  
12 problem? I didn't have the charts with me, but perhaps  
13 you can clarify it. You have given us this nice -- it's  
14 number 307-006-064 on the heart rate and blood pressure  
15 and this ended with 11.15, respectively 12. I have in  
16 mind that on the PICU, the intensive care unit, that  
17 there was a further increase in blood pressure; is that  
18 wrong? Is my memory bad in this? I have a remember  
19 that even more than 140 systolic blood pressure ...  
20 Q. We can get those records. The intention of this chart  
21 was simply to map out what happened to him during the  
22 surgery.  
23 PROFESSOR RATING: I wanted to go in the direction --  
24 because in this moment it is said in this inquiry that  
25 there is no sign of the blood pressure regarding to

57

1 whether the increased blood pressure is iatrogenic or  
2 not.  
3 Q. Sorry, just explain that expression.  
4 PROFESSOR KIRKHAM: Iatrogenic means "done by doctors". So  
5 my understanding is that the blood pressure was  
6 deliberately increased because Adam was transplanted  
7 with an adult kidney, and therefore that adult kidney,  
8 to perfuse, needed an adult blood pressure.  
9 PROFESSOR RATING: Yes.  
10 PROFESSOR KIRKHAM: So he was given drugs to increase the  
11 blood pressure during the operation and that's why the  
12 blood pressure went up.  
13 PROFESSOR RATING: It was about 10.30.  
14 PROFESSOR KIRKHAM: Yes. I can't actually remember about  
15 intensive care, whether those drugs were withdrawn.  
16 I know that --  
17 PROFESSOR RATING: They were not given any more. They even  
18 gave nifedipine to lower the blood pressure.  
19 PROFESSOR KIRKHAM: My personal experience -- and I would  
20 just draw your attention to a paper that we published on  
21 Cushing responses at 208-007-172 -- is that Cushing  
22 responses are usually seen in a child who does not have  
23 evidence of cerebral herniation at the time. And  
24 they're usually quite brief increases in mean arterial  
25 pressure or systolic -- or any sort of blood pressure in

59

1 coning of the brain. And I have in my mind -- I have  
2 not written it in my paper, I should have written it.  
3 I have the memory that there was a further increase in  
4 the PICU of the blood pressure and that would be some  
5 indication for coning.  
6 Q. 058-008-022. That goes up to 4 o'clock in the  
7 afternoon.  
8 PROFESSOR RATING: And it starts at shortly after 12?  
9 Q. I think it starts at 11.  
10 PROFESSOR RATING: I think it's after 12. Because  
11 I remember that there was given nifedipine to bring up  
12 the pressure down. That means we have some indicator  
13 that there is an increase of blood pressure, which could  
14 be due to the ... There's a break when the CT was done,  
15 but here the diastolic shortly after 1 is at the end of  
16 100 and the systolic blood pressure is round about 170  
17 or something like that. And at the end, at 16 there,  
18 the diastolic pressure is round about 120 or 110,  
19 I don't know, I cannot imagine. But I think there are  
20 indicators, speaking for the Cushing reflex, of  
21 a coning. It's a little bit late, I say. Yes, I would  
22 have thought that it would be a little bit earlier, but  
23 I'm not specialised; you are more specialised in that  
24 direction. Can it come up so late?  
25 PROFESSOR KIRKHAM: Well, I think the first question is

58

1 response to peaks of intracranial pressure rather than  
2 a permanent high blood pressure. But it's not  
3 impossible that the hypertension in intensive care was  
4 related to raised intracranial pressure, and indeed  
5 I don't dispute that Adam had raised intracranial  
6 pressure. I think he did have raised intracranial  
7 pressure. So I agree with Professor Rating about that.  
8 Q. But in answer to his particular question, whether that  
9 is indicative of a Cushing response, he wondered whether  
10 that was indicative of it or that would be rather late  
11 to see a Cushing response, and you said -- I think just  
12 now -- that you would expect a Cushing response to be  
13 more immediate in terms of the rise in blood pressure.  
14 PROFESSOR KIRKHAM: Well, Adam had fixed and dilated pupils  
15 at the end of the operation, so we assume that the  
16 important component of foramen magnum herniation had  
17 occurred by the end of the operation. And in my  
18 experience, Cushing responses are not seen in children  
19 who have already suffered the herniation; they're  
20 usually seen before that as they are a compensatory  
21 response.  
22 Q. So it would be too late for it to be happening then?  
23 PROFESSOR KIRKHAM: That does not mean that if there was  
24 very significant intracranial hypertension after  
25 12 o'clock on intensive care -- I probably would expect

60

1 the blood pressure to be maintained high as the  
2 secondary response. It's not necessarily a Cushing  
3 response in exactly the way that Harvey Cushing  
4 described it --  
5 PROFESSOR RATING: That's right.  
6 PROFESSOR KIRKHAM: -- but it would certainly be a very  
7 reasonable hypothesis to say that it would be indicative  
8 that the intracranial pressure was raised. But I don't  
9 think that Professor Rating and I are disagreeing about  
10 the fact that the pressure was raised. What we're  
11 discussing is whether that was purely due to the  
12 hyponatraemia or had other reasons.  
13 MS ANYADIKE-DANES: Thank you.  
14 THE CHAIRMAN: We'll take a break for lunch and start again  
15 at 2 o'clock. Thank you very much.  
16 (1.00 pm)  
17 (The Short Adjournment)  
18 (2.00 pm)  
19 (Delay in proceedings)  
20 (2.12 pm)  
21 THE CHAIRMAN: Documents all sorted out?  
22 MS ANYADIKE-DANES: Yes, I think so. Thank you very much  
23 for the extra time.  
24 Mr Chairman, there was an issue just slightly before  
25 you rose, which was to do with the limping and the left

61

1 THE CHAIRMAN: Sorry, read it out again, please.  
2 MS ANYADIKE-DANES: "Limping (LT) leg."  
3 THE CHAIRMAN: And "LT" standing for left?  
4 MS ANYADIKE-DANES: I presume so.  
5 THE CHAIRMAN: Okay.  
6 MS ANYADIKE-DANES: As you've pointed out, the dates don't  
7 all entirely fit because if that is an examination on  
8 7 August, then that has him limping about a month after  
9 this record in his medical notes and records. But in  
10 any event, that's the information we have.  
11 THE CHAIRMAN: It might be that we never tie it down, but if  
12 this record is right, if Adam was noted as limping on  
13 5 July, Mr Hunter, that means that he fell in mid-June.  
14 He's noted to be limping six or seven weeks later.  
15 Okay. The family's point, I think, is that this was not  
16 a -- Adam had not been limping since he was two or three  
17 or four.  
18 MR HUNTER: That's correct, sir. The family's point is that  
19 he was limping as a result of a fall.  
20 THE CHAIRMAN: Right.  
21 MR FORTUNE: Indeed Mr Hunter, sir, raised that with  
22 Professor Savage on Wednesday 18 April. In the  
23 transcript, it's at page 173 at line 25, where answering  
24 Mr Hunter, Professor Savage said:  
25 "I have no memory whatsoever of Adam ever having

63

1 leg and whether it was a fall that precipitated it or  
2 not. You were told that Adam had been taken to the zoo  
3 for his birthday, which was on 4 August, and that the  
4 examination is believed to be 7 August. We now have two  
5 documents. One is 058-033-115. This is an extract from  
6 his medical notes and records. You can see:  
7 "5 July 1995. Query limping on left leg.  
8 Intermittent (fell, left leg, three weeks ago)."  
9 THE CHAIRMAN: That doesn't quite tie in with his birthday,  
10 but it ties in with a query about whether he had fallen  
11 a few weeks earlier; right?  
12 MS ANYADIKE-DANES: Yes. And then there's his developmental  
13 examination record, which I think was something that  
14 Professor Kirkham had referred to, which is 016-098-146.  
15 That seems to be ... (Pause). We can get round that by  
16 simply having it reissued in an unredacted form.  
17 I should say that Adam's mother has very kindly said  
18 that she doesn't have any difficulty with this being  
19 provided in an unredacted form to address this point.  
20 Maybe we will do that, but what I can say is that on the  
21 form, there is filled in in manuscript, "limping (LT)  
22 leg".  
23 PROFESSOR RATING: From which date?  
24 MS ANYADIKE-DANES: It's unclear. It's believed to be  
25 7 August.

62

1 a limp. I also believe that, although Adam was slightly  
2 delayed in his speech and so on, that if he had had  
3 a successful transplant, he would have recovered from  
4 that. He was a very bright little boy."  
5 THE CHAIRMAN: Thank you. I think both the witnesses wanted  
6 that information. Professor Kirkham, does that change  
7 anything that you said before lunch?  
8 PROFESSOR KIRKHAM: I don't think so. I just think that  
9 seven weeks is a long time to be limping from a minor  
10 fall, and he did have a hip ultrasound which showed no  
11 effusion, which makes it relatively unlikely to have  
12 been a hip problem, as suggested by Professor Rating.  
13 THE CHAIRMAN: It leaves us in the area of speculation,  
14 doesn't it?  
15 PROFESSOR KIRKHAM: Yes.  
16 THE CHAIRMAN: Professor Rating, do you have anything  
17 other --  
18 PROFESSOR RATING: If I had had this information, especially  
19 I didn't remember the phrase that the mum says that for  
20 some weeks his personality changed, I would not have  
21 written down my statement that it is only for one day  
22 and so on. I would be much more softer now.  
23 THE CHAIRMAN: Okay.  
24 MS ANYADIKE-DANES: Thank you. What I was going to ask you  
25 both to deal with then, just literally just before the

64

1 break, was the whole area of venous sinus thrombosis.  
2 The first thing I wanted you to address is the four risk  
3 factors, Professor Kirkham, that you've identified. You  
4 do that at 208-007-091, your report. You have  
5 identified them as: erythropoietin, which puts him or  
6 would have put him at risk of intermittent dehydration  
7 due to his polyuria; methylprednisolone; the jugular  
8 vein ligation in the left internal jugular; and then the  
9 CV catheter in the other. Then as well as all of that,  
10 there is anaemia secondary to iron deficiency.

11 The experts at the meeting at 2012 all thought that  
12 those were risk factors for acute-on-chronic venous  
13 sinus thrombosis, leaving aside whether they all played  
14 a role in Adam's condition, but, as risk factors, they  
15 agreed with that.

16 Professor Rating, do you see those as risk factors?

17 PROFESSOR RATING: I agree. No problem there.

18 Q. Then can I ask you, firstly, Professor Kirkham, what is  
19 the difference so far as you're concerned between acute  
20 and chronic venous sinus thrombosis?

21 PROFESSOR KIRKHAM: Well, perhaps it's -- I think it might  
22 be worth looking at the pictures of the venous sinuses.

23 Q. Yes. If I just refer everybody to them, give me one  
24 moment. Are you looking at that one (indicating)?

25 PROFESSOR KIRKHAM: Yes.

65

1 became a chronically occluded venous sinus, which would  
2 then be -- could then acutely occlude a second time.  
3 And there is evidence from the European study that I did  
4 with Ulrike Nowak-Gottl that there is a risk of  
5 recurrence in some patients.

6 Q. Is that what you mean by acute-on-chronic venous sinus  
7 thrombosis?

8 PROFESSOR KIRKHAM: Yes. You've basically had a previous  
9 venous sinus thrombosis and you then get a second one.  
10 It's a recurrence, but it may -- one of the risk factors  
11 for recurrence in that European series that I published  
12 with Ulrike Nowak-Gottl and Gily Kenet, who's the first  
13 author, for recurrence of venous sinus thrombosis was  
14 non-recanalisation.

15 Q. So where is that going? If you have that, then how does  
16 that fit into what you think Adam may have been  
17 predisposed to?

18 PROFESSOR KIRKHAM: So I think it's possible that he may  
19 have -- because the symptomatology of venous sinus  
20 thrombosis is actually very subtle and Professor Rating  
21 makes the point in his first report -- I think the  
22 second report, actually -- that the symptoms can be very  
23 subtle and that we used to think of it as a uniformly  
24 fatal condition. We now realise that it's actually  
25 quite common, but can present with very subtle signs.

67

1 Q. That's 306-098-001.

2 PROFESSOR KIRKHAM: And then the next one.

3 Q. And maybe we can pull up the next one alongside it,  
4 which is 306-099-001.

5 PROFESSOR KIRKHAM: A not uncommon situation is for, for  
6 example, the sagittal sinus to become occluded acutely.  
7 So that's the blue line on the top of 306-098-001.

8 THE CHAIRMAN: Described as the superior sagittal sinus?

9 PROFESSOR KIRKHAM: Yes. I'm just giving you an example.

10 Now, in many cases, that completely recanalises, so if  
11 you do another venogram a few weeks later, you'd very  
12 much hope it's completely recanalised.

13 MS ANYADIKE-DANES: You mean unblocks itself?

14 PROFESSOR KIRKHAM: Yes, or is unblocked by treatment, it's  
15 difficult to know which. But in some patients, the  
16 recanalisation does not occur, and I have seen that in  
17 a number of patients. I can think of one particular  
18 patient with systemic lupus erythematosus who had  
19 a chronic anaemia, who had a blocked sagittal sinus that  
20 never recanalised and we repeated the venogram on  
21 a number of occasions.

22 So it would therefore be possible. I don't know  
23 there's very much documentation of this, but it would be  
24 possible to have had a previous acute venous sinus  
25 thrombosis, which didn't then fully recanalise and

66

1 So it is possible that Adam had a previous acute venous  
2 sinus thrombosis, which did not fully recanalise and  
3 left him with some minor neurological signs and then  
4 became acutely occluded again perioperatively.

5 Q. And apart from the hypothesis that that is a thing  
6 that's possible to happen, why, in your view, would he  
7 have developed the first one?

8 PROFESSOR KIRKHAM: Well, he had four risk factors.

9 Q. And they alone in your view mean that there is a chance  
10 that he could have developed --

11 PROFESSOR KIRKHAM: Yes, I'd very much put it as  
12 a possibility rather than a probability.

13 Q. And if he had and it hadn't completely recanalised, then  
14 that would predispose him to another?

15 PROFESSOR KIRKHAM: Yes.

16 Q. And it's that other that might have happened proximate  
17 or even during his surgery that could have been part of  
18 his deterioration and ultimate death; is that the logic  
19 of that?

20 PROFESSOR KIRKHAM: Yes, remembering that he also had  
21 some -- I think perhaps the best way of putting it is  
22 "interference" -- with his internal jugular drainage,  
23 because there's either some fibrous tissue, previous  
24 canalised ...

25 Q. I'm going to ask you about that because that's something

68

1 you particularly refer to as, I think, the fourth.  
2 If we stick with that possibility of how something might  
3 have developed, perhaps I could ask you,  
4 Professor Rating, is that a possibility, even  
5 theoretically?  
6 PROFESSOR RATING: That a child without any further disease  
7 can develop an acute venous thrombosis, that's clear.  
8 I have seen it quite often. It is right, as  
9 Professor Kirkham stated, that some of them, not totally  
10 cleared, that there is some part ... And that's right,  
11 from there, if there is a chronic one, it can become an  
12 acute one in a certain -- that's clear, that's  
13 a possibility which can take place.  
14 I would like to ask Professor Kirkham --  
15 Q. Professor Rating, could I ask you to speak a little more  
16 into the microphone?  
17 PROFESSOR RATING: I would like to ask Professor Kirkham on  
18 the role of factors coming one after the other. Are we  
19 in the situation where you say there has been too much  
20 free water, but that would be without because the main  
21 thing is that on a chronic and acute venous sinus  
22 thrombosis has come up without any problems with the  
23 natrum, or do we think that the main hit was the  
24 infusion with too much free water? And by that  
25 circumstances change, and then secondly the venous sinus

69

1 Q. So they're not connected in that way?  
2 PROFESSOR KIRKHAM: So I don't think the second one is  
3 a likely possibility.  
4 Q. Okay.  
5 MR FORTUNE: Sir, before we move on --  
6 THE CHAIRMAN: Sorry, Mr Fortune, just give me one second if  
7 you wouldn't mind.  
8 Am I right in understanding, professor, that  
9 although you clearly have some areas of disagreement  
10 with Professor Rating, you agree that the dilutional  
11 hyponatraemia was a cause of Adam's death?  
12 PROFESSOR KIRKHAM: I have not been convinced that the  
13 dilutional hyponatraemia is the cause of Adam's death.  
14 He may have had some swelling of the brain, but I don't  
15 think it caused his death.  
16 THE CHAIRMAN: Not even a contributory cause?  
17 PROFESSOR KIRKHAM: I can't exclude a contributory cause,  
18 but I have not seen a case like this or found  
19 a convincing case in the literature.  
20 THE CHAIRMAN: Okay, thank you. Sorry, Mr Fortune.  
21 PROFESSOR RATING: May I ask: do you think that it is the  
22 first step in a row of steps leading to this, that it  
23 started with the hyponatraemia and then other things  
24 followed after?  
25 PROFESSOR KIRKHAM: I don't think that's the most likely

71

1 thrombosis comes up and played some sort of a role in  
2 this. That means what's the first, what's the  
3 second ...  
4 PROFESSOR KIRKHAM: I have not been able to find a case  
5 in the literature which I have found convincing as  
6 purely hyponatraemia followed by a venous sinus  
7 thrombosis. So I don't know that Adam had a venous  
8 sinus thrombosis, but I think it could have been  
9 a contributory factor. I agree that there may have been  
10 some osmotic passage of free water into the brain. But  
11 I don't think that Adam would have died if he had just  
12 had --  
13 Q. Professor Kirkham, I think the question is a different  
14 one to that, as I understand it. I think the question  
15 is: do you think he started with the venous sinus  
16 thrombosis, which didn't properly recanalise,  
17 predisposed him to another, and then you also had the  
18 problem with the low sodium? Or did he start with low  
19 sodium and that predisposed him to a venous sinus  
20 thrombosis? It's a sort of a cause or effect: which one  
21 do you think started the chain of events, if I can put  
22 it that way?  
23 PROFESSOR KIRKHAM: I don't think there's any evidence that  
24 low sodium leads to venous sinus thrombosis. It is not  
25 a risk factor that I understand.

70

1 cause. I don't think that's the most likely chain of  
2 events. If there was osmotic swelling and a number of  
3 other things happened, that will have been a possible  
4 contributory factor.  
5 MS ANYADIKE-DANES: So the low sodium possibly contributed  
6 to his cerebral oedema?  
7 PROFESSOR KIRKHAM: Yes, possibly, but not necessarily to  
8 raised intracranial pressure and cerebral herniation.  
9 PROFESSOR RATING: That means that it doesn't start with the  
10 hyponatraemia.  
11 PROFESSOR KIRKHAM: No.  
12 PROFESSOR RATING: Okay.  
13 MR FORTUNE: Sir, given that the two professors agree on the  
14 presence or the likely presence of four risk factors, if  
15 Adam had suffered an acute venous thrombosis that had  
16 itself become chronic and therefore had not been cured,  
17 would we have any evidence, either neuroradiologically  
18 or neuropathologically, of the presence of a chronic  
19 venous thrombosis? And if so, is there any evidence or  
20 are we dealing once more with a possibility?  
21 THE CHAIRMAN: Yes. Professor, can you help?  
22 PROFESSOR KIRKHAM: Well, a CT scan was performed and did  
23 not show a venous sinus thrombosis, but that is the case  
24 with at least 40 per cent of reported cases. It's not  
25 seen on CT. Dr Squier would answer the question about

72

1 the pathology better than I, but she has provided  
2 further reports in response to Professor Rating, and  
3 I think she has said that the post-mortem did not  
4 exclude an acute-on-chronic venous sinus thrombosis.  
5 I have to say that this is indeed a possibility and not  
6 a probability, but it's as possible as the dilutional  
7 hyponatraemia.  
8 MR FORTUNE: Sir, it's very interesting for  
9 Professor Kirkham to face me, but if she faces you then  
10 the microphone will pick up her answer.  
11 THE CHAIRMAN: Yes.  
12 MS ANYADIKE-DANES: Just to pick up the point that  
13 Professor Kirkham had referred to Dr Squier, it's in her  
14 most recent report 206-012-003. She's asked the  
15 question in actually a more extreme way than that by  
16 Professor Rating, who wants to know how likely is it  
17 that a peracute SVT leading to death within the space of  
18 1 to 2 hours was not seen during the brain section. So  
19 it's along the same lines, but this is putting the time  
20 frame in. She answers that:  
21 "Venous and sinus thromboses may be missed if the  
22 dural sinuses are not all examined carefully at autopsy.  
23 Some of the dural sinuses are very small and deeply  
24 placed at the base of the skull. The dural sinuses were  
25 not described in the autopsy report, nor were they

73

1 not recorded, so she is saying it could have been there,  
2 but they didn't examine that part of the brain.  
3 PROFESSOR RATING: Yes, but the neuropathologist had the  
4 brain open and when they get it out, they see the  
5 vessels and they see in which way it's changed. For me,  
6 it is difficult to accept that a peracute acute sinus  
7 venous thrombosis will take place without any changes to  
8 be seen microscopically. I think that Professor Kirkham  
9 is the best to answer this in this room because she will  
10 probably have seen much more in the table.  
11 Q. Well, you gave the chairman a figure of 40 per cent.  
12 PROFESSOR KIRKHAM: 40 per cent are not seen on CT scan.  
13 Even if you're looking -- I mean, we had a case that was  
14 reported in the Sebire paper that was one of my  
15 patients, who had sickle cell anaemia, who died with  
16 acute brain swelling with a straight sinus thrombosis  
17 that was there on the CT scan that we had not spotted  
18 before death. And the swelling was very obvious on the  
19 MRI and it's published in the Sebire paper.  
20 Q. Was it spotted at autopsy?  
21 PROFESSOR KIRKHAM: That patient didn't have a post-mortem.  
22 Q. I see.  
23 PROFESSOR KIRKHAM: But it was spotted on the CT scan after  
24 the swelling on the MRI. It was very clearly -- it's  
25 one of the specific cases reported in that paper.

75

1 sampled for histology. It is not possible to be sure  
2 that there was not thrombosis. There may be no  
3 associated thrombosis in the cerebral veins, so even  
4 histological examination of the brain may not identify  
5 the presence of acute thrombosis in the sinuses."  
6 And you gave --  
7 THE CHAIRMAN: Sorry, Professor Rating, do you want to say  
8 anything in response to the question from the floor or  
9 are you in agreement with Professor Kirkham?  
10 PROFESSOR RATING: I have put my question as hard as I could  
11 because, for me, because if there's an acute venous  
12 sinus thrombosis leading to death in a mean time of at  
13 least three hours, much more, then I would have thought  
14 that I will see some swelling and changes of the vessels  
15 and so on. And that is nothing to be seen. It's very  
16 difficult for me to understand, but I'm not  
17 a neuropathologist and I'm not very often confronted  
18 with it and I have to accept the statement of Dr Squier.  
19 So at the end, I'm not -- she didn't believe in  
20 hyponatraemic death. I have difficulty to accept that,  
21 in my view.  
22 MS ANYADIKE-DANES: I think, Professor Rating, in fairness  
23 to Dr Squier, she says that where you are likely to have  
24 seen the thing you expect to see is in a part of the  
25 brain, the dural sinuses, which were not examined and

74

1 MR HUNTER: Before we move on, sir, could I ask, since  
2 Dr Squier describes that she says there's no evidence of  
3 venous thrombosis at autopsy, but she says this can't be  
4 excluded as the sinuses were not described, and then  
5 we have the report of Professor Lucas, who actually  
6 looked over Dr Armour's work, and he says at  
7 209-001-005:  
8 "The report clearly stated in several places that  
9 there was no cerebral venous thrombosis. The histology  
10 description of the brain does not mention venous  
11 thrombosis (and I believe it would have been obvious  
12 were it present)."  
13 So can I ask, would it be obvious to the naked eye?  
14 THE CHAIRMAN: Is that Professor Rating's point, that you  
15 think it would have been obvious to the naked eye  
16 because of the procedure?  
17 PROFESSOR RATING: Yes.  
18 THE CHAIRMAN: Do you agree, Professor Kirkham, or not?  
19 PROFESSOR KIRKHAM: I basically agree with Dr Squier.  
20 I think it's missed at autopsy in some cases. It's  
21 difficult to know how many cases now because so few  
22 autopsies are performed. And at the time when we  
23 thought it mainly was a fatal condition, that was  
24 obviously a self-fulfilling prophecy in that those cases  
25 were diagnosed at post-mortem, and there's no good

76

1 series I can tell you for sure because I have looked at  
2 the literature up in quite a lot of detail.  
3 THE CHAIRMAN: Thank you.  
4 PROFESSOR RATING: May I ask that the neuropathologist, who  
5 is Professor Lucas ...  
6 MS ANYADIKE-DANES: He is a histopathologist.  
7 PROFESSOR RATING: Okay.  
8 Q. Can I ask you then about the erythropoietin,  
9 Professor Kirkham? Erythropoietin, as we understood it  
10 from the discussion in Newcastle, is something that is  
11 very likely to be administered to many paediatric  
12 patients with end-stage renal failure. Does that mean  
13 that they're all, to some extent, at risk of cerebral  
14 venous thrombosis?  
15 PROFESSOR KIRKHAM: Well, I have to say it's a risk factor  
16 that has been reported as case reports. I don't think  
17 there has been -- there's not been an extensive series  
18 which has looked hard for any venous thrombosis, either  
19 systemic or cerebral, in patients on erythropoietin.  
20 Q. If we go to your next one, which is "polyuric and at  
21 risk of intermittent dehydration", you have said at  
22 208-007-091 that:  
23 "Adam was polyuric and was at risk of intermittent  
24 dehydration that would have put him at risk of cerebral  
25 venous sinus thrombosis, which often recanalises

77

1 meningitis -- anaemia, dehydration, prothrombotic  
2 disorders -- which is not discussed here because we have  
3 no evidence that Adam had one -- and many patients  
4 reported have had more than one risk factor, but some  
5 have had only one. And a few patients have been  
6 reported with no risk factors and, in our series, those  
7 patients tended to have prothrombotic disorders.  
8 Q. Is this something that you are considering a possibility  
9 for Adam by association in the sense that these things  
10 were identified as present in other children who went on  
11 to develop a chronic venous thrombosis? He has got some  
12 of them, therefore there's a causal link between those  
13 risk factors and a suggestion that he himself developed  
14 a chronic venous thrombosis. Is there any way of  
15 knowing?  
16 PROFESSOR KIRKHAM: There's no way of knowing. It's  
17 definitely a possibility rather than a probability, but  
18 I think there's a distinct possibility. He definitely  
19 had several risk factors. There was no way of excluding  
20 venous sinus thrombosis.  
21 THE CHAIRMAN: In Adam's case, is this more remote as  
22 a potential cause than the erythropoietin?  
23 PROFESSOR KIRKHAM: Sorry?  
24 THE CHAIRMAN: The polyuria and risk of intermittent  
25 dehydration that's been identified as a risk factor in

79

1 spontaneously."  
2 I wonder if you might answer the same question,  
3 rather, which is: is every child in Adam's condition,  
4 polyuric, vulnerable to an SVT?  
5 PROFESSOR KIRKHAM: Well, dehydration is one of the risk  
6 factors for venous sinus thrombosis. To get a venous  
7 sinus thrombosis, you may have to have either one very  
8 severe risk factor -- for example, very severe  
9 dehydration -- or several milder risk factors -- so  
10 milder dehydration on top of mild anaemia, perhaps  
11 a prothrombotic disorder, which we don't have any  
12 evidence for in Adam, but it wasn't excluded. So it's  
13 not -- the patients who have venous sinus thrombosis  
14 that have been reported often have more than one risk  
15 factor, but dehydration is very well documented as one  
16 of the risk factors.  
17 Q. Is there any research or evidence for the interplay  
18 between those risk factors? You've indicated that it's  
19 possible that you have one really quite serious extent  
20 of one of those risk factors or you might have a lesser  
21 extent, but you've got a combination of them. Is this  
22 all entirely theoretical or does anybody know?  
23 PROFESSOR KIRKHAM: There are a papers, there's a series of  
24 patients, including our own data, talking about risk  
25 factors and head and neck infection -- ears and

78

1 Adam's case, is that a more remote risk than the  
2 erythropoietin which he had been administered  
3 from November --  
4 PROFESSOR KIRKHAM: On the available evidence, they're all  
5 equally important risk factors.  
6 MS ANYADIKE-DANES: On the available evidence at the moment,  
7 is the research sufficiently advanced to be able to  
8 identify whether any of those things are more serious  
9 than not?  
10 PROFESSOR KIRKHAM: More serious than not?  
11 Q. Well, more likely --  
12 PROFESSOR KIRKHAM: No, I don't think so. I think they're  
13 all equally likely to be important on the available  
14 evidence at the moment.  
15 Q. How advanced is that research into this area?  
16 PROFESSOR KIRKHAM: There are perhaps 10 papers in children  
17 and another 20 in adults, so not enormously advanced.  
18 Q. Thank you.  
19 MR FORTUNE: Sir, given that a child requiring a renal  
20 transplant is likely to have all four risk factors, can  
21 Professor Kirkham help us as to whether venous sinus  
22 thrombosis has been reported as being the cause of death  
23 in a renal transplant or in a chronic renal failure  
24 patient?  
25 PROFESSOR KIRKHAM: I'd have to check the literature for

80

1 that. I don't know off the top of my head.  
2 THE CHAIRMAN: Because it's something that Professor Savage  
3 would have wanted to know before he retired and  
4 something that Dr O'Connor would want to know now.  
5 MR FORTUNE: Absolutely.  
6 THE CHAIRMAN: Even if you set aside hyponatraemia, if this  
7 is a risk with a transplant operation --  
8 MR FORTUNE: Because any child needing a transplant will  
9 have all four risk factors. And that is why I've been  
10 asked to raise the issue of what evidence is there.  
11 PROFESSOR RATING: But I remember that in the conference  
12 in February, Dr Coulthard argued on that, that he is not  
13 aware of a case -- this was already discussed. He said  
14 to his knowledge, not. I cannot give the reference.  
15 I think it is in the transcription.  
16 MS ANYADIKE-DANES: That's right, he did.  
17 Professor Kirkham, that was sort of another way of  
18 getting at the question that I asked you in relation to  
19 erythropoietin, which is that if these are risk factors  
20 that predispose a child to chronic venous thrombosis and  
21 if they all occur in children with end-stage renal  
22 failure, then wouldn't you expect to see more of those  
23 children developing chronic venous thrombosis? And is  
24 there anything in the literature that suggests that they  
25 do?

81

1 PROFESSOR RATING: It could be happening.  
2 MR HUNTER: Professor Gross makes the same points as  
3 Dr Coulthard and Professor Savage, and you find that at  
4 201-016-292. He says:  
5 "[He is] of the opinion that it is impossible to  
6 establish a diagnosis on the basis of risk factors alone  
7 and [he] would point out that the majority of renal  
8 transplant recipients harbour a comparable set of  
9 supposed risk factors as outlined by Professor Kirkham."  
10 And he himself has been involved in over 600 kidney  
11 transplantations and he can't remember a single case of  
12 sinus venous thrombosis.  
13 THE CHAIRMAN: Will you give me the page reference again,  
14 please?  
15 MR HUNTER: It's 201-016-292.  
16 PROFESSOR RATING: But 100 to 600 is not a very great  
17 number. It's not very often ... The sample is too  
18 small to argue that it cannot be -- that it cannot come  
19 up.  
20 MS ANYADIKE-DANES: If I can put this to both of you then,  
21 it seems that this is something on which you both agree,  
22 that the occurrence of venous sinus thrombosis in  
23 children with these sort of risks is actually quite  
24 common. If I start with Professor Kirkham, that means  
25 in this case, though, something led to Adam's death, and

83

1 PROFESSOR KIRKHAM: No, but there's nothing in the  
2 literature that's ever looked terribly well -- I can't  
3 say that there are no cases because I would have to  
4 check the literature, but I don't think anyone's done  
5 a systematic study of children with chronic renal  
6 failure to exclude the possibility.  
7 Q. I see.  
8 THE CHAIRMAN: Would it not have emerged as something known  
9 to nephrologists like Professor Savage and his  
10 counterparts throughout the United Kingdom?  
11 PROFESSOR KIRKHAM: I don't necessarily think so. Some  
12 children undergoing renal transplant have seizures, for  
13 example, and it's not clear to me why those children  
14 have seizures.  
15 MS ANYADIKE-DANES: You mean --  
16 PROFESSOR RATING: We are in the same boat. We are both  
17 child neurologists. I can tell you that venous  
18 thrombosis is not seldom, it's very often. If you are  
19 involved in any study doing chronically, repeatedly MRIs  
20 of the brain -- for example, in acute leukaemia, you  
21 will see very, very often partial -- not only very  
22 partial, but very, very extended sinus venous  
23 thrombosis. I believe she is right: it is very, very  
24 often a case that is not diagnosed.  
25 MS ANYADIKE-DANES: So it could be happening --

82

1 so are we looking for -- if that's the case, if it  
2 happens commonly, are we looking for what could have led  
3 in Adam's case to his death? Let's say he had it  
4 because it's common, he had the risk factors and he had  
5 some form, whether he had a significant amount of it or  
6 not, but let's just say that he did have the presence of  
7 some venous sinus thrombosis, then in your view how  
8 would that have led to his death?  
9 PROFESSOR KIRKHAM: Well, if you have venous sinus  
10 thrombosis, then the brain can swell very quickly,  
11 particularly if several sinuses are thrombosed and  
12 particularly if there's a degree of venous hypertension,  
13 as there might be if there was a problem with the  
14 internal jugular drainage. It certainly can cause very  
15 rapid cerebral oedema and death.  
16 Q. The reason for that simply is the amount of venous sinus  
17 thrombosis you have or the number of the sinuses that  
18 are involved and the extent to which they're involved?  
19 PROFESSOR KIRKHAM: Yes, it's probably a combination of  
20 blockage to the venous outflow, which puts the volume of  
21 blood in the head up. If you remember, there are three  
22 components to the volume of the contents of the  
23 skull: the blood, the brain and the fluid. And then it  
24 may also be a component of difficulty with drainage of  
25 CSF as well.

84

1 Q. Just to help you explain that, perhaps if we pull up --  
2 I think what you're talking about is the Monro-Kellie  
3 principle. If we pick up 300-092-192.  
4 PROFESSOR RATING: I would like to make my comment to the  
5 question.  
6 Q. Of course, yes. From your point of view then, assuming  
7 that he did have a degree of venous sinus thrombosis,  
8 what else will have happened?  
9 PROFESSOR RATING: Intellectually, it is clear that it has  
10 come up in this row, no question about it. Venous sinus  
11 thrombosis is not as seldom as is seen by some. To be  
12 honest, I'm not very comfortable with it because we make  
13 the assumption that there is an acute venous sinus  
14 thrombosis that we don't have realised at all and then  
15 out of the venous sinus thrombosis and not cleared at  
16 all, but the not cleared venous sinus thrombosis makes  
17 some milestone and developmental problems, and then  
18 again an acute venous sinus thrombosis coming on this  
19 one, that means this will be in a row, and this will  
20 be -- in a row of four steps, we have only arguments for  
21 one. That means the developmental delay. All other  
22 things, we don't have any ground apart from the  
23 hypothesis that it could be there.  
24 Q. Yes, but I wonder if I can put it to you slightly  
25 differently because I had put a different question to

85

1 easier and quicker up.  
2 Q. Okay. Then I think, Professor Kirkham, you were trying  
3 to explain, using this diagram, how having venous sinus  
4 thrombosis in that way could have led to his  
5 deterioration and death. So if you have this, how does  
6 that help us?  
7 PROFESSOR KIRKHAM: You'll note that there's basically -- on  
8 this picture, there's "brain arterial volume", "venous  
9 volume" -- which are the two parts of the blood  
10 volume -- and "CSF". And this is actually looked at  
11 from the point of view of a mass, which, as  
12 Professor Rating says in his report, is the commonest  
13 way of looking at acute pressure because the most data  
14 is there for the Monro-Kellie doctrine, the most data is  
15 available for rapidly expanding mass. That's how we  
16 best understand it. And one of the compensations is for  
17 venous blood to be shunted off down the jugular veins  
18 and for that to be one of the compensatory mechanisms.  
19 If you have a thrombosis or a blockage to the drainage,  
20 that will mean that part of the compensation will be  
21 gone. And in addition, you will often get acute brain  
22 swelling as a component of a venous sinus thrombosis.  
23 You get -- yes, venous ... You get oedema close to the  
24 venous sinus thrombosis.  
25 Q. Professor Rating, leaving aside that it's more commonly

87

1 Professor Kirkham. Both of you have agreed, as have all  
2 the other experts, that those four risk factors that  
3 Professor Kirkham raised are risk factors for venous  
4 sinus thrombosis. You have accepted that venous sinus  
5 thrombosis is perhaps more common than some people  
6 think.  
7 PROFESSOR RATING: Yes.  
8 Q. Therefore, Adam, who had those risk factors, could have  
9 developed a venous sinus thrombosis.  
10 PROFESSOR RATING: Yes.  
11 Q. What I was asking you is: if that's possible because  
12 he had the risk factors for it, and it's not so  
13 uncommon, what in your view would have allowed that to  
14 carry on and develop and play a role in the cause of his  
15 death?  
16 PROFESSOR RATING: If there was not the mistake -- and  
17 I will say it was a mistake of giving too much free  
18 water -- the problem -- there will be not a great --  
19 I suppose I cannot say -- a greater problem for the  
20 operation. But if there is this first step of the  
21 hyponatraemia inducing some problem of oedema, then what  
22 Professor Kirkham says is right: that because of the  
23 reduced situation of perfusion in the brain, he will  
24 develop much more quicker a brain oedema and increased  
25 brain pressure, intracranial pressure. That comes

86

1 associated with a mass, if you have something else  
2 that is creating that difficulty, would you accept that  
3 that's a progression in the way that Professor Kirkham  
4 has just described?  
5 PROFESSOR RATING: Sorry, I missed the point.  
6 Q. Professor Kirkham was explaining what could be going on  
7 in Adam's head, if I can put it that way, to permit that  
8 a speculated venous sinus thrombosis to develop and  
9 therefore be part of his death --  
10 PROFESSOR RATING: I agree --  
11 Q. You agree that that is a mechanism that could have done  
12 that?  
13 PROFESSOR RATING: A mechanism, yes.  
14 Q. Thank you. If I then ask you about the  
15 methylprednisolone. Just to give you the reference,  
16 it's one of the risk factors, it's at 208-007-092 in  
17 your second report. You say that Adam was given that as  
18 an immunosuppressant for the donor kidney and:  
19 "... the acute onset of symptoms of cerebral venous  
20 sinus thrombosis has been documented during its  
21 administration."  
22 And what Professor Rating [sic] puts to you is: even  
23 though it is a risk factor, is its occurrence too close  
24 to the timing of his coning to actually have played  
25 a role?

88

1 PROFESSOR RATING: When I read last night the papers you  
2 gave me over, I came to this point: at which time it was  
3 given. I had written my paper that it was round about  
4 11 and something, but then I saw that it was given at  
5 10.30. By that, it could be in the time of -- that it  
6 could come and bring up some problems with it.  
7 Therefore, what I have stated in my report, I cannot  
8 check which -- I suppose you are right that it was given  
9 at round about 10.30 and I said it was given at around  
10 11 something. And therefore, I wrote that it's too  
11 small.  
12 Q. So if it were given at 10.30, you don't rule out the  
13 possibility that it could have played a role?  
14 PROFESSOR RATING: No, I couldn't rule out the possibility.  
15 THE CHAIRMAN: Although you regarded it as a risk factor in  
16 principle, when you wrote your report you did not regard  
17 it as something which was even a possibility in Adam's  
18 case?  
19 PROFESSOR RATING: Yes, because I thought that it was given  
20 very, very late to a time --  
21 THE CHAIRMAN: But now that you have seen that the timing  
22 may be earlier, then you think it is a possibility, but  
23 you are still not persuaded. Does that affect your  
24 overall view of Adam's case?  
25 PROFESSOR RATING: I don't believe that it changes my

89

1 Professor Kirkham, of his chronic or acute venous sinus  
2 thrombosis? How significant is it?  
3 PROFESSOR KIRKHAM: Well, it dated from our group and also  
4 completely separately from the Canadian group, with whom  
5 I collaborate, but this was separate data. It suggests  
6 that iron deficiency is a risk factor for venous sinus  
7 thrombosis. Adam was iron deficient previously. I have  
8 seen -- and again, this is published in the Sebire case  
9 series -- a child with iron deficiency, anaemia, who  
10 presented with ... It was a child with the limp who  
11 changed hands, who had chronic [inaudible] sinus  
12 thrombosis. It is possible -- it's only a possibility,  
13 not necessarily a probability -- that Adam had chronic  
14 venous -- had had a previous acute venous sinus  
15 thrombosis, which had not recanalised because iron  
16 deficiency appears to be a risk factor for  
17 non-recanalisation.  
18 Q. How serious does the anaemia have to be to start to play  
19 a role?  
20 PROFESSOR KIRKHAM: It's not so much the anaemia, it's  
21 thought to be the iron deficiency and it can be quite  
22 mild anaemia.  
23 Q. I see.  
24 PROFESSOR KIRKHAM: It is the sort of thing that is missed  
25 by doctors. Doctors are quite good at picking up

91

1 overall view.  
2 THE CHAIRMAN: Thank you.  
3 MS ANYADIKE-DANES: Then if we deal with the anaemia, at  
4 least in part, secondary to iron deficiency. It's at  
5 208-007-092. You say that Adam had chronic anaemia,  
6 considered in part to be secondary to iron deficiency.  
7 And then you say that both anaemia and iron deficiency  
8 have been associated with cerebral venous sinus  
9 thrombosis:  
10 "In one series, red cell indices consistent with  
11 anaemia and iron deficiency were documented in 55  
12 per cent and 25 per cent of children with cerebral  
13 venous sinus thrombosis respectively and were associated  
14 with non-recanalisation of previously thrombosed  
15 cerebral venous sinuses."  
16 Dr Squier has said in her report at 206-002-009 that  
17 anaemia may exacerbate metabolic stress in the brain  
18 and, if uncorrected, would exacerbate the effects of  
19 hypoxia and anaemia:  
20 "Anaemia will reduce the oxygen-carrying capacity of  
21 the blood."  
22 What I wanted to ask both of you -- and if I start  
23 with you, Professor Kirkham: what, if anything, is the  
24 significance of Adam's past periods of anaemia for the  
25 development of what you're postulating,

90

1 anaemia if the haemoglobin is less than 10 because they  
2 look for double figures but they don't necessarily spot  
3 the mildly iron deficient child.  
4 Q. And it's that iron deficiency that has been associated  
5 with or that presents as the risk factor?  
6 PROFESSOR KIRKHAM: On the whole, I mean, it's still quite  
7 a controversial area, and there aren't very many papers,  
8 but it looks as though the iron deficiency is probably  
9 as important. But we do see venous sinus thrombosis in  
10 anaemias other than iron deficiency, for example my  
11 patient with systemic lupus, who had a chronic anaemia  
12 of chronic disease. We see it in sickle-cell disease,  
13 we see it in thalassaemia. There are other causes of  
14 venous sinus thrombosis. So it is probably  
15 a combination of the anaemia and the iron deficiency.  
16 Q. And Professor Rating?  
17 PROFESSOR RATING: I cannot add any important point. Iron  
18 deficiency is a very, very common situation in children.  
19 Slight anaemia is not very seldom. I don't have any  
20 feeling -- I have never worked on that field and for me  
21 it's a little bit sophisticated to put this together and  
22 come out then: here must be some sort of chronic or  
23 acute venous sinus thrombosis. There are very, very  
24 often -- in my own field, I have realised in the last  
25 five years iron is discussed very hard in epilepsy,

92

1 starting epilepsy, giving rise to epileptic seizures,  
2 but it's not very hard ground [inaudible]. I cannot add  
3 anything.  
4 Q. At the time of his transplant, Adam was described as  
5 being "mildly anaemic".  
6 PROFESSOR RATING: 10.6.  
7 Q. Yes. What I wanted to ask is: if he is only mildly  
8 anaemic at the time of his transplant, is that  
9 significant or is it that in combination with his  
10 previous history or is it just his previous history?  
11 PROFESSOR KIRKHAM: I think it's that in combination with  
12 his previous history.  
13 Q. Does anybody know how much previous history you have to  
14 have for that to start to be significant?  
15 PROFESSOR KIRKHAM: Probably not very much. There are quite  
16 good case reports of toddlers, for example, who drink  
17 only milk, who get acute venous sinus thrombosis and  
18 they probably aren't iron deficient for very long, a few  
19 months.  
20 Q. Professor rating, is that something you feel you can add  
21 to?  
22 PROFESSOR RATING: No.  
23 Q. I should just say that Professor Gross has commented on  
24 it in his report. It's at 201-015-235. He says:  
25 "Adam's rapidly progressive and relatively severe

93

1 you have an acute change in haemoglobin, you do have  
2 some compensation from an increase in blood flow, but if  
3 you're already chronically anaemic, again your reserve  
4 capacity to suddenly increase your blood flow with an  
5 acute reduction in haemoglobin is reduced. And so you  
6 may have areas of the brain particularly in the border  
7 zones between the main territories, those areas can  
8 become acutely hypoxic.  
9 Q. The force of this is no longer to do with whether it  
10 predisposed him to an SVT; it's actually what, if  
11 anything, would have been its role in affecting his  
12 compensatory factors.  
13 PROFESSOR KIRKHAM: Yes. Professor Gross' report is nothing  
14 to do with the venous sinus thrombosis. I think that's  
15 right.  
16 Q. And you would accept that, Professor Rating?  
17 PROFESSOR RATING: Yes, yes.  
18 Q. Then can we go to the final part of the risk factors,  
19 which is the ligation of the left internal jugular and  
20 the CV line in the neck and the position of the head  
21 during surgery.  
22 You list these out at 208-007-093,  
23 Professor Kirkham, in your report. You say he -- this  
24 is all to do with the venous sinus thrombosis,  
25 of course. You say that he may have had an internal

95

1 anaemia could have caused a minor contribution to Adam's  
2 brain swelling."  
3 He doesn't wish to exclude that. His haematocrit --  
4 this is during the actual operation -- fell by 42  
5 per cent from 31 per cent to 18 per cent at 9.32, and he  
6 says:  
7 "A swollen brain would increase the distance of  
8 diffusion that oxygen would have to travel from blood to  
9 cells and this would inhibit oxygen delivery to tissues,  
10 including the brain."  
11 PROFESSOR RATING: Yes, but it's a totally different point.  
12 That had nothing to do with his venous thrombosis.  
13 Q. I presume what he's talking about there is -- well, let  
14 me ask you. What is the significance to you of what  
15 Professor Gross is describing there?  
16 PROFESSOR KIRKHAM: Well, Professor Gross is describing the  
17 acute fall in haematocrit during the operation.  
18 Q. Yes.  
19 PROFESSOR KIRKHAM: And there has been discussion about  
20 whether that was dilutional or blood loss. I think  
21 there was at least a contribution of blood loss. But if  
22 you have a reduction in haematocrit of that amount, it  
23 will certainly put the brain at risk of anaemic hypoxia.  
24 And I think that's what he's saying, that basically --  
25 I think actually I have put this in my report. If

94

1 jugular vein ligated and I'm going to put something to  
2 you in a minute about that. You say that he had  
3 a central venous line in his neck and that his head was  
4 turned -- in other words, to one side -- and he was  
5 in the head-down position.  
6 In terms of the ligation of his left internal  
7 jugular vein, there was evidence about that during the  
8 hearing, and I think you've seen the transcript for it.  
9 If I take you to it, it's Dr Armour, and one sees the  
10 transcript of 13 June 2012, it's on the first page and  
11 it starts -- her answer starts at line 17. She says  
12 she's heard the evidence of the surgeon, Mr McCallion,  
13 and she sat in court, and she says that:  
14 "Considering his evidence, I am prepared to accept  
15 that this may well have been a piece of fibrous tissue  
16 that resembled a suture."  
17 There are a number of others who also comment on  
18 that. One sees it with Dr Haynes. His evidence was on  
19 2 May 2012, and he deals with it in a number of places,  
20 but at 185, he's talking about the lines and, for  
21 example, one sees that his answer at 11:  
22 "You're inserting a foreign body, a piece of  
23 plastic, into a patient's vein, which is going to alter  
24 the pattern of flow of blood within that vein and, in  
25 doing so, will increase the likelihood of thrombus clot

96

1 formation."  
2 At 25, he says:  
3 "When you take out a line, it's possible that the  
4 body has responded in some way to that line having been  
5 in there, which may affect the pattern of blood flow."  
6 At least, that is what's put to him and he agrees  
7 with that. And then when one gets to Dr Squier's  
8 evidence. She gives her evidence on 12 June 2012 and  
9 she comes closest to explaining what Dr Armour had  
10 talked about, and one sees that at page 145, starting at  
11 line 16. This is what she describes as the reactive  
12 process round the suture, whether it was in the vessel  
13 wall or adjacent to the vessel wall:  
14 "One would see some thickened fibrous tissue around  
15 the suture as part of the breaking down of the suture  
16 material, which is a normal process."  
17 And then over the page at 146:  
18 "Even when it's taken out [line 14], I would have  
19 thought that in nine months there might still have been  
20 some fibrous healing going on."  
21 Then at line 21:  
22 "And even if there hadn't been a suture, simply the  
23 fact that a line had been in that vessel would have  
24 probably meant that the vessel wall may have been  
25 a little thickened or scarred and certainly, if one took

97

1 in other veins, I think that there will be some risk  
2 that the venous drainage from the head will be  
3 compromised in an acute situation where you really need  
4 that blood shunted down quickly.  
5 Q. So you regard it as a risk factor because it's  
6 a hindrance to the body's compensating mechanism?  
7 PROFESSOR KIRKHAM: Yes, a hindrance to blood being able to  
8 be shunted out quickly.  
9 Q. Professor Rating?  
10 PROFESSOR RATING: It's nearly at the same level as what  
11 Professor Gross stated before: because there is the  
12 widening of the distance between the vessel and the  
13 parenchyma, that is bad for perfusion. So if the  
14 drainage is hampered, then it is bad for the perfusion  
15 of the brain. But every time, if I'm thinking about  
16 that, I am asking what is first and what is second, and  
17 these things with central lines, they're secondary and  
18 coming afterwards.  
19 THE CHAIRMAN: You mean that if there is -- your analysis  
20 is that if there is --  
21 PROFESSOR RATING: They're the first hit and then there are  
22 some -- one problem is very important, it means that  
23 in the kidney, it cannot react on the endocrinological  
24 changes. The kidney cannot concentrate throughout  
25 water, nothing ... and then there come minor things like

99

1 a section to look at under the microscope, one would  
2 probably be able to see some sort of reactive process,  
3 even if the lumen were still open and blood were flowing  
4 through it."  
5 Then at 9:  
6 "At the site of the suture, one would expect to see  
7 the obstruction to the vessel and the healing reaction  
8 to the suture material."  
9 So what seems to be the position from the evidence  
10 is that there wasn't any longer a ligation of that left  
11 internal jugular vein, but there is an issue as to  
12 whether, as a result of there having been a line in  
13 there, there was some fibrous tissue presenting a form  
14 of obstruction to the normal flow of blood, if I can put  
15 it that way.  
16 So if we start with your first point, that he had  
17 that as a risk factor, if you exclude the fact of the  
18 suture, the ligation, and substitute instead the fibrous  
19 material, is that enough to be a risk factor or do you  
20 need the complete restriction of the suture?  
21 PROFESSOR KIRKHAM: I think, as outlined here, if one vein  
22 is partially blocked, there is some plasticity, which is  
23 just underneath here, so you would eventually expect  
24 venous drainage pathways to form. However, in a patient  
25 who has got some narrowing to one vein and has catheters

98

1 there may be some sort of a perfusion, hampered by  
2 central lines or by the anaemia. But problems which  
3 come afterwards, which will not play any role if there  
4 is not the first hit.  
5 THE CHAIRMAN: And the first hit, as you describe it, is the  
6 excess fluid in a very short time?  
7 PROFESSOR RATING: Yes.  
8 THE CHAIRMAN: And if that is what happened with Adam --  
9 sorry, it's beyond dispute that that is what happened  
10 with Adam -- that can trigger off a series of additional  
11 problems?  
12 PROFESSOR RATING: Yes, events that make it more likely  
13 that, at the end, the brain is coned.  
14 MS ANYADIKE-DANES: So that obstruction, if I can put it  
15 that way, in the left internal jugular vein, the  
16 catheter being in the right internal jugular, the head  
17 being down and the head being turned to one side, all of  
18 that is part of a piece of problems with drainage;  
19 is that right, Professor Kirkham?  
20 PROFESSOR KIRKHAM: Yes.  
21 Q. And what you're saying is Adam might have been in  
22 a situation when he needed his drainage to work in an  
23 optimum fashion?  
24 PROFESSOR KIRKHAM: Yes.  
25 Q. And, in your view, these things would have prevented it.

100

1 I think, Professor Rating, you are saying, yes, they  
2 would have prevented it, but they wouldn't have been  
3 enough, had it not been for the other issue, which is  
4 the main point of departure between the two of you;  
5 is that fair enough?  
6 PROFESSOR KIRKHAM: Yes, I think so. Yes, I think ...  
7 THE CHAIRMAN: Okay. Let's move on.  
8 MS ANYADIKE-DANES: Then if we go to the venous sinus  
9 thrombosis itself. Can I ask: how many of the CT scans  
10 for the children that are reported in the Sebire paper  
11 were sufficiently conclusive to make a diagnosis of  
12 venous sinus thrombosis on the basis of the CT alone?  
13 PROFESSOR KIRKHAM: Most of the patients in that series were  
14 actually from Great Ormond Street, when I was there, or  
15 Southampton, and we had very easy access to MRI in both  
16 circumstances. I think those data were collected  
17 starting in the 1990s, so contemporaneous with Adam's  
18 operation. I, at that time -- we usually did not  
19 diagnose venous sinus thrombosis on CT, we usually  
20 needed an MRI. A lot of units will do a CT venogram and  
21 in fact, in an acute setting now we will often do a CT  
22 venogram. My radiologists assure me now that we can  
23 exclude it on a CT, but I don't think in 1995 it could  
24 have been. And the data from Canada from a similar era  
25 would have said that 40 per cent of venous sinus

101

1 the child died. A fulminant SVT leading to death in  
2 such a short time would have produced some cortical  
3 bleeding."  
4 And you asked a question to be put to Dr Squier on  
5 that point. She answered that in her report at  
6 206-012-002. The precise question is set out there:  
7 "A fulminant SVT leading to death in such a short  
8 time would have produced some cortical bleeding."  
9 That's a statement you put to her for her to respond  
10 to. She answers:  
11 "Although this is what is written in the textbooks,  
12 I don't think it is necessarily always the case."  
13 And then she goes on and describes -- in particular,  
14 she says:  
15 "Venous outflow obstruction in neonates and infants  
16 is most commonly haemorrhagic, but not always."  
17 And she gives the papers in support of that. She  
18 concludes ultimately, having set out a number of  
19 specific cases that she has dealt with or is familiar  
20 with, she concludes with:  
21 "These cases confirm that while the haemorrhage is  
22 common in fatal venous thrombosis, it's not inevitable."  
23 So in other words, as I read her, it is possible to  
24 have the fatal venous thrombosis, but not to see any  
25 signs of haemorrhage, and I think, when you responded,

103

1 thromboses would have been missed on CT.  
2 Q. So in other words, you can't really distinguish, on the  
3 radiology, if I can put it that way, Adam from these  
4 children because you had the benefit of an MRI for them  
5 and you didn't have the benefit of an MRI for Adam?  
6 PROFESSOR KIRKHAM: Yes.  
7 Q. When you were just looking at the CT scans, you weren't  
8 able to see what you subsequently could see on an MRI  
9 just on their CT scans or on occasion you couldn't?  
10 PROFESSOR KIRKHAM: Sometimes when you go back and you look  
11 again, you can see on the CT scan when you know on the  
12 MRI scan that it is there. An MR or a CT venogram makes  
13 it easier for the clinician to see. Radiologists can  
14 often see without.  
15 Q. Thank you.  
16 Professor Rating, I think that was one of your  
17 questions. Is there anything further that you want to  
18 put about that?  
19 PROFESSOR RATING: No.  
20 Q. Professor Rating, you had wanted a particular question  
21 to be put to Dr Squier, which is -- in fact, it comes  
22 from your report at 240-004-005. You say:  
23 "One cannot argue that SVT on the one side was so  
24 insidious or lingering that the pathologists had not  
25 seen it and, on the other side, it was so peracute that

102

1 you accepted that.  
2 PROFESSOR RATING: I have to accept it.  
3 Q. Well, just so that we see where you did do that, that is  
4 your report at 240-005-001. It's very short. What you  
5 say is:  
6 "I accept the witness of Dr Squier that there are  
7 cases in which an acute SVT did not produce any  
8 bleedings."  
9 So then if that's possible, what does that do to  
10 your argument? Because you started your argument at  
11 a fairly high --  
12 MR FORTUNE: Forgive me, what report are you quoting from?  
13 MS ANYADIKE-DANES: 240-005-001.  
14 MR FORTUNE: I have not seen that.  
15 THE CHAIRMAN: It is very short, Mr Fortune. There it is on  
16 screen now. I'm sorry if you've missed one particular  
17 letter, but there was some toing and froing between  
18 Professor Kirkham and Professor Rating in order to try  
19 and see what the ground was between them.  
20 PROFESSOR RATING: Not between Professor Kirkham and me, but  
21 Dr Squier. She answered to my question, and that's my  
22 statement to that. If a neuropathologist says that is  
23 possible, I have seen that and I cannot argue any more.  
24 I have to accept it.  
25 MS ANYADIKE-DANES: Yes. Well, what I was putting to you,

104

1        though, is that one of your arguments against the fact  
2        that an SVT could have developed was a concern that you  
3        had as how it could have happened so quickly and been so  
4        devastating, if I can put it that way, and yet you don't  
5        see cortical bleeding. Because your statement  
6        was: it would have produced it.

7   PROFESSOR RATING: Cortical bleeding and not all the other  
8        appearances of an acute venous thrombosis.

9   Q. Yes, but certainly the cortical bleeding is something  
10       you expected would be there. Dr Squier has said: well,  
11       no, not necessarily. So what I'm asking you then is: if  
12       you then accept that you can have an SVT in those  
13       circumstances and not see any cortical bleeding, what  
14       then does that do to your argument where you are being  
15       sceptical about whether it could have been present?

16   PROFESSOR RATING: I would answer: in the textbook, it is  
17       written down that in acute sinus venous thrombosis  
18       leading to death will have some cortical bleeding, but  
19       I learned that there are some in which you don't see.  
20       For me, it is much more likely that this child would  
21       have no cortical bleeding, has no other signs of acute  
22       sinus venous thrombosis. It is not very likely that  
23       this child really died from the venous thrombosis.  
24       I cannot exclude it because a neuropathologist said --  
25       or it's possible that it is being there, but for me

105

1        I hoped to get another answer, but that's the answer.

2   Q. Yes, but is that not just that sometimes you have the  
3        rare case and this could be the rare case?

4   PROFESSOR RATING: Yes. It's okay, but now coming back,  
5        what is -- we have not a child which was running around  
6        about and fell down and was dead and we have to discuss  
7        whether this child died of acute sinus venous  
8        thrombosis. But we have a child who went to an  
9        operation theatre, got too much free water, and then  
10       we are discussing the child has died because, only on  
11       hypothesis, that it was a first acute, became chronic,  
12       then it became acute on it and don't see anything in it.  
13       That's for me the -- the puzzle is not going on. I can  
14       accept any rare case, okay. But what is the phrase, on  
15       the probability of arguments?

16   THE CHAIRMAN: "On the balance of probabilities."

17        I think to be fair to Professor Kirkham, she's also  
18        advancing this as a possibility only, not as  
19        a probability. The difference is that maybe the point  
20        is that you had previously pretty much dismissed it  
21        entirely because there was no evidence of it on the  
22        CT scan. When you're told that not everything turns up  
23        on the CT scan, you're still very sceptical about it.

24   PROFESSOR RATING: Yes.

25   THE CHAIRMAN: Thank you.

106

1   MS ANYADIKE-DANES: Okay. Mr Chairman, I was just going to  
2        go on to deal with PRES, but I'm looking at the time.

3   THE CHAIRMAN: We need to take a break to allow the  
4        stenographer -- we'll keep it to 10 minutes and we'll go  
5        on today until 5 o'clock.

6   (3.30 pm)

7                   (A short break)

8   (3.40 pm)

9                   (Delay in proceedings)

10   (3.48 pm)

11   MS ANYADIKE-DANES: I'd like now to turn to PRES, posterior  
12        reversible encephalopathy syndrome. Professor Rating,  
13        you made two points about that. One, the posterior  
14        part, and the other, the reversible part.

15        I wonder if I can ask Professor Kirkham to  
16        explain -- at your report at 208-007-096, which we don't  
17        need to put up, you say:

18        "PRES is not always reversible. It may be fatal and  
19        has been described in renal disease, especially after  
20        transfusion."

21        Does that mean, given its name, that at one point it  
22        was thought to be a reversible condition or syndrome?

23   PROFESSOR KIRKHAM: The original reports tended to be  
24        patients who survived and in whom the change was  
25        reversed. This condition has had a rather difficult

107

1        time in terms of nomenclature. It has been called  
2        hypertensive encephalopathy previously and it has also  
3        been called reversible ... Anyway, it's been called  
4        other things. It's been called quite a wide variety of  
5        names and Steven Pavlakis wrote a very good review of  
6        that, but it's well recognised, particularly in  
7        paediatrics.

8   Q. What is it?

9   PROFESSOR KIRKHAM: It is quite well documented in  
10       Professor Rating's report in terms of the current  
11       thoughts on pathophysiology, but it is characterised  
12       clinically by an acute neurological presentation.

13   Q. Which means what?

14   PROFESSOR KIRKHAM: Well, if the child's fully conscious,  
15       often complaining of visual symptoms, sometimes acute  
16       cortical blindness. Children may have seizures and they  
17       may become increasingly unconscious. On imaging, they  
18       may have particularly posterior changes, which were  
19       originally particularly described as being white matter  
20       oedema, but in fact quite often include the grey matter.  
21       And considered within this umbrella of conditions, other  
22       manifestations including bilateral border zone ischaemia  
23       have been included, and that means that it is not just  
24       posterior, it can be frontal, there can be frontal  
25       involvement as well.

108

1 Q. So of the original terminology, leaving aside the one  
2 that relates to its radiological presentation, the  
3 posterior reversible encephalopathy syndrome: it doesn't  
4 have to be posterior, it's not always reversible, but  
5 there is encephalopathy?  
6 PROFESSOR KIRKHAM: Yes, there's usually typically  
7 encephalopathy.  
8 Q. And is it a syndrome that encompasses many things? Is  
9 it a single thing or is it the way in which the  
10 presentation appears, a number of things may have that  
11 feature and they're all under the umbrella term of PRES?  
12 PROFESSOR KIRKHAM: It has a number of risk factors, rather  
13 like venous sinus thrombosis, but not the same. It has  
14 been reported in a number of other conditions, so it  
15 happens, for example, in acute hypertension, it can  
16 happen with immunosuppression, with ciclosporin in  
17 particular. It's typically a radiological diagnosis on  
18 MRI in a child or adult presenting with blindness,  
19 seizures, acute encephalopathy.  
20 Q. You referred to Professor Rating's good description of  
21 it. We find that at 240-004-007.  
22 MR FORTUNE: It starts on the bottom of 006.  
23 MS ANYADIKE-DANES: No, the particular bit that I think that  
24 we're dealing with now is at 007.  
25 So in the boxes is what it has been associated with.

109

1 that -- I don't know whether you can ask Dr Anslow. The  
2 condition encompasses quite a wide variety of  
3 radiological diagnoses, and I've been reviewing this  
4 with one of my colleagues. That includes occipital  
5 changes, it can include bilateral border zone changes.  
6 It also includes patients who have a predominantly  
7 hindbrain presentation with cerebellar and sometimes  
8 brainstem abnormality on the MRI scan. Those patients  
9 have been included as well. So there is quite a wide  
10 spectrum of abnormality. And it is quite controversial  
11 as to what should be included and what should not.  
12 Q. When you say it's predominantly a radiological  
13 diagnosis, the only radiology that we have, as  
14 I understand it, isn't sufficiently sophisticated or  
15 clear enough to actually show it, if it were going to be  
16 there.  
17 PROFESSOR KIRKHAM: As Dr Anslow says, it would normally be  
18 diagnosed on MRI, but I have certainly been involved in  
19 patients where we've diagnosed it on CT alone in a  
20 clinical context. The reason for suggesting it in  
21 Adam's case is that there is more posterior swelling  
22 than anterior and, particularly, the cerebellum is  
23 involved.  
24 Q. I was going to ask you about that in a minute, but if  
25 you are saying that it is also diagnosable on the CT

111

1 And then I think what, Professor Kirkham, you were  
2 describing is the clinical findings which you see at the  
3 penultimate paragraphs: headaches, altered mental  
4 status, seizures, cortical visual disturbances and loss  
5 of consciousness. And that is a description that comes  
6 in part of from those three papers that Professor Rating  
7 describes.  
8 What I'm trying to understand is: if you have those  
9 presentations in a child, are you then describing that  
10 as PRES? I'm trying to actually find out what it is,  
11 because you then go on to say that you think that that's  
12 something that Adam developed, so I'm trying to see if  
13 you can help us with what it actually is.  
14 PROFESSOR KIRKHAM: It's a radiological diagnosis. As  
15 Professor Rating says, there's often a very non-specific  
16 clinical picture.  
17 Q. If it's a radiological diagnosis, what are you seeing on  
18 the radiology, given that it is no longer associated  
19 with one particular part of the brain, which is where it  
20 originally was thought to be associated, so you can now  
21 get it in -- I think you said almost anywhere in the  
22 brain really. So what is it you are seeing in the brain  
23 radiologically that you're saying, "That looks like  
24 PRES".  
25 PROFESSOR KIRKHAM: You really need a radiologist to answer

110

1 scan, even if you don't have an MRI scan, but the fact  
2 is it wasn't diagnosed on the CT scan, and even  
3 Dr Anslow -- and somebody will correct me if I'm  
4 wrong -- looking now at the CT scan can't say that it's  
5 there. One of the reasons why it might not be there is  
6 because the CT scanners in those days, they weren't  
7 maybe good enough in certain circumstances to show that.  
8 So if that's the situation that you've got and that's  
9 your main way of diagnosing it, how are you able to say  
10 that you think Adam developed it, other than some of  
11 these presentations that may be associated with other  
12 conditions?  
13 PROFESSOR KIRKHAM: Well, clinically, one of the main  
14 reasons I think that it's probable that a component of  
15 Adam's encephalopathy, which led to his death, is to do  
16 with PRES is that he actually had not only acute  
17 papilloedema, but retinal haemorrhages. That is mainly  
18 reported in hypertensive encephalopathy of the PRES  
19 variety. So it's a combination of the CT scan and  
20 indeed the post-mortem mainly showing posterior swelling  
21 and the clinical presentation with a reitnopathy with  
22 not only papilloedema, but with retinal haemorrhages.  
23 THE CHAIRMAN: Could I just interrupt for one moment just to  
24 make sure I understand two points? Do I understand it  
25 correctly that you understand why this wasn't identified

112

1 at the time of Adam's death, because at that time the  
2 development or emergence of PRES was not as clear as it  
3 became later; is that right?  
4 PROFESSOR KIRKHAM: That's right.  
5 THE CHAIRMAN: Am I also right in understanding that whereas  
6 you have previously talked about other risks and issues  
7 as being possibilities and maybe speculation, in terms  
8 of PRES you regard it as probably being present and  
9 probably being the initial trigger for the development  
10 of the cerebral oedema?  
11 PROFESSOR KIRKHAM: I think it's important, again, to  
12 separate cerebral oedema -- which is the swelling from  
13 the raised intracranial pressure -- from the herniation,  
14 and just look at the actual facts that we have. I think  
15 it's clear that Adam's pupils were fixed and dilated at  
16 the end of the operation, so he almost certainly had  
17 herniated his cerebellum through the foramen magnum.  
18 MS ANYADIKE-DANES: At that stage --  
19 PROFESSOR KIRKHAM: Whether he had herniated his cerebellum  
20 through the tentorium is not so clear, but I think it's  
21 completely compelling that he had herniated his  
22 cerebellum through the foramen magnum. There is  
23 cerebral oedema on the CT scan and at post-mortem, which  
24 is generalised, but predominantly posterior. And he had  
25 not only papilloedema, but retinal haemorrhages, and

113

1 on a hypertonic level of an adult.  
2 Q. You mean a dangerously high level?  
3 PROFESSOR RATING: Yes.  
4 Q. Let's pull it up so you can speak to it. 307-006-064,  
5 which is a graph which I think you've both seen.  
6 PROFESSOR RATING: Yes, but what is the meaning of the  
7 nephrologists? How high did they want to have the blood  
8 pressure?  
9 Q. No, that wasn't entirely the question I was going to ask  
10 you. You say that you don't think they intended it to  
11 be as high as it is being depicted there [OVERSPEAKING]  
12 --  
13 PROFESSOR RATING: -- especially on this PKA it was found.  
14 I think that was not the pressure which they wanted to  
15 have.  
16 Q. So from that, are you saying that --  
17 PROFESSOR RATING: The blood pressure is not due to what  
18 they are doing --  
19 Q. If it was that high, then it is due to another cause,  
20 and that other cause is related to what you say is the  
21 development of his terminal state.  
22 PROFESSOR RATING: Of the brain oedema, yes. That's one  
23 thing. Therefore, we have to -- we really have to look  
24 at which time they gave which medication to get which  
25 blood pressure. I didn't remember. The other thing

115

1 he had had ... He had been made hypertensive to make  
2 this adult kidney produce urine. And I think that was  
3 very clear from the experts' meeting, that is in fact  
4 something that you have to do to get an adult kidney to  
5 perfuse in a young child. Unfortunately, the kidney  
6 didn't work and that may have made things more  
7 difficult. But that's what the team were trying to do.  
8 Q. Those were all facts?  
9 PROFESSOR KIRKHAM: Yes. So I think on the balance of  
10 probabilities the hindbrain herniation will have been  
11 partly related to the development of particularly the  
12 posterior cerebral oedema and cerebellar oedema.  
13 Q. Okay. Professor Rating?  
14 PROFESSOR RATING: I want to make two statements. Firstly,  
15 I would like to ask -- I have not realised the  
16 discussion on which level the blood pressure should be  
17 increased that the adult kidney will work. I don't  
18 believe that they have intended to get such high levels  
19 as in Adam's case was found later on. I don't believe  
20 that they wanted to have the diastolic pressure above  
21 100. And such a high -- medium pressure of ... [German  
22 spoken] median arterial pressure goes quite up, very  
23 well, and I don't believe that they want to have such  
24 high blood levels. That means that during every  
25 transplantation, the blood pressure in the child must be

114

1 I would like to make a comment on is PRES. I want to be  
2 very simple. If you are speaking of measles, then you  
3 know everything, you know that it is a virus, you know  
4 the clinic, you know in which way the clinic, the  
5 pathophysiology, comes up and you have some information  
6 about prognosis and therapy.  
7 If you speak of PRES -- and for me it's really  
8 a diagnosis, it's an entity, it's a disease. If you  
9 speak of a PRES, then it is a syndrome from which we  
10 didn't know which is the agent -- they are very, very  
11 different -- we don't have any good pathophysiological  
12 explanations in which the symptoms are coming up.  
13 We have, from the MRI, some typical pictures, that's  
14 clear, and we have some information about the prognosis.  
15 That means we are speaking -- when you speak on PRES,  
16 we are speaking not from a disease, but from a syndrome  
17 of a totally different level of evidence. PRES is not  
18 PRES -- there are many different aetiologies coming,  
19 provoking PRES. Therefore, I would make the point that  
20 we cannot say PRES is a disease in itself, but in some  
21 way it is a symptom, mostly seen by the radiologist  
22 because, without MRI, you have a little bit of  
23 difficulty to diagnose it. But we can diagnose -- you  
24 are right, you can do it out of the CT.  
25 The other point, because you asked for the

116

1 radiological findings -- I was pressing that in my  
2 number 240-004-008 and 009, I have taken out of the  
3 literature some pictures which are presented, especially  
4 in journals of radiologists, who will show to other  
5 people who didn't know anything about PRES, that they  
6 have an impression because radiology teaches by  
7 pictures. And I'm puzzled that there is quite a lot of  
8 space there. That means that there is not a swollen  
9 brain or it is partly swollen brain, but there is much  
10 space, the ventricles inside and outside. You have  
11 really plenty of space there. If you look for the CT of  
12 Adam, you have not seen any space left. You have  
13 a very, very small ventricle, left and right ventricle,  
14 you have a little bit round about the surfaces. And  
15 that's for me -- you are more in the field, it's more  
16 your specialty, Professor Kirkham. I think the pictures  
17 are so totally different, what is published to PRES,  
18 that I can learn what is PRES, coming from papers that  
19 you referred to, to learn about PRES in your article,  
20 and they show so much space. It's not a swollen brain,  
21 it's not a brain which occupies all of the skull. And  
22 that's puzzled me with the diagnosis of PRES in that  
23 situation.  
24 Q. Well, if we pull up perhaps instead of the 240-004-008,  
25 for example, 300-081-166, just in case Adam's mother --

117

1 slits there by comparison to what you're talking about.  
2 PROFESSOR RATING: Yes.  
3 Q. The question I want to ask you is: does that mean that  
4 PRES occurs in circumstances where the brain is not so  
5 oedematous or is it possible for it to occur and have  
6 this presentation also, given that it is such a wide  
7 range of a syndrome, if I can put it that way?  
8 PROFESSOR RATING: I cannot answer the question as you give  
9 me.  
10 Q. Sorry.  
11 PROFESSOR RATING: I want to go to the right side of the  
12 plan, 009. You see in figure 3 -- it's the same  
13 patient. Left is CT. And you see the dark zones in the  
14 cerebellum down. And the right one is MRI and the dark  
15 is there, the white zones. That means that you can, as  
16 Professor Kirkham said, you can diagnose PRES in CT if  
17 you have such typical things and you make an MRI, there  
18 is the white zones, and then you can make the diagnosis.  
19 But again you see on the CT quite a lot of space,  
20 subarachnoidal, and in the MRI too.  
21 Q. My question was a little different. Is it possible to  
22 have PRES where you have a brain as oedematous as  
23 appears in Adam's CT scan here?  
24 PROFESSOR RATING: I have not found -- in the literature  
25 I have found, I have not found a case, a picture like

119

1 this is from Adam's brain.  
2 PROFESSOR RATING: It would be better, the CT.  
3 Q. The CT scan, we can do that. Let's look at 300-083-181.  
4 I meant to retain the other one, not that 008.  
5 PROFESSOR RATING: There is very, very left of the  
6 ventricle --  
7 Q. Sorry, let's just get the comparator up. Can we please  
8 pull up alongside that 240-004-009?  
9 PROFESSOR RATING: But that's from July when it was normal.  
10 That's not the MRI post transplantation. Here you see  
11 the ventricles.  
12 Q. We're just going to get you to compare them. This is  
13 Adam's brain before, and now instead of the 181, if you  
14 can put up 300-075-138.  
15 PROFESSOR RATING: There, the ventricles are nearly gone,  
16 and down, you don't see anything. On the other side,  
17 those which are said to be typical for PRES -- that  
18 means great ventricles that are swollen partly, there is  
19 [German spoken] space-occupying lesions there in the  
20 MRI, especially on the right hand down in figure 3, the  
21 right one. But it's totally different.  
22 Q. Yes. If you look, just so that you help us with this,  
23 if you look at Adam's and you look at the one on the far  
24 right just above the side picture of his head showing  
25 where the sections are taken, you see almost just the

118

1 Adam's. Therefore that's one question to Professor  
2 Kirkham --  
3 Q. I'm just going there.  
4 PROFESSOR RATING: I have not found any case which was such  
5 a swollen brain and said, "That's PRES". What I have  
6 seen is that partially, maybe occipitally or frontal,  
7 there is some space-occupying lesion, but not a whole  
8 brain as swollen in Adam's case.  
9 Q. Professor Kirkham, then, the question to you  
10 is: do you have any experience or evidence of a brain as  
11 oedematous as Adam's where PRES has been diagnosed?  
12 PROFESSOR KIRKHAM: I looked after a child in 1984, who had  
13 acute hypertensive encephalopathy who became acutely  
14 unconscious and had raised intracranial pressure with  
15 intracranial pressures of 40 millimetres mercury and had  
16 quite widespread brain swelling. And Griswold et al,  
17 1981, in my report responding to Professor Rating, also  
18 described severe intracranial hypertension and more  
19 widespread oedema in a patient with severe hypertensive  
20 encephalopathy. So I think it's probably not very  
21 common, but I do think it can occur, and I would agree  
22 with Professor Rating that you can get into a vicious  
23 cycle where you've -- and that may well be what happened  
24 in the intensive care unit, where the blood pressure  
25 problem was no longer related to what the doctors were

120

1 trying to do to keep the blood pressure up to perfuse  
2 the adult kidney, but was in fact a vicious cycle of  
3 increased blood pressure, increased vasogenic oedema  
4 from the increased blood pressure and then a vicious  
5 cycle of further reduction in perfusion pressure and  
6 therefore ischaemia.  
7 Q. So in other words, although Professor Rating is right  
8 that this -- because it's been published that these are  
9 scans associated with PRES, that doesn't mean that you  
10 can't have PRES in circumstances where the brain is more  
11 oedematous?  
12 PROFESSOR KIRKHAM: I think you can have -- I don't think  
13 it's reported very commonly now because I think it's  
14 picked up much more quickly, but in the original series  
15 of hypertensive encephalopathies there are some cases  
16 with more widespread swelling.  
17 THE CHAIRMAN: But they were comparatively infrequent  
18 compared to the ones with less swelling?  
19 PROFESSOR KIRKHAM: Yes. I mean, the characteristic  
20 diagnosis now would be the one that Professor Rating is  
21 showing us, but it's quite a broad spectrum.  
22 PROFESSOR RATING: To be honest, I think that the MRI  
23 findings will be changed by the underlying diseases  
24 leading to PRES. That means it will be the PRES of a,  
25 say, acute leukaemia and a PRES of an acute

121

1 because, at the beginning, it was really posterior of  
2 the cerebrum. That means in the occipital and in the  
3 frontal region and then it's shifted in the discussion  
4 in the papers to posterior. That's cerebellum. I think  
5 that was where I started to argue that we have here  
6 a case of predominantly increased intracranial pressure  
7 in the posterior in the fossa posterior cerebri -- that  
8 means where the cerebellum is located. Whether it is  
9 a whole ... I have seen pictures where very many parts  
10 of the brain have been involved with these whitening  
11 lesions on MRI on the right side of the screen. So that  
12 can be a global thing. Whether it can be such a global  
13 thing, like in Adam's case, we have to ask  
14 a neuroradiologist on that. I don't know.  
15 Q. The reason why I'm asking is that -- the first part  
16 really comes from your report at 240-004-013, and we  
17 don't have to pull that up. You are referring to Iyer  
18 there at 2011, and you say at least in children, the  
19 cerebellum is even less involved in PRES compared to the  
20 cerebrum. So that is your position. What Dr Squier  
21 said at 206-010-124 was that the swelling may not be  
22 purely posterior and then she goes on to say that it may  
23 be reversible. You carry on with your description of  
24 the presentation of it to say, at 240-004-013, that you  
25 believe that it shows -- that is Adam's CT scan -- too

123

1 streptococcal glomerular nephritis will be different.  
2 MS ANYADIKE-DANES: I see. So depending on what has lead to  
3 that syndrome, that will affect the presentation?  
4 PROFESSOR RATING: Yes. Especially I think that what is  
5 only seldom seen, the hypertensive encephalopathy, this  
6 picture will differ, I suppose, I don't have any -- my  
7 thinking of it will be different to when it is acute  
8 nephrotic syndrome. I think there are different  
9 pictures leading to PRES because of the MRI findings but  
10 the MRI findings will be different according to the  
11 underlying disease. That's what I am thinking what  
12 you are thinking; is that right?  
13 PROFESSOR KIRKHAM: Yes, I would agree with that, and  
14 I think the circumstances do make a difference.  
15 Q. Can I ask Professor Rating something so that we're clear  
16 about it and because it appeared in your report? Do you  
17 accept that PRES isn't always reversible and sometimes  
18 it can be fatal?  
19 PROFESSOR RATING: I have read in the literature that there  
20 are defects, yes.  
21 Q. And do you accept that it's considered now not always to  
22 be posterior, but there could be more generalised  
23 swelling or it could relate to swelling in other parts  
24 of the brain?  
25 PROFESSOR RATING: I started with this posterior discussion

122

1 much generalised swelling.  
2 I have just been listening to the debate that you  
3 and Professor Kirkham have been having and I'm wondering  
4 if you're prepared to concede or accept that that may  
5 not be the case: it may be possible to have that amount  
6 of generalised swelling and still fall within the rubric  
7 of PRES.  
8 PROFESSOR RATING: Can we come to this question a bit later?  
9 Because I want to ask Professor Kirkham ... I have  
10 difficulty with the time evaluation. From what I have  
11 read from the papers, I have the impression that PRES  
12 needs time. It's not -- so here is a situation and one,  
13 two, three, four hours later, PRES -- fully blown  
14 PRES -- is present. That is my reading, that you need  
15 at least days, sometimes even longer. What is your  
16 impression from the literature and your discussion?  
17 I can only refer to what I have read in the literature,  
18 I have not tried to discuss it with a neuroradiologist,  
19 and I'm a little bit out of the clinical work, therefore  
20 I could not discuss it with other co-workers.  
21 PROFESSOR KIRKHAM: I think from the clinical point of view,  
22 it doesn't does present acutely. Of course, what you  
23 don't know is how long it has been taking, but I've  
24 certainly seen children with hypertensive encephalopathy  
25 who were fine one minute and had a bad headache and had

124

1 a visual loss the next.  
2 PROFESSOR RATING: Yes, but that's not my question because  
3 there is underlying disease, which may provoke PRES.  
4 How long this underlying disease is going on to bring up  
5 PRES? So you have, in an acute crisis of an  
6 hypertensive encephalopathy, that you become blind,  
7 that's clear, and you have headache and so on. But if  
8 you take an acute leukaemia, if you take AIDS, if you  
9 take Guillain-Barre syndrome -- which is all in  
10 [inaudible] -- how long these patients have the syndrome  
11 and then it was realised.

12 For example, Guillain-Barre, they have a flaccid  
13 paraparesis. At which time do they become PRES?  
14 Is that really at the beginning because -- before they  
15 have any flaccid paraparesis or if it is a follow-up?  
16 I get the impression that all these  
17 immunological-moderating diseases needed time to bring  
18 up PRES.

19 PROFESSOR KIRKHAM: I think I'd need to think about that  
20 a little more, which I'd be happy to look at tonight.

21 I think Adam certainly had a chronic disease and  
22 had ... Interestingly, I think, had not been  
23 hypertensive before, so perhaps had been ... I think  
24 there is a little evidence in the literature that  
25 patients who have a surge of blood pressure acutely when

125

1 PRES because they have now some sort of a box they can  
2 organise unknown situations which you could not know  
3 what was -- they now can put it in this box of PRES.  
4 But it is not so sharply described and defined diseases  
5 as -- for example, hypertensive encephalopathy is much  
6 better described from the clinical point and what's  
7 going on and why it's going on than PRES. I think PRES  
8 is a little bit vague, but I think it is a good term and  
9 a good syndrome to think of by learning for other  
10 things. Personally, I think that the discussion on PRES  
11 can give us some input about the mechanisms. I think  
12 the main difference between us is that I accept that  
13 there is a hyponatraemic-driven increase of brain  
14 pressure up to the death. I accept it. But if you ask  
15 me which is going, by which mechanism it is going,  
16 I would say I don't know. And I think that's one of her  
17 points that she didn't know either, but she's much more  
18 disturbed about that she did not know this pattern or  
19 mechanism and therefore is looking around whether it  
20 could be other problems with it.

21 But your question: it's a syndrome that's not  
22 a disease and not an entity, it's a syndrome. It's  
23 a box to put in, which is for a clinician working, it's  
24 nice to have it, yes, but it's in discussion. And  
25 I think it will be split further regarding the different

127

1 they have been normotensive before are perhaps more  
2 likely to have PRES more acutely. I think I can find  
3 the paper for that. I've been looking with Dr Zaferiou  
4 in Thessaloniki about this and I think I've got a paper  
5 to show that. I think that would perhaps be more  
6 relevant to the discussion of Adam's case than the  
7 immunological cases with Guillain-Barre.

8 I think I probably would agree that the children  
9 with leukaemia that I've seen with this have had  
10 leukaemia for a while, and I don't think I've ever seen  
11 a child with Guillain-Barre presenting with signs of  
12 PRES. It has been more a couple of days down the line,  
13 but I would have to check that.

14 Q. Maybe we could return to that point tomorrow.

15 MR FORTUNE: Before we move off that point, sir, could we  
16 find out from the two professors the following? As we  
17 understand it, hypertensive encephalopathy is a clinical  
18 diagnosis, whereas PRES is a radiological entity.  
19 I think both may well agree with that. But would the  
20 professors agree that the definition of PRES is not one  
21 that is universally accepted and that clinicians may  
22 have some difficulty in defining PRES for the benefit of  
23 other clinicians?

24 PROFESSOR RATING: Yes. In discussion, I think that the  
25 paediatric neurologists are pleased with a syndrome of

126

1 entities.

2 THE CHAIRMAN: Professor Kirkham, do you agree with that?

3 PROFESSOR KIRKHAM: Yes, broadly I do agree with that.

4 I think when I was doing my original coma studies,  
5 hypertensive encephalopathy was not terribly common, but  
6 we did see children presenting with renal disease who  
7 became very acutely hypertensive and paediatricians did  
8 not recognise what was happening and the child became  
9 comatose, which is effectively the definition of  
10 encephalopathy. And then you've got hypertensive  
11 encephalopathy and that's a clinical diagnosis.

12 We are better now at realising that children with  
13 renal disease are likely to have an acute rise in blood  
14 pressure, so rather than waiting until they are  
15 unconscious, we will often slot them into the MRI  
16 scanner to see whether we can pick up the sort of subtle  
17 changes on the MRI scanner and bring their blood  
18 pressure down anyway, which is what you'd want to do.  
19 But the absolutely crucial thing -- and this is what  
20 didn't happen in my patient from 1985 -- is you have to  
21 bring the blood pressure down very slowly because if you  
22 bring it down very quickly, the perfusion pressure drops  
23 and then you get ischaemic brain damage on top of the  
24 PRES.

25 What I think both Professor Rating and I are saying

128

1 is that in Adam's case we wonder whether what was  
2 actually developing was a vicious cycle of raised blood  
3 pressure, raised intracranial pressure, reduced  
4 perfusion pressure and, therefore, more widespread  
5 oedema. I would argue that -- I know that  
6 Professor Rating says that he thinks the original  
7 problem was the hyponatraemic oedema, but you could  
8 certainly get into a vicious cycle where once the  
9 perfusion pressure had dropped, you would get a more  
10 widespread problem, and that has definitely been  
11 described in some cases with PRES, including a case  
12 I actually published in Lancet Neurology with Pavlakis's  
13 group, where we one day -- this is a child with  
14 rheumatoid arthritis. One day we saw the PRES  
15 abnormality and the next day we saw the widespread  
16 border zone ischaemia.

17 So I think that does happen and I think that perhaps  
18 the difference between Professor Rating and myself  
19 is that I think there may well have been some oedema  
20 secondary to the low sodium, but I don't think that that  
21 was actually the cause of death. I think that the high  
22 blood pressure and the vicious cycle with the  
23 intracranial pressure actually would then have caused  
24 cerebellar herniation and therefore death. Whereas  
25 Professor Rating would say that the main cause -- in

129

1 intracranial pressure.  
2 PROFESSOR RATING: But again, six hours, she became better  
3 or -- he is dead after four hours.  
4 PROFESSOR KIRKHAM: Well, I --  
5 PROFESSOR RATING: We cannot clear it.  
6 MR FORTUNE: Sir, just listening to the two professors, does  
7 it follow that there is no general agreement amongst  
8 paediatric neurologists as to exactly what is the  
9 syndrome PRES?  
10 THE CHAIRMAN: Sorry, I don't want the two witnesses to have  
11 to go back over this again. What I understood from  
12 Professor Rating's response and what I understood  
13 Professor Kirkham was agreeing to is that there are some  
14 issues around the edges of PRES of whether something  
15 constitutes PRES or not, but there is a central area,  
16 which is broadly regarded as constituting PRES; is that  
17 correct?  
18 PROFESSOR RATING: That's right.  
19 PROFESSOR KIRKHAM: Yes, and there's also a very clearly  
20 defined clinical phenomenon of hypertensive  
21 encephalopathy from which you can die. Those cases  
22 reported as dying of hypertensive encephalopathy tend to  
23 be in the older literature because we try to avoid that  
24 happening.  
25 MS ANYADIKE-DANES: Professor Rating, can you give us your

131

1 fact the sole cause -- would be the hyponatraemic  
2 cerebral oedema.  
3 PROFESSOR RATING: It may be very interesting, for me, an  
4 interesting comment. You spoke of this girl who had  
5 rheumatoid arthritis and then she has some --  
6 PROFESSOR KIRKHAM: It's a boy then. The second one is a --  
7 boy.  
8 PROFESSOR RATING: -- and then he has some signs of PRES?  
9 PROFESSOR KIRKHAM: Yes, he has PRES initially and then the  
10 following day he has --  
11 PROFESSOR RATING: 24 hours later?  
12 PROFESSOR KIRKHAM: We can't scan people every minute.  
13 PROFESSOR RATING: But I come back to -- we have a situation  
14 that a child went to the theatre, who was quite well,  
15 and after four, five hours, he was dead. And I have the  
16 impression that all the publications on PRES, PRES needs  
17 time, and I have difficulties -- it could be acute  
18 venous sinus thrombosis. That would fit in very well.  
19 But I think that the neuropathology [inaudible], but  
20 PRES, for my reading, needs more time to develop.  
21 PROFESSOR KIRKHAM: The girl that I saw in 1985 definitely  
22 went from fully conscious to deeply unconscious within  
23 six hours. So that's not so far from the situation  
24 we have here. She survived, but she needed a month of  
25 intensive care with major management of her raised

130

1 view on one matter? Just before we got into the last  
2 part, Professor Kirkham described a vicious circle to do  
3 about what happens to the pressure. Leaving aside the  
4 differences between you as to what might have triggered  
5 that, nonetheless in terms of once the pressure has  
6 started in the way that Professor Kirkham described, do  
7 you agree or not that that is a vicious cycle that can  
8 be set up?  
9 PROFESSOR RATING: Yes, and at some page I have shown this  
10 cycle, which I copied out of a publication. Yes, you  
11 start with -- let's have a look where it is. I think it  
12 was in the first already when I have not known anything  
13 about that PRES would be of interest because I was  
14 not -- this is a diagraph coming out of a -- showing  
15 this cycle that's --  
16 Q. I think it's at 240-004-011.  
17 PROFESSOR RATING: You know my papers better than I.  
18 Q. Is that it?  
19 PROFESSOR RATING: That's it. Here is written that the  
20 immediate effect of hypotonic state. You can put "any  
21 other" there. Then it starts that the perfusion will go  
22 down. What Professor Gross was saying because there is  
23 more water, the distance between the blood vessels and  
24 the parenchyma will be a greater distance. That means  
25 malperfusion, malnourishment of cells. That means cells

132

1 lose function and so on. Then it is going in a cycle,  
2 one step after the other every time will make it more  
3 worse.  
4 Q. So there, there could be another start to that, but  
5 whatever it is that starts it, that's the cycle that can  
6 develop?  
7 PROFESSOR RATING: Yes. Such a cycle can develop.  
8 Q. And Professor Kirkham, would you accept that?  
9 PROFESSOR KIRKHAM: Yes. Yes, I'd accept that.  
10 THE CHAIRMAN: So the question is what starts the cycle?  
11 PROFESSOR KIRKHAM: Exactly.  
12 MS ANYADIKE-DANES: That's where the difference is going to  
13 emerge or has emerged.  
14 PROFESSOR KIRKHAM: Can I just add to what I said before  
15 about the distinction between hypertensive  
16 encephalopathy and PRES and whether we agree? One of  
17 the reasons that I think Adam had a PRES/hypertensive  
18 encephalopathy is that he had retinal changes which are  
19 consistent with hypertensive encephalopathy with not  
20 only papilloedema but retinal haemorrhages, and I have  
21 scoured the literature for cases. In fact, I was  
22 particularly looking for retinal haemorrhages with  
23 venous sinus thrombosis because I was interested  
24 in that, and I can't find any cases, and there's  
25 a recent review of papilloedema and retinal haemorrhages

133

1 interesting for me.  
2 For my thinking, every incidence of an increased  
3 intracranial pressure can, at the end, provoke  
4 bleedings, haemorrhages. It will be a little bit more  
5 often if it is very acute, but even in chronic  
6 situations you have bleedings. I have a little bit --  
7 it would not be my experience that you can make a great  
8 differential diagnosis between the cases where you have  
9 a bleeding and cases where you have no bleeding, that  
10 you can really put them apart. It's not my ... But  
11 yes, I will read it after.  
12 THE CHAIRMAN: Okay.  
13 MS ANYADIKE-DANES: Thank you very much, Professor Rating.  
14 I think Professor Kirkham, you're going to read  
15 something else up. Perhaps we can come back on that  
16 tomorrow.  
17 Can I just clarify one bit? Because a helpful thing  
18 to do is to be clear about the things that you do agree  
19 about as well as getting you specifically to address the  
20 things that you disagree about. Professor Kirkham had  
21 identified -- and we've mentioned some of them  
22 already -- what she regarded as four risk factors for  
23 PRES. I'm not sure she said they were the only risk  
24 factors, but she identified four. One sees that at  
25 208-007-096 of her report. One was the raised blood

135

1 in children. It's a very big issues for us as  
2 paediatricians because of the non-accidental injury  
3 cases, so it's a big question for me in clinical  
4 practice: what else could it be other than --  
5 Q. You mean the shaken baby sort of cases?  
6 PROFESSOR KIRKHAM: Shaken baby. The one other thing it  
7 could be is hypertensive encephalopathy. And there is  
8 not much else that causes retinal haemorrhages apart  
9 from those two things.  
10 PROFESSOR RATING: But didn't you see regularly in children  
11 who have regularly hydrocephalus shunted and became in a  
12 crisis which is not seen by the patients. I have seen  
13 them and they have a papilloedema and they have  
14 bleedings.  
15 PROFESSOR KIRKHAM: To be honest, I have not seen that  
16 acutely and if you look at the literature, particularly  
17 the Shiau & Levin paper, that's not what they report.  
18 It is really something that goes with --  
19 PROFESSOR RATING: Which paper?  
20 PROFESSOR KIRKHAM: Shiau & Levine, 2012. It has been  
21 reported.  
22 MS ANYADIKE-DANES: Can you just give the reference from  
23 your report, Professor Kirkham?  
24 PROFESSOR KIRKHAM: It's the last reference in my report.  
25 PROFESSOR RATING: I will try to read it after. That's

134

1 pressure, the other was blood transfusion, the third was  
2 erythropoietin and the fourth was the immunosuppressant  
3 agents.  
4 Do you accept that those are risk factors for PRES?  
5 Irrespective of whether they led to PRES in Adam, do you  
6 accept those as risk factors for PRES?  
7 PROFESSOR RATING: I would say the other way round. I'm not  
8 sure that these risk factors by themselves ... Because  
9 the risk factors put here down will be one or the other  
10 underlying diseases. In high blood pressure, you will  
11 have that in kidney disorders. You will give, in kidney  
12 disorders, immunosuppressants. You have kidney  
13 disorders which are anaemic and which have blood  
14 infusion. If you look at my list of diseases which are  
15 found as underlying diseases and bringing up PRES, the  
16 same for acute leukaemia. They have anaemic -- most of  
17 them will have blood transfusions, most of them will  
18 have some sort of immunomodulating therapy. Therefore  
19 I'm not quite sure whether we, in this moment, are at  
20 the stage to go really to risk factors. I would stick  
21 to underlying disease in which PRES is seen. But how  
22 many of these so-called risk factors are in this  
23 underlying disease in different -- and nearly in every  
24 one. Chronic children after aplastic anaemia, they have  
25 got erythropoietin, they have got immunomodulating

136

1 diseases, they have got transfusion. Is it now the  
2 transfusions or is it the disease of the aplastic  
3 anaemia which bring up by immunomodulating mechanisms,  
4 PRES? Do you understand my point?  
5 MS ANYADIKE-DANES: I do understand your point. I'm just  
6 going to ask about the blood transfusion point.  
7 MR FORTUNE: Sir, we understand the concept of risk factors  
8 to be factors that were present before surgery. And  
9 what concerns us is that in relation to the  
10 immunosuppressant agents, ciclosporin was in fact  
11 administered afterwards. To that extent, could  
12 ciclosporin in fact be a risk factor?  
13 PROFESSOR RATING: You have at 10.30 -- you have written in  
14 your paper. That was my apology of this morning that  
15 I have located this wrong. I thought it was afterwards.  
16 THE CHAIRMAN: But you now understand it was during the  
17 operation?  
18 PROFESSOR RATING: Now it came up it was afterwards.  
19 MS ANYADIKE-DANES: No, a different thing.  
20 MR FORTUNE: A slightly different point.  
21 MS ANYADIKE-DANES: Sorry, Mr Chairman, I wonder if I can  
22 ask this point because it's all predicated on whether  
23 what Professor Kirkham means by "risk factor" is  
24 something prior to his surgery. If we ask her if that's  
25 what she meant when she used the expression "risk

137

1 his operation was complicated because of a number of  
2 previous operations he had had and -- there's no dispute  
3 that he did have a number of previous operations. He  
4 lost a considerable amount of blood -- around 1,000 to  
5 200 ml [sic] according to Dr Taylor -- and the  
6 experts -- doctors Haynes, Coulthard and Gross -- when  
7 his total blood volume was 1,600 ml, and then you go on  
8 to talk about the haematocrit and so on and so forth.  
9 When Dr Taylor was giving his evidence, he was asked  
10 about the blood loss because it was a point of departure  
11 between he and Mr Keane, the surgeon. Mr Keane was of  
12 the view that he hadn't lost as much blood as that. In  
13 fact, nobody knew exactly how much blood he'd lost  
14 because the way of measuring it managed to get it --  
15 there was an addition of other fluids in the cavity:  
16 there was the melted ice that had been used to chill the  
17 kidney, and one thing and another, and also some urine,  
18 in fact. So it was only an estimate, and then you  
19 looked at the swab count and they had to work out an  
20 estimate of how much actual blood Adam lost and over  
21 what period.  
22 I'm not sure there's anybody representing Mr Keane  
23 here, but somebody will correct me if I've got that  
24 wrong. That was Mr Keane's position. Dr Taylor  
25 acknowledged in his evidence that Adam's blood loss was

139

1 factor", that might assist.  
2 What were you meaning to convey when you listed  
3 those four things as risk factors?  
4 PROFESSOR KIRKHAM: I think the risk factors have to be  
5 there before he deteriorates, not necessarily before the  
6 surgery, but before he's found to have fixed and dilated  
7 pupils at 12 o'clock.  
8 Q. So predisposing him to deteriorate?  
9 PROFESSOR KIRKHAM: Yes.  
10 Q. Which could be a predisposition that he develops as a  
11 result of something that happens during the surgery?  
12 PROFESSOR KIRKHAM: Yes. For example, the blood pressure  
13 goes up during surgery, but I think it still could be  
14 a risk factor. The azathioprine is given during  
15 surgery. The ciclosporin was started afterwards, to my  
16 understanding. It might have made things worse, but  
17 I don't think it can be blamed for triggering. And then  
18 he did have a blood transfusion during surgery, which in  
19 people with thalassaemia and sickle-cell disease has  
20 been found to precipitate a PRES-like illness.  
21 Q. Can I ask you about the blood transfusion because that  
22 turned out to be -- well, not the transfusion itself,  
23 but the amount of actual blood he lost turned out to be  
24 a contentious issue if I can put it that way. You say  
25 at 208-002-025 -- I think it's your paragraph 21 -- that

138

1 an estimate and not a calculation, and that when he was  
2 estimating it, he hadn't factored in that there might be  
3 urine, there might be the peritoneal dialysis fluid or  
4 there might be some slushed ice and so on and so forth.  
5 And he then went on to say that he thought there was an  
6 element of both bleeding and haemodilution.  
7 Dr Coulthard's view is that much of it might have  
8 actually been haemodilution; he says that on day 20.  
9 Mr Keane -- I think his estimate was somewhere  
10 between 468 ml and 665 ml, but all these are just  
11 estimates. The reason why I'm asking you that is:  
12 you have included the blood transfusion and the fact  
13 that related to the raised blood pressure and the fact  
14 that he lost blood as all part and parcel of an argument  
15 as to what was happening with Adam. If indeed he didn't  
16 lose that amount of blood, does that affect your view as  
17 to what was happening with him?  
18 PROFESSOR KIRKHAM: Um ... (Pause). I'm not sure. The  
19 data on PRES related to transfusion is mainly in  
20 patients with chronic anaemia who drop their  
21 haemoglobins because they haemolyse. For example, in  
22 sickle-cell disease, they may get acute haemolysis with  
23 a viral illness called parvovirus, and then they get  
24 transfused, often a little bit rapidly, and then have  
25 a PRES-like illness immediately afterwards. I'm not

140

1 sure on the literature whether you can get PRES if you  
2 are overtransfused too rapidly after blood loss.  
3 I suspect that it could be a risk factor, but I think  
4 just the rapidity of transfusing probably is what --  
5 nobody really knows what triggers this. The literature  
6 comes from the treatment of anaemias in children. And  
7 I don't know that anyone's looked at the blood loss  
8 argument.  
9 Q. Let me put it to you in a slightly different way then.  
10 If it's not clear exactly how much blood he lost, but  
11 we have a better idea of how much blood was transfused,  
12 then without knowing what he actually lost and therefore  
13 whether there's a complete making up of his blood by the  
14 transfusion, but just having a better idea of what was  
15 transfused, was there enough being transfused to still  
16 retain that as a risk factor for Adam?  
17 PROFESSOR KIRKHAM: Definitely. He was transfused a fair  
18 amount of blood for his size because it was considered  
19 that he had lost a lot.  
20 Q. Where we see the figures for it is 307-006-067. There  
21 was a slight issue as to knowing exactly how much he was  
22 transfused because one had to work out what was the size  
23 of the bag and so on and so forth. But this seemed to  
24 be what it was thought he might have received -- and you  
25 can see along the left-hand side the time -- you can see

141

1 you have seen PRES in children with sickle-cell disease.  
2 PROFESSOR KIRKHAM: Yes.  
3 PROFESSOR RATING: After transfusion?  
4 PROFESSOR KIRKHAM: It is quite well documented in the  
5 acute -- chronic anaemias.  
6 PROFESSOR RATING: Do you have your own experience?  
7 PROFESSOR KIRKHAM: Yes.  
8 PROFESSOR RATING: What is the time gap in between  
9 transfusion and starting of PRES?  
10 PROFESSOR KIRKHAM: Pretty rapid. Often during the  
11 transfusion.  
12 PROFESSOR RATING: Okay. May I add?  
13 MS ANYADIKE-DANES: Yes, please.  
14 PROFESSOR RATING: On my paper, 240-002-022, in the first  
15 line, the blood pressure measured on ICU increased  
16 further to 170/110, the blood pressure for 2 o'clock.  
17 I just want to bring back that there was a high increase  
18 of blood pressure. Because it was discussed this  
19 morning and it wasn't found.  
20 Q. Yes. And Professor Rating, I wanted to ask you to  
21 assist with something that was the subject of a little  
22 bit of a debate between you and Professor Kirkham  
23 because she put some emphasis on it, which is the  
24 papilloedema and the retinal haemorrhages. You actually  
25 take issue -- I think that is perhaps the neutral way of

143

1 the HPPF and the packed cells.  
2 THE CHAIRMAN: Sorry, Ms Anyadike-Danes, do we need to go  
3 into the details of this? Because the last answer you  
4 got from Professor Kirkham was to say -- you asked her:  
5 "Was there enough being transfused to still retain  
6 that as a risk factor?"  
7 And her answer was:  
8 "Definitely. He was transfused a fair amount of  
9 blood for his size because it was considered that he had  
10 lost a lot."  
11 So whatever the precise amount is, the professor is  
12 satisfied that it is enough for this to be a risk  
13 factor.  
14 MS ANYADIKE-DANES: Yes, the professor is. I was doing it  
15 really for the benefit of Professor Rating, who may not  
16 have recalled what the figures were that he was actually  
17 transfused.  
18 PROFESSOR KIRKHAM: So he had 500 ml of blood in  
19 an hour-and-a-half when his total circulating total is  
20 1,600 ml.  
21 Q. Professor Rating, would that be a significant factor so  
22 far as you're concerned?  
23 PROFESSOR RATING: To develop PRES? That's your question?  
24 Q. Yes.  
25 PROFESSOR RATING: Before I answer, you just told that

142

1 putting it -- with the interpretation that  
2 Professor Kirkham has of the Moritz & Ayus paper. You  
3 see that -- and this is worth pulling up -- at  
4 240-004-023.  
5 PROFESSOR RATING: Yes.  
6 Q. So you're saying that Professor Kirkham summarised the  
7 paper of Moritz & Ayus, and you cite her:  
8 "While retinal haemorrhages do not appear to have  
9 been documented in fatal cerebral oedema associated with  
10 hyponatraemia."  
11 And you say that no such statement was made by  
12 Moritz & Ayus and that what Professor Kirkham has  
13 derived from it, the occurrence of retinal bleeding, is  
14 a question of time and degree of intracranial pressure.  
15 What Professor Kirkham has derived is  
16 a misinterpretation of the paper.  
17 PROFESSOR RATING: I have already apologised that on some  
18 part of my report I am a little bit nasty in that  
19 direction. Because I thought it was a totally different  
20 situation I would be when I came to Belfast. We have  
21 already discussed it at the end. I am sceptical that  
22 you can get out of a papilloedema plus/minus  
23 haemorrhage. You can make a great differential  
24 diagnosis in hypertensive encephalopathy on the other  
25 side and that children with cerebral oedema, other side,

144

1 will not develop such haemorrhages. We have to read the  
2 paper Professor Kirkham already cited. For me, if there  
3 is an increased intracranial pressure then there will  
4 come bleedings irrespective of which is the main cause.  
5 Is it an osmotic-driven hypertension, intracerebral  
6 hypertension or it is the blood pressure which brought  
7 up the hypertension intracerebrally?  
8 Q. You're going to have a look at that Shiau paper of 2012,  
9 so maybe we'll leave that until tomorrow.  
10 PROFESSOR RATING: Yes.  
11 Q. This is really to both of you, but if I start with  
12 Professor Rating as it follows on from something I think  
13 Mr Fortune was indicating, really, which is: to what  
14 extent is the understanding and appreciation -- maybe  
15 even recognition -- of PRES something that is evolving  
16 and much better realised now than maybe at the time of  
17 Adam's surgery?  
18 PROFESSOR RATING: Oh, we have not to go so far back.  
19 I think if you go five years back, I would say it's not  
20 very common and not very -- at least ten years.  
21 Q. Does that mean --  
22 PROFESSOR RATING: It's a case -- I am not aware that at the  
23 time of Adam's death already PRES -- PRES in the sense  
24 of PRES -- was described. They were speaking of  
25 hypertension. Therefore if you go back five to eight

145

1 on the transcription. Did you say you were agreeing  
2 with Professor Rating that understanding now of PRES is  
3 something that would not be expected or even recognised  
4 at the time of Adam's surgery from his clinicians?  
5 PROFESSOR KIRKHAM: I think that's fair. I think some cases  
6 were reported in both adults and children, and  
7 hypertensive encephalopathy was certainly recognised by  
8 renal physicians, as Dr Coulthard said in the experts'  
9 meeting, but I don't think it would have occurred to the  
10 clinicians at the time to consider that the blood  
11 pressure was a major factor in the severity of the  
12 cerebral oedema.  
13 Q. And just so that we're clear about it: not only would it  
14 not have occurred to them, are you saying it would have  
15 been reasonable for it not to have occurred to them?  
16 PROFESSOR KIRKHAM: Yes, I think so.  
17 PROFESSOR RATING: That's a slightly different thing you  
18 make. We are speaking of PRES and I would say that PRES  
19 was unknown in 1995 or is ... We don't speak on  
20 hypertensive encephalopathy because hypertensive  
21 encephalopathy in children, we have seen in the 80s and  
22 in the 1990s and 1995. That means that that part, that  
23 is known. We didn't know the MRI of this because we  
24 have not made MRIs and, to my knowledge, 1995, there was  
25 not much written on PRES. It started in the --

147

1 years, it started to become some entity which you have  
2 to discuss on.  
3 Q. So in a sense, both of you are talking about the  
4 possibility of something now which the clinicians at the  
5 time wouldn't really be in a position to have recognised  
6 and understood?  
7 PROFESSOR RATING: Yes.  
8 Q. Or even known they ought to be looking for it in  
9 particular?  
10 PROFESSOR RATING: Yes.  
11 MS ANYADIKE-DANES: Professor Kirkham?  
12 PROFESSOR RATING: To be honest, I'm not convinced in this  
13 happened in 2005 in Heidelberg whether we came to the  
14 idea of PRES because, as a chief, I would say that's  
15 hypotonic osmotic.  
16 THE CHAIRMAN: We also had Professor Gross telling us that  
17 hyponatraemia is still not recognised nearly as often as  
18 it is, so we've got hyponatraemia and PRES which are not  
19 recognised.  
20 PROFESSOR RATING: I don't the discussion in the adults. I  
21 know the discussion in child neurology and they are  
22 accepting and discussing it. We think it is a useful  
23 box to put cases in and to work it out better.  
24 Therefore, it is evolving.  
25 MS ANYADIKE-DANES: Your comment may not have been picked up

146

1 PROFESSOR KIRKHAM: Hinch's paper is actually 1996, so  
2 I think that's fair, yes.  
3 PROFESSOR RATING: 2000, it started to blow up.  
4 MS ANYADIKE-DANES: I just want to be clear that when you  
5 said that Professor Kirkham had gone on to mention  
6 something else, is there some point of difference  
7 between you?  
8 PROFESSOR RATING: I only want to make the point that  
9 PRES -- it could not be named PRES at that time. If  
10 there was somebody discussing whether it could be  
11 hypertensive encephalopathy, then that could be  
12 discussed, it was known at that time and should be known  
13 in the hospital.  
14 Q. I understand.  
15 PROFESSOR RATING: But I have difficulties to discuss  
16 hypertensive encephalopathy in a patient who is dead at  
17 11/11.30, and in this moment he has some slight  
18 increase, but the main increase in the blood pressure  
19 comes afterwards. We have already discussed it this  
20 morning, and therefore I think it would not be very  
21 likely that they started a discussion of hypertensive  
22 encephalopathy in this child.  
23 Q. Yes. Thank you.  
24 THE CHAIRMAN: Let's do one more point. I'm anxious to  
25 get -- just to set out the timetable. Dr Carson will

148

1 give evidence after the professors have finished  
2 tomorrow and he has quite a lot of ground to cover,  
3 which leads into Mr McKee at some point on Wednesday,  
4 and Dr Mullan for Thursday. Dr Mullan cannot be here on  
5 Friday, so if we don't get through Dr Carson and  
6 Mr McKee tomorrow and Wednesday, then we face coming  
7 back again on Friday to finish off either Dr Carson or  
8 Mr McKee, which I'd prefer to avoid, so let's do one  
9 more point if we can this afternoon.

10 MS ANYADIKE-DANES: Just on what is now better recognised  
11 about PRES, if I can put it that way.

12 Professor Rating, I wonder if I could address this  
13 point to you: is it possible that as more becomes known  
14 about PRES, it would become increasingly identified in  
15 areas that are now regarded as uncommon? Areas in the  
16 brain that is. Is that possible?

17 PROFESSOR RATING: Are you speaking of the distribution of  
18 PRES in MRI?

19 Q. Yes.

20 PROFESSOR RATING: Naturally it was described at the  
21 beginning mostly in the cerebrum and then came the  
22 cerebellum and brainstem and, by that, it will be  
23 extended in some way, or put in the same box, up to the  
24 moment that one body started to empty this box and make  
25 out of this one box three different boxes according to

149

1 untypical, at least for PRES, and now you ask whether  
2 this atypical case in CT could be PRES.

3 Q. Mm.

4 PROFESSOR RATING: Is that a fair question?

5 Q. Yes.

6 PROFESSOR RATING: Yes?

7 Q. Okay. Professor Kirkham --

8 PROFESSOR RATING: From the intellectual side, I have to say  
9 yes. If you ask whether it is my opinion, I would say  
10 no.

11 THE CHAIRMAN: I think we've covered the ground on PRES,  
12 Ms Anyadike-Danes. Did you have some questions on blood  
13 pressure and seizures or do you think that was covered  
14 earlier? Because that's an issue on the lines of  
15 questioning which have been distributed.

16 MS ANYADIKE-DANES: Yes, I am coming to that. I just wanted  
17 to pick up one final point, if I may, with  
18 Professor Rating under PRES.

19 You've put before, not just in your report, at  
20 240-004-017, but also to Professor Kirkham, that  
21 you have a real difficulty with the time period as being  
22 one that fits PRES. And you identified that you have  
23 a rising blood pressure at 9.35, you have the blood  
24 transfusions at 9.30 and 10.30, with the coning at  
25 11.30, and your view is that that's just all too quick.

151

1 underlying diseases and distribution of changes in the  
2 MRI.

3 Q. I understand that. And in your report at 240-004-013,  
4 just on that point, you said whilst the CT scan cannot  
5 exclude PRES, it's very untypical for PRES as it shows  
6 too much generalised swelling that. And presumably that  
7 relates to what people think about now. And we went  
8 through the differing scans that are shown in the  
9 article and Adam's scan. But what I'm asking you to  
10 contemplate is the possibility, as one learns more about  
11 PRES and is better able to identify it, that that factor  
12 may not actually be a factor that weighs against PRES  
13 for Adam; is that possible?

14 PROFESSOR RATING: I have difficulties in answering  
15 regarding -- because I'm ... It may be that I'm  
16 thinking totally different. You already used the phrase  
17 of "rare case". Yes, if we are looking in that  
18 direction, is it possible, could it be? Then I say,  
19 okay, in medicine nothing is 100 per cent, everything  
20 can be.

21 Q. Yes, but that could --

22 PROFESSOR RATING: I brought forward the point that the CTs  
23 which are published in the normal literature, people  
24 were taught around about PRES, they have not published  
25 one of those cases, and there is a case which is very

150

1 But then you also refer to weak and missing data just  
2 generally in trying to understand the development of  
3 PRES. It's a rather similar question that I just asked  
4 you in terms of the distribution of the swelling. Is it  
5 possible that PRES can and does develop faster than  
6 that?

7 PROFESSOR RATING: Professor Kirkham reported a case of  
8 a sickle-cell girl who got a transfusion and during  
9 transfusion started to have the first signs of PRES.

10 Q. Yes.

11 PROFESSOR RATING: Therefore, I have to accept that it must  
12 be possible. From my reading, I have not analysed this  
13 case of it, was it only or was it the sickle -- because  
14 sickle-cell disease is one of the, not risk factors but  
15 one of the underlying diseases, and where she knows that  
16 this is a blood transfusion and not the underlying  
17 diseases that PRES started, triggered perhaps by. I can  
18 only repeat that from reading I got the impression that  
19 you need time for that. I'm sceptical.

20 Q. Just to give that reference where you say it takes days  
21 rather than hours, although data -- so you have  
22 a caveat -- are weak and missing. The reference in your  
23 report to that is 240-004-018. Then if I can just see  
24 if there is anything further that you wanted to --

25 PROFESSOR RATING: To make it clear, most of the cases

152

1 published at that time, they are after ... From the  
2 reading, it was days and weeks that PRES came up and not  
3 there was a transfusion and, half an hour later,  
4 clinical signs came up. But there was a situation and  
5 then the child developed signs which needed to make  
6 an MRI and then there was found PRES.

7 Q. Yes. In fact, in the area of blood pressure and  
8 seizures during surgery, we've actually captured much of  
9 that in what you have already been discussing. One of  
10 the things that I think Professor Kirkham wondered if  
11 you could address is: do you think there is any clinical  
12 evidence of raised intracranial pressure between 9.32  
13 and the discovery of fixed dilated pupils at the end of  
14 the operation?

15 PROFESSOR RATING: I go back to what you have given us  
16 today. You make this diagram of the blood pressure  
17 that is 307-006-064. There is in red the diastolic  
18 blood pressure and in blue the systolic blood pressure,  
19 and in the midline there's a median blood pressure.

20 If I have it right, the first time that Adam was  
21 found with dilated pupils is 11.30. And at that time,  
22 the mean was well above 100, but I think the diastolic  
23 blood pressure was at that time 90, and that for me is  
24 something you have to accept, especially if you want to  
25 make a transplantation of an adult kidney. That means

153

1 that is developing.

2 PROFESSOR RATING: Yes.

3 Q. The other is the extent to which it is actually intended  
4 by the clinicians, but it is at a level which, for Adam,  
5 that might have contributed to his problems.

6 PROFESSOR RATING: Might have contributed, and we can be  
7 quite sure that the very high blood pressure at the PICU  
8 will not be intended by the anaesthesiologists.

9 Therefore, that's an additional problem. I, at the  
10 beginning, thought that some sort of -- here, the brain  
11 perfusion becomes bad and then one will increase the  
12 brain pressure and the increase of the brain -- of the  
13 blood pressure reflects that the brain wanted to have  
14 more blood and therefore it was increased. It means  
15 that it is reflecting mild perfusion of the brain and by  
16 that is some sort of regulation to get it.

17 Q. Thank you.

18 Professor Kirkham, finally with you, I wonder if you  
19 can help. If you look at this, are you able to tell  
20 from the clinical information that you have whether the  
21 increase in this blood pressure is something that  
22 indicates that there was a developing problem, that's  
23 your raised intracranial pressure -- well, let's start  
24 with that one.

25 PROFESSOR KIRKHAM: Well, I don't think you can -- the blood

155

1 there is no blood pressure for me that peaks in the  
2 first place for that could be a hypertensive crisis.  
3 But I can admit and can understand that a child who has  
4 been on a much lower blood pressure can react on an  
5 increase of -- although it is not very great, but on an  
6 increase of blood pressure. Whether this is enough to  
7 provoke PRES, I don't know.

8 Q. Just so that I understand you, there is some evidence  
9 that there was an increase in blood pressure. Whether  
10 that is a significant increase in terms of the  
11 deterioration of his condition is something that is  
12 unclear to you. Does that sum it up?

13 PROFESSOR RATING: Yes. First we have to remember that the  
14 nephrologists and the anaesthesiologists and the surgeon  
15 wanted a little increase, and that you can see here,  
16 that they have achieved. Whether this increase in blood  
17 pressure starting at round about 65, at the beginning of  
18 the operation theatre and coming out at nearly 110 at  
19 the end, that's 50 millimetres of ... This is  
20 an important increase. And I'm not in the situation to  
21 say what has a nephrologist and the surgeons wanted to  
22 have and what could be added as other ...

23 Q. I understand. So there are two things, really, to  
24 consider. One is the extent to which this increased  
25 blood pressure is a result or produced by a problem

154

1 pressure's rising and before I realised that that was  
2 deliberate to try and perfuse the kidney, I thought it  
3 might be suggestive of raised intracranial pressure, but  
4 in fact, it was driven by inotropes to try to get the  
5 kidney perfused.

6 Q. Do you know if it's entirely? That's the question I'm  
7 asking. Do you know if that level of blood pressure has  
8 been produced entirely by the clinicians trying to  
9 produce a better perfusion for the kidney?

10 PROFESSOR KIRKHAM: Well, can I come back to you with  
11 a question to ask you what level they were aiming for?

12 Q. We'll try and see if we can find that out. I think we  
13 do know that and we'll just get you the reference.

14 PROFESSOR KIRKHAM: Because they must have been aiming for  
15 an adult blood pressure, I presume, because that's what  
16 they try to do.

17 Q. Okay. The other thing --

18 PROFESSOR KIRKHAM: And the other thing I think we need to  
19 know is exactly when the inotropes were given to do that  
20 and whether they were then stopped. Because I think  
21 when you're giving inotropes in an operation -- I don't  
22 know very much about intraoperative, but certainly on  
23 intensive care, the blood pressure is usually, in my  
24 experience -- I don't know what Professor Rating thinks.  
25 But you give the inotrope, the blood pressure goes up,

156

1 you switch the inotrope off. It's usually a very  
2 short -- it has a very short half-life.  
3 So if the blood pressure is iatrogenic, in other  
4 words if it's inotropes that's driving it because the  
5 transplant surgeon wants the blood pressure higher to  
6 perfuse the kidney, then we should be able to see  
7 a time frame where the inotropes are going and the blood  
8 pressure is responding. Then if the inotropes are  
9 stopped, then I think the blood pressure is out of  
10 control and you've probably got massive problems with  
11 raised intracranial pressure and then you've got the  
12 vicious cycle. So I think if we could have that  
13 information on this chart, it would be very helpful.  
14 Q. We'll try and do that tonight. Leaving aside that, what  
15 has caused it to be there, is it at a level which could  
16 have caused or contributed to his developing problems if  
17 I can put it that way?  
18 PROFESSOR KIRKHAM: I think so because he'd never been  
19 hypertensive before and there is evidence that you're  
20 more likely to get a PRES situation if you've had  
21 a completely blameless blood pressure and then it  
22 suddenly goes up. There is a paper on that, which I'm  
23 pretty sure I can find.  
24 Q. Thank you very much.  
25 THE CHAIRMAN: Okay, we'll leave it there, it has been

157

1 which, if you give a child so much excess fluid,  
2 particularly if it's far more than the child can cope  
3 with, particularly if it's low sodium, it sounds wrong  
4 that that can't bring about his death, but maybe that's  
5 my misunderstanding.  
6 PROFESSOR KIRKHAM: The brain always has some reserve, it's  
7 always trying to compensate. So yes, water goes in down  
8 the osmotic gradient, but if the brain cells are intact,  
9 they're pumping sodium in the other direction, so  
10 water's going out. So the key question is whether that  
11 system is overwhelmed. And the evidence from the Arieff  
12 and Ayus papers is that you need an additional problem.  
13 Hypoxia is the one they mention, which will stop the  
14 sodium pump -- the sodium pump is energy-dependent,  
15 whereas the osmotic gradient is not energy-dependent.  
16 So if you stop the cell being able to function because  
17 it hasn't got any energy, the sodium pump will fail, so  
18 the sodium won't go out, and then you've got a major  
19 problem and then of course you get oedema. But if  
20 you haven't got the hypoxia, there isn't much evidence  
21 that you get overwhelming oedema. I've seen plenty of  
22 children with terrible cerebral oedema, but I've never  
23 seen a child with terrible cerebral oedema who has only  
24 had the low sodium, and I've seen plenty of low sodiums.  
25 THE CHAIRMAN: Okay. We'll pick it up tomorrow. Thank you

159

1 a long day for you in particular, professor, starting  
2 this morning.  
3 Can I just ask you to think about one thing  
4 overnight? If I understand your evidence correctly, it  
5 wouldn't matter in Adam's case how much low sodium fluid  
6 he was given, it wouldn't kill him; is that right?  
7 PROFESSOR KIRKHAM: My reading of the literature -- the  
8 cases that were reported are from the 1980s and 1990s,  
9 before there was very much in the way of imaging, and  
10 then the recent cases where there has been imaging of  
11 children who've drunk a large of water, for example,  
12 have not shown cerebral oedema. So I haven't been able  
13 to find evidence that the low sodium would lead to  
14 enough oedema to cause raised intracranial pressure and  
15 then herniation, and that is borne out by the piglet  
16 experiment, which tried to reproduce the clinical  
17 situation.  
18 THE CHAIRMAN: It's just that it sounds counter-intuitive.  
19 It sounds as if it can't be right that it doesn't matter  
20 how much low sodium fluid you give him, how much the  
21 sodium level comes down, a child will always survive  
22 that unless there is some other major factor. I'm just  
23 wondering, because I think that's what  
24 Professor Rating -- I think in terms he's suggesting  
25 that that can't be right. There must be a point at

158

1 very much indeed. 10 o'clock tomorrow morning.  
2 (5.20 pm)  
3 (The hearing adjourned until 10.00 am the following day)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

160

I N D E X

1  
2  
3 Housekeeping discussion .....1  
4 PROFESSOR FENELLA KIRKHAM (called) .....4  
5 PROFESSOR DIETZ RATING (called) .....4  
6 Questions from MS ANYADIKE-DANES .....4  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25