

1

Tuesday, 12 June 2012

2 (10.00 am)

3

(Delay in proceedings)

4 (10.10 am)

5 THE CHAIRMAN: Good morning.

6 MS ANYADIKE-DANES: Good morning, everybody. I wonder if

7 I might call Dr Mirakhur, please.

8

DR MEENAKSHI MIRAKHUR (called)

9

Questions from MS ANYADIKE-DANES

10 MS ANYADIKE-DANES: Good morning, Dr Mirakhur. Do you have

11 a copy of your curriculum vitae there?

12 A. Yes.

13 Q. Do you have a copy of the witness statement you made for

14 the inquiry?

15 A. Yes, I have.

16 Q. Thank you. Just for the record, it's witness statement

17 223/1. If you're looking at that now, can you confirm

18 that's your witness statement?

19 A. Yes. That it is, yes.

20 Q. We can go to the signature, but you have a hard copy in

21 front of you there, I see. Do you adopt that as your

22 evidence subject to anything you might say now in this

23 oral hearing?

24 A. Yes.

25 Q. Thank you very much. If we go to your curriculum vitae,

1 that's to be found at reference 306-066-001. I think
2 your initial training was in India; is that right?

3 A. That's correct.

4 Q. While you were there, you went through a variety of
5 specialisms: obs and gynae, anaesthesia and then
6 pathology before you came to Northern Ireland.

7 A. That's correct.

8 Q. Is that a normal rotation --

9 A. That is a normal -- yes. When you are in a junior
10 position, you rotate to various disciplines before you
11 choose your own specialty.

12 Q. Thank you. Then when you came to Northern Ireland, you
13 came to the Royal Victoria Hospital as a senior house
14 officer in pathology.

15 A. That's correct.

16 Q. And subject to any appointments you might have had,
17 professional appointments on committees and so forth, in
18 terms of hospitals, have you remained within the Royal
19 Group of Hospitals?

20 A. Yes, I have.

21 Q. Thank you. And then you were first appointed to
22 consultancy in an acting position in neuropathology and
23 histopathology in September 1985; is that correct?

24 A. That's correct.

25 Q. I think that is up until January 1988. What happened

1 after January 1988?

2 A. I was appointed as a consultant neuropathologist in the
3 Royal Hospitals.

4 Q. I see. Sorry, I see that. Up until you retired
5 in December 2010?

6 A. That's correct.

7 Q. If we look at that, the top of the page, 002, right
8 at the top there, you say that you were head of the
9 regional neuropathology service linked laboratories in
10 the Royal Group of Hospitals. What does that mean
11 exactly and what does that entail?

12 A. Regional neuropathology service is a tertiary referral
13 centre, which is always in the Royal Hospitals because
14 of the neurosciences all clustered together:
15 neurosurgery, neurology. And neuropathology is a sister
16 service to neurology and neurosurgery, which directly
17 relates with them. So therefore all these services are
18 regional and they were all centred in the Royal
19 Hospitals. So I became head of regional neuropathology
20 service on the retirement of my predecessors in 1997.

21 Q. Does that mean that the Royal provides a service for the
22 whole of Northern Ireland in terms --

23 A. That's correct.

24 Q. -- of regional neuro services?

25 A. That's correct.

1 Q. Thank you. In your experience, you say that you provide
2 service to the regional neuropathology department and
3 take part in external and internal quality control
4 schemes. Do you have any contact at all with the
5 department now or the service now?

6 A. Not since I retired.

7 Q. Are you carrying on as a pathologist since your
8 retirement?

9 A. No, I'm not.

10 Q. Thank you. If we might turn to your witness statement,
11 that's at 223/1. We can see your membership of advisory
12 panels and committees and your previous appointments.
13 Can I ask you: did you have any contact at all with the
14 State Pathologist's department?

15 A. The State Pathologist's department always provided us
16 with cases from time to time in which they thought that
17 the specialist neuropathology input was required. But
18 I was -- I never worked in their department. I never
19 had any direct liaison with them.

20 Q. I understand. So if you were doing any work for them,
21 it would be on a referral?

22 A. That's correct.

23 Q. So if I'm right, could I categorise it in this way,
24 there would be a specific neurological aspect of it that
25 they wanted some expert opinion and you'd be brought in

1 to do that?

2 A. That's correct.

3 Q. When that happened, how would it happen, what was the
4 way? I should be specific. I mean: in 1995, how would
5 that have happened?

6 A. In 1995, the referral system was not as formal as --
7 well, first of all, I think I'm not clear as to what is
8 an informal referral because referrals are always
9 formal. You may express an informal opinion or an
10 informal view, but the referrals are always formal when
11 you are involved in the case from the very beginning and
12 you are involved in the workup of the case and you
13 provide a formal report. In 1995, sometimes the
14 forensic pathologists, they will do everything by
15 themselves, and they might occasionally show you
16 something, you know, what is your opinion on this.
17 Pathologists quite often do that. It's not unusual for
18 a pathologist to show each other things for an informal
19 opinion. But I would not regard that as a referral.
20 That would be an informal view.

21 Q. So if there's a referral, you are taking responsibility
22 for the opinion you're providing?

23 A. That's correct, which means that in cases of autopsy
24 cases, you're involved in a formal referral from the
25 very word go, right from start, which is in the

1 mortuary. You're asked to actually give your input and
2 then the case is referred to you on written paper or in
3 a very formal way and a covering letter comes with it
4 and then the case comes over to your department and
5 everything -- processing and the rest of the workup of
6 the case -- is done in your own department. Then you
7 provide a report.

8 Q. If that happens, would your department assign it its own
9 reference number?

10 A. That's correct.

11 Q. And how might that happen? Do you get a letter from the
12 particular pathologist? Could it happen that the
13 coroner would want you to be involved?

14 A. It can work both ways, but it is usually the pathologist
15 who's involved in the case or sometimes the coroner when
16 the -- he looks at the case and he thinks that there
17 might be a requirement here for a specialist
18 neuropathologist to be involved. They might suggest
19 that to the original pathologist that they would wish
20 a neuropathology opinion. But usually it is from the
21 referring pathologist and they would ask your opinion,
22 either in the mortuary or they will refer -- they have
23 done the case themselves. For instance, if it is in
24 a remote mortuary outside the Belfast area, they have
25 done the case, take your opinion, discuss with you on

1 the telephone and then provide you with a letter and the
2 case comes over to your department then.

3 Q. In terms of how that might happen, I suppose there might
4 be cases where, at the very outset, the pathologist
5 could see that this is a case where we're definitely
6 going to need a neuropathologist.

7 A. That's correct.

8 Q. That might be one way. And another way might be that as
9 the pathologist starts to do the autopsy, it becomes
10 clear that this would be prudent to involve
11 a neuropathologist; is that possible?

12 A. That's correct.

13 Q. If it happens at the very outset, what is the procedure?
14 So far as you can recall from 1995 -- and I accept it
15 wasn't as formal then, but if you can help us with what
16 the typical procedure would be, if it happens right
17 at the outset.

18 MR FORTUNE: Sir, could we just establish -- and it may be
19 it's a shortage of knowledge on my part -- is the
20 neuropathology department and the state pathology
21 department in the same building? How close are they?
22 Is it a case of nipping next door for an opinion?

23 MS ANYADIKE-DANES: It's a very good question. I was going
24 to come to that.

25 You're on the Royal site?

1 A. I'm on the Royal site.

2 Q. Where is the building or the offices of the State
3 Department?

4 A. The State Department is on the Royal site as well, but
5 it is a totally separate building and it is actually --
6 if you go towards the Royal car parks then the State
7 Pathology department is right in front of the car parks.
8 We are in the Institute of Pathology, which is
9 a separate building.

10 Q. We've actually got a map and we'll try and pull it up
11 and see if we can assist by identifying where these
12 places are.

13 THE CHAIRMAN: Am I right in thinking you're just a few
14 hundred yards apart?

15 A. Yes, but it's a totally different building.

16 MS ANYADIKE-DANES: And in terms of the mortuary that the
17 State Pathologist would be using, do they have their own
18 mortuary on the site --

19 A. Yes, they have.

20 Q. -- or do they use the hospital's mortuary?

21 A. They have their own mortuary.

22 Q. And so far as you are aware, you have talked about going
23 off-site to maybe other mortuaries, do they have other
24 mortuaries as well?

25 A. Yes.

1 Q. Do you know which was the mortuary that was most
2 frequently used, roughly, at the time that we're talking
3 about, which is the mid-1990s?

4 A. In 1995, it was the Royal Hospitals' mortuary which was
5 most frequently used.

6 THE CHAIRMAN: I'm not sure I understand that. Most
7 frequently used for what?

8 MS ANYADIKE-DANES: For the --

9 A. For autopsies --

10 Q. For autopsies being carried out by the state
11 pathologist, sorry.

12 THE CHAIRMAN: In 1995, the State Pathologist had its own
13 mortuary and the Royal had its mortuary?

14 A. Not in 1995. In 1995, there was one mortuary, which the
15 State Pathologist used as well.

16 THE CHAIRMAN: You have described two separate buildings.

17 A. Yes.

18 THE CHAIRMAN: One for the State Pathologist and one for the
19 neuropathology department. Where was the mortuary in
20 1995?

21 A. The new mortuary came actually after 1995, but in 1995
22 there was a mortuary which was actually behind the
23 Institute of Pathology and sometimes the State
24 Pathologists would actually use that mortuary.

25 THE CHAIRMAN: If the State Pathologist did not use that

1 mortuary, then he had nowhere else on the Royal site?

2 A. At that time. Not in 1995 ...

3 MS ANYADIKE-DANES: Can we maybe call up 300-003-003? If

4 you look at this map, if you orientate yourself, the

5 mortuary and state mortuary are to the far right, bottom

6 right. There we are (indicating). You can see "medical

7 records" and "laboratories". In 1995, where was the

8 State Pathologist building, if I can put it that way?

9 A. I am trying to locate where is the Institute of

10 Pathology.

11 THE CHAIRMAN: Just take your time. It might take a moment

12 or two. The Falls Road is running along the top and the

13 West Link is running along the bottom.

14 A. Yes. It doesn't actually say where the Institute of

15 Pathology and laboratories are.

16 MS ANYADIKE-DANES: It says "mortuary and state mortuary".

17 You can see that highlighted in yellow.

18 A. Yes. That was in 1995, was it?

19 THE CHAIRMAN: This map is described to us as being about

20 1993.

21 A. So the same was in 1995, yes. The laboratories are

22 actually just in front of the mortuary and the state

23 mortuary and the mortuary and the state mortuary is

24 actually behind the laboratories according to the map

25 there. So that's what I pointed out, that the -- in

1 1995, the mortuary and the state mortuary was behind the
2 Institute of Pathology, which is the laboratories.

3 MS ANYADIKE-DANES: So the building where you would be
4 typically working is the one that's labelled
5 "laboratories"?

6 A. That's correct.

7 Q. And the building where the State Pathologist would be
8 typically working is round where the mortuary is;
9 is that right?

10 A. That's correct.

11 Q. And in 1995, just so that we're clear about it, there
12 was actually only one mortuary to use and both you as
13 a pathologist and the State Pathologist would be using
14 that single mortuary; is that right?

15 A. As far as I can recall. I'm not sure what is the exact
16 date when the new State Pathology -- they moved into
17 their own building. I'm not sure of the date.

18 THE CHAIRMAN: Sorry, doctor, this may not be ultimately
19 very important, but the building which is marked
20 "mortuary and state mortuary", are you saying that
21 that is where the State Pathologist's office was?

22 A. No. That's where the mortuary was, not their offices.

23 THE CHAIRMAN: So the mortuary was very close to the
24 Institute of Pathology which, in this map, is marked
25 laboratories?

1 A. Yes, that's the building where the Institute of
2 Pathology is, which is the laboratories, marked as
3 "laboratories", and the mortuary and the state mortuary
4 were actually just behind that building.

5 THE CHAIRMAN: Well, compared to them, can you identify
6 roughly where the State Pathologist's office was?

7 A. The State Pathologist's office used to be on the ground
8 floor of the Institute of Pathology and the pathology
9 department and the neuropathology was in the basement
10 and on the second floor of the same building.

11 MS ANYADIKE-DANES: So in 1995 you were all in the same
12 building?

13 A. I think so, but I'm not sure about the dates when they
14 actually -- this new state mortuary came about.

15 Q. Okay. I think I had asked you in 1995, where, so far as
16 you can recall -- and it may be that you can't -- where
17 the majority of the autopsies being carried out by the
18 State Pathologist, which mortuary that would be in, and
19 I thought you had said that would have been the mortuary
20 on the Royal site?

21 A. That would be the mortuary on the Royal site, yes.

22 Q. The one that we've just been looking at? You mean that
23 mortuary that is just highlighted in yellow?

24 A. Yes, but I'm saying that the new hospital mortuary also
25 came about around or just after that, so I'm not exactly

1 sure of the dates.

2 Q. We have Dr Armour coming so we'll ask her.

3 THE CHAIRMAN: I'm not sure that this map has really helped
4 to clarify the position at all, in fact.

5 MS ANYADIKE-DANES: I don't think it has.

6 THE CHAIRMAN: Can we move forward on the basis, doctor,
7 that in 1995, to your recollection, there was a few
8 hundred yards from the offices where you worked and the
9 offices where the State Pathologist worked?

10 A. That's correct.

11 THE CHAIRMAN: And there was, at that time, a single
12 mortuary which was adjacent to your office?

13 A. The mortuary was not actually adjacent to my office; it
14 was behind the building where my office was.

15 THE CHAIRMAN: Okay.

16 MS ANYADIKE-DANES: So what you were helping us with is if
17 a situation had arisen right at the outset in an autopsy
18 where the State Pathologist realised that the input of
19 a neuropathologist would be required, what actually
20 would happen in 1995.

21 A. Well, they will either consult us on the telephone and
22 say, "We've got this case in which we think your input
23 is essential", and then it actually depended upon the
24 State Pathologist or whosoever was doing the -- starting
25 the initial case. They would either request

1 a neuropathologist to come down or they will do the
2 autopsy themselves and then let us have our opinion
3 later on.

4 Q. Well, if you receive a request like that, saying that
5 they think that the input of a neuropathologist is
6 essential, how early do you want to be involved or what
7 do you want to see and do if you're going to end up
8 providing the opinion?

9 A. As far as I'm concerned, it varies between pathologists,
10 but if my opinion is required I would like to be
11 involved from the very beginning and I would like to be
12 present in the mortuary and involved in the case myself.
13 Hands on work rather than depending on somebody
14 else's --

15 Q. I understand. Would that extend to seeing when the
16 brain is taken out?

17 A. It's not only seeing when the brain is taken out, but
18 removing the brain myself.

19 Q. You would actually want to do that?

20 A. Yes, because we would have -- that's why the
21 specialist's opinion is required because we would
22 dissect it and anatomically orientate the case and do it
23 in a way in which a specialist neuropathologist would do
24 it.

25 Q. Would you then decide where the slides were going to be

1 taken from and take those slides?

2 A. Yes, yes.

3 Q. And then you would go and examine those in your

4 laboratory, microscopically?

5 A. Yes. It's not only the slides which -- or the tissue

6 samples which would be taken, but the tissue samples and

7 the case will come to our laboratory because the brain

8 is ... I think it is very important to understand from

9 the outset that the brain is a very complex organ.

10 It is very different from the other organs and requires

11 very specialist input from the very beginning. So our

12 laboratory technicians are trained differently than the

13 general laboratory technicians or even the state

14 mortuary technicians because they are trained to deal

15 with a very complex and a very delicate organ like the

16 brain. So the processing schedules and workup of the

17 brain tissue samples is very different say from liver,

18 kidney, spleen or whatever.

19 Q. I understand. So if you are then going to the mortuary

20 to view the brain, take the brain out and however much

21 of the spinal column you wanted to take out, so take

22 charge of the case, of all the brain element of that

23 autopsy; would that be a fair way of saying it?

24 A. That's correct.

25 Q. Does your technician take the photographs if you were

1 doing that?

2 A. Well, if we are doing it, it depends on at what stage
3 you want the case to be photographed. If while we are
4 in the process of dissecting the brain or removing the
5 brain and you feel that there is a need for taking
6 photographs while the brain is in situ to demonstrate
7 the anatomical connections and the anatomy of the
8 lesions which may be present, you take the photograph
9 there yourself in the mortuary, but if at a later stage
10 when the case has been processed in your own laboratory
11 and you feel at a later stage, yes, there is a need for
12 the case -- for further photographs to be taken, then
13 our technicians along with us ... But the pathologist
14 will always be there when the photographs are taken to
15 orientate and tell them which bit of the brain we would
16 wish to be photographed.

17 Q. So the situation that you have just been describing is
18 when you're brought in right at the outset or you're
19 notified right at the outset and this would be your
20 preferred practice, in other words, to take control over
21 the whole brain element of it --

22 A. That's correct.

23 Q. -- and deal with the fixing of the brain and everything
24 that happens thereafter?

25 A. That's correct.

1 Q. And so all those initial notes when the brain is first
2 exposed, if you want to be there, all those notes -- you
3 would be making your own notes in relation to that?

4 A. That's correct.

5 Q. And ultimately, when you produce your opinion, do you
6 produce something that looks very much like a report on
7 autopsy just confined to the brain or do you produce an
8 opinion in a slightly different way?

9 A. Well, what happens is that we produce our opinion, which
10 is confined to the brain. Now, it may well be that in
11 some cases -- well, in most cases where a neuropathology
12 opinion is sought, that is the major issue because
13 otherwise they wouldn't seek neuropathology opinion and,
14 in most cases or in the majority of those cases, the
15 cause of death would be there. So you provide your
16 opinion on the basis of what you actually come across or
17 you see in the brain and your formal report is based on
18 that. But the report will then go to the original
19 referring pathologist and they would then take that into
20 context of what the findings were.

21 Q. So then let's move to the other scenario that I put to
22 you, which is, for various reasons, you're not brought
23 in right at the outset. Maybe it's not appreciated, the
24 significance of having a neuropathologist then, but at
25 some stage it is appreciated that that would be helpful.

1 What happens then? So how is your opinion sought in
2 those circumstances?

3 A. Well, in those circumstances -- for instance, they have
4 done the autopsy, they have got the brain out ... And
5 I think one of the things which is very peculiar to the
6 brain is, many times, there may not be anything external
7 to see on the brain. And also you cannot give an
8 opinion on the brain on the day or at the time you're
9 doing an autopsy. It's only after the brain has been
10 allowed a period of fixation so that it can assemble and
11 become firm. You then do a further detailed dissection.

12 So at that point, the original pathologist might
13 decide when they cut the brain or with when they dissect
14 the brain that, oh, this may require a neuropathology
15 opinion. So they can refer the case at different stages
16 as they workup the case, either from the very beginning
17 or at different stages of the case.

18 Q. If you get at any of those subsequent stages -- so it's
19 not you who viewed the brain, who took the brain out,
20 who fixed it and who took the slides and decided where
21 those slides should be taken, all that sort of thing,
22 that's not you -- you get a referral when all that work
23 has been done --

24 A. Yes.

25 Q. -- because somebody appreciates that this might be

1 relevant. What do you want to see if you're just
2 contacted?

3 A. Well, first of all, we always say that in the form, if
4 we are asked to provide a report on, say, at a later
5 stage in the processing of the brain, we would always
6 make it clear on the report what stage of the processing
7 the case we were asked --

8 THE CHAIRMAN: But doctor, that would only be if you did
9 a report.

10 A. That is only if you did a report, yes.

11 THE CHAIRMAN: I think in the scenario that we're talking
12 about in Adam's case, it doesn't appear that you did do
13 a report.

14 A. No.

15 THE CHAIRMAN: As I understand it, you have no recollection
16 of Adam's case at all.

17 A. No.

18 THE CHAIRMAN: So in Adam's case, we're not talking about
19 a situation in which you were involved from the start.

20 A. Right.

21 THE CHAIRMAN: We don't even appear to be talking about
22 a case in which you were brought in as the autopsy
23 developed and did a report --

24 A. That's correct.

25 THE CHAIRMAN: -- or contributed to a report of any sort.

1 A. That's correct.

2 THE CHAIRMAN: So I think what you were really being taken
3 to was: in a scenario where it occurs, say, to Dr Armour
4 "I would like some input from Dr Mirakhur or from
5 somebody else", but that doesn't get to the stage of you
6 preparing a written report --

7 A. No.

8 THE CHAIRMAN: -- what might it be that you're shown or told
9 and what might be your response to that?

10 A. Well, they would probably show glass slides, which are
11 already prepared by them, by their department, and they
12 would say, "Can you have a look at this and what is your
13 view on this? What do you think?", but then the
14 neuropathologists always feel that that is maybe not
15 100 per cent appropriate way of doing it because you're
16 not being involved from the very beginning and therefore
17 you can only give opinion or a view on a very limited
18 area of the brain.

19 THE CHAIRMAN: Yes. So if you're not involved from the
20 start, the extent of your input is bound to be limited?

21 A. Very limited, yes.

22 THE CHAIRMAN: Okay. And that might be why it doesn't end
23 up being recorded in writing or you don't give any
24 written report yourself because you're only giving
25 a limited input? I think what we're trying to get at

1 is: what is that limited input which you do give?

2 MS ANYADIKE-DANES: I wonder if I can come to it this way
3 because there is a specific way in which Dr Mirakhur is
4 referred to in the report on autopsy and which is why
5 I wanted to approach it just slightly differently.

6 Just to be clear: you are giving us two ways in
7 which there could be an actual referral. The first is
8 you come in right at the beginning; the second is, at
9 some stage subsequent, you still have a referral. It's
10 still a formal process --

11 A. Yes.

12 Q. -- and, no matter at what stage, it's still requiring
13 you to produce an opinion. And what I had asked you
14 is: if you came in like that, what would you want to
15 see? Forget the informal bit at the moment; this is you
16 being asked to do an opinion, but at some stage after
17 all that work has been done -- the brain has been fixed,
18 slides have been taken and so forth -- and they realise
19 there's a neurological issue here, we need to get
20 a neuropathologist's input. What do you want to see?

21 A. Well, that's what I said: that it depends on what stage
22 they have asked you to look at it. If they are, for
23 instance, dissecting the brain, which is at the naked
24 eye stage still, and they are slicing the brain into
25 different sections and they might say, "Oh, we've come

1 upon something and we need a neuropathology opinion", so
2 they would ask neuropathology to have a look at it, but
3 in that case they only have the macroscopic slices of
4 the brain. Or if they have already done that and when
5 they look at the histology -- and histology means
6 looking at the sections under the microscope -- so if
7 they're looking at the sections under the microscope and
8 they come across something which they think that it
9 requires a neuropathology input, they would then ask you
10 to look at the histology slides. But in a referral like
11 that, the neuropathologist would always ask them: do you
12 still have the brain with you or the coronal slices with
13 you? Because neuropathologists always like to have
14 a look at the naked eye exam of the brain itself to work
15 out the topography of the lesion. What they're seeing
16 in the histology, what is it in a broader sense, what
17 does it imply in terms of the brain itself.

18 Q. I understand that. So even if you were brought in at
19 a relatively late stage, if you were being asked to
20 provide your opinion -- so it's coming from state
21 pathologist department to your department, so it's going
22 to be formal, you're going to give it a reference
23 number -- you would be indicating to the State
24 Pathologist over and above whatever they wanted to show
25 you what you wanted to see?

1 A. That's correct. That's correct.

2 Q. If we then go to the report on autopsy at 011-010-040.

3 You can see just above "commentary", there's:

4 "The brain, spinal cord and histological slides were

5 seen by Dr Mirakhur (consultant neuropathologist)."

6 A. Mm-hm.

7 Q. Now, if you can't say, you can't say --

8 A. I have seen it.

9 Q. Sorry, do you see it there? Does that indicate to you

10 what you're being asked to do in relation to that?

11 A. Well, I don't actually recall all that.

12 Q. No, I know you don't. But if you look at that reference

13 to you there, what -- if anything -- does that suggest

14 to you?

15 A. Well, that suggests that they might have requested you

16 to look at the slides at some stage, not without --

17 without being formally referring the case.

18 Q. And the brain and the spinal cord?

19 A. Um ... Yes, but I don't recall seeing the brain, spinal

20 cord.

21 Q. I appreciate you don't recall that. But if you were

22 being asked to look at that to give -- in fact,

23 Dr Armour refers to it as a second opinion in your

24 witness statement. So if you were being asked to give

25 a second opinion and you're shown the brain, spinal cord

1 and histological slides, what else would you be told?
2 Would you be being told what the pathologist's opinion
3 was and why they wanted a second opinion or would just
4 be told, "Have a look at this and tell me what you
5 think", or can't you tell?
6 A. I don't think you can tell.
7 Q. Okay. If you were asked to give a second opinion and
8 given that range of material that you've been provided
9 with, what else would you want to see?
10 A. Well, you would want to know what else was in the rest
11 of the organs and what was the clinical scenario and
12 what was the clinical context in which you have been
13 asked for an opinion.
14 Q. So even if somebody came, walked across a few hundred
15 yards to your office and said, "Look, forget about the
16 fact that this refers to the brain and spinal cord and
17 had some slides" -- which I think you said that was
18 common, that could happen -- and showed you the slides
19 and ask you to provide a second opinion in relation to
20 what they disclosed to you, what else would you want to
21 see?
22 A. You would tell them before you look at the histology and
23 give an opinion on the histology slides that you would
24 like to have a look at the brain if it is still there
25 because you would need to put what you're looking at

1 under the microscope in context of your naked-eye
2 examination of the brain. But I don't recall seeing any
3 of it.

4 Q. No, I understand very much that you don't recall that.

5 THE CHAIRMAN: Doctor, you don't recall it and you're being
6 asked to comment on what Dr Armour has written. We
7 acknowledge these are not your words when she says that
8 the brain and spinal cord, et cetera, were seen by you.
9 That is what she is saying. She is also saying that you
10 gave a second opinion, but as I understand from what you
11 were saying earlier, that opinion -- there could be
12 a whole range in which that opinion falls, whether it's
13 an informal -- well, this seems to be informal rather
14 than formal because there's nothing in writing from you;
15 right?

16 A. Yes.

17 THE CHAIRMAN: And in terms of informality, is there a range
18 of ways in which you could give an opinion or a view or
19 a steer, even, to Dr Armour?

20 A. Well, in this particular case, I don't recall giving an
21 opinion. But it might take the form of just verbally
22 telling them what you think of it when you're looking at
23 the histology.

24 THE CHAIRMAN: Or might she say to you, "This is what
25 I think; does that look right to you?"

1 A. I think she may say that, but at the end of the day, if
2 a neuropathologist is asked to look at the slides, they
3 would wish to give their own opinion.

4 THE CHAIRMAN: Okay.

5 MS ANYADIKE-DANES: If you knew that your name was going to
6 be included in a report on an autopsy going to
7 the coroner, what would you want to see in order to be
8 satisfied that your name could be included like that?

9 A. Well, I would have wanted a formal referral and I would
10 not be satisfied with just informally asking for an
11 opinion because that way you have not been involved from
12 the -- in the case from the very beginning.

13 THE CHAIRMAN: Even in 1995?

14 A. Even in 1995.

15 MS ANYADIKE-DANES: Are you ever aware of your name having
16 been included in a report on an autopsy going to the
17 coroner where you haven't known that that was going to
18 happen?

19 A. I don't recall it because --

20 THE CHAIRMAN: How could she?

21 MS ANYADIKE-DANES: Because it might have disclosed itself
22 later on in the inquest.

23 THE CHAIRMAN: But if she wasn't involved, it would be
24 something of a long shot for you to find out
25 subsequently, wouldn't it?

1 A. The only reason I found out about this one was when the
2 report was sent to me by the department, that this is
3 coming up for an inquiry, and then I looked at the
4 report, I saw that line, but other than that, that was
5 the first time I had actually seen the report even, so
6 I didn't even know that my name was actually mentioned
7 there. I was not aware of it.

8 MS ANYADIKE-DANES: So far as you are aware, have you ever
9 been named in a report after simply giving an informal
10 opinion?

11 MR BOYLE: That's the same question.

12 MS ANYADIKE-DANES: No, it's not the same question because
13 you could have been shown the report after having given
14 an informal opinion.

15 THE CHAIRMAN: I will take it subject to my and your
16 intervention originally, Mr Boyle.

17 A. I don't know.

18 MS ANYADIKE-DANES: So far as you're aware, have you ever
19 been named in a report when you have been asked simply
20 to give an informal opinion?

21 A. I don't recall that.

22 Q. Thank you. You've now seen this report on autopsy,
23 obviously.

24 A. Yes.

25 Q. So you see how the findings are described and what the

1 pathologist concluded as the cause of death. In your
2 view, is that a case in which it was quite proper to
3 involve a neuropathologist?

4 A. Well, I think I ... I'm not here as an expert witness.

5 Q. No.

6 A. So I cannot answer that question. I'm only here in my
7 professional status. So it is actually up to the
8 referring pathologist whether they wish to involve the
9 neuropathologist or not.

10 Q. I understand that.

11 A. And one of the difficulties with such type of cases is
12 when there may not be any macroscopic lesions in the
13 brain, it is difficult for them to actually know
14 whether -- what they're going to find subsequently in
15 the brain or not, either at sectioning it or on the
16 histology.

17 Q. Let me put it maybe in a slightly different way. Have
18 you ever been involved in providing your opinion in
19 a case of paediatric cerebral oedema?

20 A. Yes. Those cases sometimes would come to us from the
21 Paediatric Pathology Service, not from the Forensic
22 Service.

23 Q. And then I wonder if I might ask you a few questions to
24 do with brain weight. In your witness statement at
25 page 4, there's a question 2, which starts a series of

1 questions to do with brain weight.

2 A. Mm-hm.

3 Q. Is this an area that you would have any familiarity
4 with, the weights of paediatric brains?

5 A. Yes.

6 Q. If one looks at that brain weight, this is
7 a four-year-old boy, 20 kilos approximately,
8 1,300 grams. How does that compare with an average
9 brain weight of a child of that age and size?

10 A. Well, the recorded weight, which is actually in the
11 report here in the statement I'm seeing here, is 1,680.

12 Q. No, no, I've asked you about the 1,300 grams.

13 A. 1,300 for a four-year-old, that is within normal limits.
14 The upper limit of the normal, but it is --

15 Q. It is within normal limits?

16 A. Because the range is, say, between 1,200 and 1,350. So
17 it is within the upper range of normal limit.

18 Q. Then if one deals with the -- the 1,320, I think, was
19 the unfixed brain weight of Adam.

20 MR BOYLE: Sir, I think we may be using Dr Mirakhur as an
21 expert. Two experts, I think, are going to comment on
22 brain weights and there has been an acceptance on
23 Dr Armour's behalf in relation to the fresh brain
24 weight -- and Dr Squier, in fact, agrees with this -- is
25 not likely to have been the 1,320 that is recorded

1 in the report. It is likely to have been more than
2 that, ie closer to the fixed brain weight. I'm just
3 concerned that we're using this witness, who
4 I understood was going to be a witness of fact, to give
5 expert evidence about brain weights when you're going to
6 hear from two actual experts on the topic.

7 MS ANYADIKE-DANES: I understand that. The only reason for
8 asking her about it is because she has actually
9 addressed it in her witness statement.

10 I take the point, but I should correct one thing.
11 Dr Squier is going to give her evidence that although
12 she has accepted that, she is not in a position to know
13 what was most likely or not likely to be a fresh brain
14 weight at that time as she didn't measure it. But
15 I entirely accept, Mr Chairman, that it may not be
16 appropriate to take this witness through what her
17 thoughts are of the various weights and I simply did it
18 because she had referred to them in her own witness
19 statement.

20 A. Well, I referred to the weight which is recorded here,
21 1,680.

22 Q. Yes, that's the fixed brain weight.

23 A. Yes.

24 Q. Obviously, there's an unfixed brain weight, and that is
25 the area I was taking you to before, but I'm happy not

1 to continue with that. I wonder if you'd just give me
2 a moment, Mr Chairman.

3 Mr Chairman, I don't have at the moment further
4 questions. I wonder if you might allow me a few minutes
5 just to canvass my learned friends.

6 THE CHAIRMAN: I just want to pick up one point: you were
7 being asked about different forms of referral, doctor,
8 but, as I understand it, in 1995, there was no formal
9 referral system.

10 A. No.

11 THE CHAIRMAN: So things were looser then, less structured
12 than they gradually became over the following years?

13 A. I think it's very difficult to go or we keep going back
14 in retrospect because although there wasn't a formal
15 referral system, but still in 1995 there were cases
16 which the pathologists would, from the outset, think
17 this requires a neuropathology opinion. It didn't
18 happen on a regular basis, but it still did happen that
19 the pathologist, if they think that a neuropathology
20 input was required, they would formally refer. So it's
21 not that it didn't exist or it was looser, but it wasn't
22 used as regularly as it is now.

23 THE CHAIRMAN: I think you also said the way in which your
24 office would be approached depended on who the
25 pathologist was because some pathologists had -- each

1 pathologist had a slightly different way --

2 A. Different ways of doing things. That's correct.

3 THE CHAIRMAN: Okay. Are there any questions that --

4 MS ANYADIKE-DANES: There might be. That's why I wanted to

5 see if I could take a sounding.

6 THE CHAIRMAN: I will rise for five minutes.

7 (10.51 am)

8 (A short break)

9 (11.03 am)

10 MS ANYADIKE-DANES: I just have a few questions,

11 Mr Chairman.

12 In 1995, if a pathologist anywhere -- whether or not

13 in the State Department -- wanted to seek expert input

14 from a neuropathologist, who else other than you could

15 they go to?

16 A. At that time there was my colleague, who retired in

17 1997, Professor Allen.

18 Q. But in 1997?

19 A. She retired in 1997. So she was still there in 1995.

20 Q. Okay. Is that it?

21 A. That's it. And then there was a registrar, senior

22 registrar. But they usually -- whenever a formal

23 referral was requested, it was usually to the consultant

24 neuropathologist.

25 Q. So there'll be just one other consultant that they would

1 go to?

2 A. Yes.

3 Q. And that would be so for the whole of Northern Ireland?

4 A. Yes.

5 Q. Had you worked with Dr Armour before? Worked in the
6 sense of having been brought in by her into a case?

7 A. No. I don't recall that.

8 Q. When did you first learn that Adam Strain had died?

9 A. That was on the -- it's in my statement. That was on
10 28 October, I think, when I received a copy of the
11 report from the department that the inquiry has
12 requested my statement. So I actually learned through
13 the report. But I hadn't known before that. I was not
14 aware of the case at all.

15 Q. Yes, maybe that's the way I wanted to put it to you.
16 You could have known about it, but you don't remember
17 knowing about it?

18 A. I don't remember.

19 Q. Or do you know for a fact that you didn't know about it?

20 A. That's correct. I don't remember about it.

21 Q. So you could have heard about it?

22 A. I don't recall it.

23 Q. I understand. As at 1995, were there facilities for
24 neuroimaging MRI scans, so far as you recall?

25 A. I think there definitely was facilities for CT scanning,

1 but I can't recall whether there was for MRI. I think
2 MRI maybe came later on. But I don't remember the exact
3 dates when they came.

4 Q. Is it possible to do an MRI scan when the person's dead?

5 A. Yes, it is possible to do an MRI scan when a person is
6 dead, yes.

7 Q. Can it be useful of the brain?

8 A. Yes, it can be useful. In fact, more recently, when the
9 techniques have become much more sophisticated and a
10 much better correlation is sought between the clinical
11 imaging and pathology, it gives a very good relationship
12 between the topography of the lesion and the
13 distribution of the lesion. Yes, so in some cases it
14 could be quite helpful.

15 Q. If it's available and there are issues to do with, for
16 example, cerebral oedema, is it a good thing to do?

17 A. Yes, it is. Well, it will show the swelling of the
18 brain.

19 Q. And if it were available, would there be any reason not
20 to do it?

21 A. Well, I think it's very difficult to have full use or a
22 regular -- can I put it this way -- regular use of MRI
23 in autopsy because MRI is a very expensive technique and
24 there's a lot of requirement on it, on doing imaging on
25 the patients who are living and they are undergoing

1 biopsies as part of neurosurgical practice. So on
2 autopsies, it's actually very difficult from the timing
3 point of view, whether it would be available and how
4 frequently it would be available. There usually is
5 a list, waiting list, for the MRI, even for the living
6 patients. Unless there is a dedicated service, which is
7 different from the living.

8 Q. I understand. When you said from the timing point of
9 view, what did you mean by that? Is it something that
10 has to be done within a certain period if it's going to
11 be useful?

12 A. It should be done -- well, it is usually done as soon as
13 possible after death, if an MRI is required of the
14 brain.

15 THE CHAIRMAN: Sorry, does that mean that you'd have to have
16 a particularly strong reason for asking for an MRI scan
17 of a dead child?

18 A. That's correct. Very strong reasons. That's correct.

19 THE CHAIRMAN: And if we wanted to trace when MRI scanning
20 became available, how would we do that?

21 A. How do you mean?

22 THE CHAIRMAN: You're not sure whether there was a facility
23 in 1995 for MRI scanning, but you think that there may
24 not have been?

25 A. There may not have been, yes.

1 THE CHAIRMAN: How could we find that out? Would there be
2 records about when the MRI scanning became --

3 A. I'm sure the radiology department may have records, but
4 I'm not sure.

5 THE CHAIRMAN: I know you don't have them; I'm just
6 wondering who we should ask for them.

7 A. Maybe the radiology department.

8 THE CHAIRMAN: Thank you.

9 MS ANYADIKE-DANES: Forgive me if this completely betrays my
10 ignorance of the equipment, but can you do a CT scan of
11 a person who's dead?

12 A. Yes, you can do a CT scan of the brain. Yes, you can do
13 a CT scan.

14 Q. So if you don't have MRI imaging available to you, can
15 a CT scan be helpful?

16 A. It depends on what you're actually looking for. In
17 cases of maybe cerebral oedema, MRI's probably more
18 useful than the CT would be useful. CT would be more
19 useful if there is, clinically and radiologically, a
20 specific lesion in the brain. Cerebral oedema is a lot
21 more generalised and so I'm not sure how useful a CT
22 would be. But it can actually show swelling or maybe,
23 you know, the affects of the swelling of the brain.

24 Q. Forgive me if this is not your area and you don't feel
25 comfortable answering it, but on a CT scan, can it show

1 the distribution of swelling?

2 A. Well, if the swelling is generalised, it will show that
3 the whole brain is swollen as against one area of the
4 brain.

5 Q. But it can show that too, can it?

6 A. Sometimes, not always.

7 Q. Yes. You were explaining that if you had been contacted
8 formally -- although I know you don't like that
9 expression -- but contacted to give an opinion right
10 at the outset, the first scenario I gave you, you said
11 that you would have wanted to go to the mortuary and you
12 would have wanted to view the brain and take the brain
13 out and take charge of all that follows.

14 A. Yes.

15 Q. And I think you were saying that one of the reasons that
16 you wanted to do that is because you want trained people
17 to handle the brain, you want your trained eyes -- you
18 didn't use that expression, but that's what
19 I understand -- to look at it to make the first
20 observations and so forth.

21 A. That's correct.

22 Q. So if there is going to be an issue about the
23 involvement of something happening in the brain and the
24 contribution of that to the patient's death, how
25 important is it that somebody with your training and

1 expertise is looking at it as soon as one can?

2 A. Well, I think if formal neuropathology opinion is
3 sought, it is always important that the neuropathology
4 involvement is from the very beginning and as soon as
5 possible because then you can -- neuropathologists can
6 assess the case for themselves and also will look at
7 what they want to look at rather than not look at what
8 some other pathologists want to look at. So it's very
9 important, I think, for a neuropathologist to be
10 involved from the very beginning.

11 Q. Presumably, from your training and expertise, you can
12 identify where you want the slides to be taken once the
13 brain is fixed?

14 A. Yes.

15 Q. What happens to the rest of the brain when the slides
16 are taken and the report is prepared?

17 A. Well, the rest of the brain, when it is coronally
18 sectioned after a period of fixation, it stays in
19 formalin until the histology is completed because
20 occasionally ... What might happen is that when
21 you have actually -- especially in cases where there is
22 no specific lesion to look at on the naked-eye
23 examination and it's only histology which may provide
24 you with the answers. After you have looked at the
25 histology, you maybe should go back to the coronal

1 slices to look at them again in context of the
2 histology. So the brain actually stays in fixated state
3 until you have completed the entire report.

4 Q. And then what happens?

5 A. Then it is usually disposed of.

6 Q. So if somebody has not appreciated the significance of
7 taking slides from a certain area, it's not possible
8 after the report is done to go --

9 A. No, it's -- well, I think if they have not appreciated
10 the importance of a neuropathological input in it, they
11 may, after the coronal sectioning, dispose of the brain.
12 So what you're actually limited with then is just the
13 histology. You give your opinion on the histology.

14 Q. Is that part of the reason why it's important that --

15 A. That's correct.

16 Q. -- if what happens in the brain is going to be
17 significant that a neuropathologist is involved as soon
18 as possible?

19 A. Yes, I think that's what I said in the answer. The
20 neuropathologist would take the sections from what they
21 wish to according to the training which they have rather
22 than going on another pathologist.

23 Q. Do you sometimes carry out brain-only --

24 A. Yes, we do --

25 Q. -- post-mortems.

1 A. -- in consented post-mortems, yes.

2 Q. I see. So that would be a hospital post-mortem?

3 A. Yes.

4 Q. If that's going to happen, is it a neuropathologist who
5 is involved in doing it?

6 A. That is a neuropathologist's involvement, yes.

7 Q. Excuse me just a minute. Can you help with one final
8 question? When would you only do that?

9 A. Only in consented autopsies when the families have given
10 only consent. Well, when the clinicians think that the
11 major cause of death is in the brain and the families
12 have also given consent only for the brain to be looked
13 at and they don't want the rest of the body to be
14 disturbed.

15 MS ANYADIKE-DANES: Thank you. Mr Chairman, I don't have
16 anything further.

17 THE CHAIRMAN: Okay. Any more questions? Mr Boyle?

18 Questions from MR BOYLE

19 MR BOYLE: Just arising from the question you asked in terms
20 of cerebral oedema. It may be difficult for you to
21 answer this, but would all deaths where there has been
22 cerebral oedema have been referred to a neuropathologist
23 in 1995?

24 A. Not necessarily, no.

25 Q. And is cerebral oedema something which is in fact

1 your CV there?

2 A. I do, yes.

3 Q. That's to be found at reference 306-070-001. There
4 we are. You have been a consultant neuropathologist
5 since 1984, but -- I beg your pardon, before I do that,
6 I should do something formally.

7 Do you have your reports there? You've provided
8 three reports to the inquiry: your first report of
9 15 October of last year, an addendum report of
10 28 January of this year and a supplemental report of
11 17 February also of this year.

12 A. Yes, I have my own copies here.

13 Q. Do you adopt those reports as your evidence, subject to
14 anything that you may say in this oral hearing?

15 A. Yes, I do.

16 Q. Your third report, the 17 February report, is a report
17 that deals in large part with the report of
18 Professor Kirkham, following two expert meetings in
19 Newcastle, one in February and one in March; that's
20 correct, isn't it?

21 A. Yes, that's right.

22 Q. We're not going to address those issues during this
23 hearing, so we're going to concentrate on your first two
24 reports and your observations of the material that's
25 provided to you in relation to the report on autopsy and

1 the report itself.

2 So if we go back to your curriculum vitae, I had
3 asked you and you had said confirmed that you were
4 a consultant neuropathologist since 1994 and that you
5 were trained in Great Ormond Street. Since that and
6 since you became a consultant, have you always been in
7 the Oxford hospital, the John Radcliffe?

8 A. Yes, I have.

9 Q. And can I ask you, before you specialised as an
10 neuropathologist, did you act as a pathologist, carrying
11 out more general autopsy work?

12 A. Yes, I did. I began my career after my training in
13 paediatrics, did a couple of years in paediatrics, and
14 then I went into general pathology and, in fact, took my
15 membership of the Royal College of Pathologists in
16 general pathology and then specialised in
17 neuropathology.

18 Q. Then if we look at your first page, when you talk about
19 some of your publications, you talk about the research
20 into the nature and timing of brain damage, and you also
21 refer to your publications in peer-reviewed journals and
22 editing a book on the timing and causation of
23 developmental brain damage. I wonder if I can take you,
24 though, to page 003, where you talk about your current
25 research.

1 If one looks immediately underneath that title,
2 "current research", you say:

3 "I am currently involved in research studying
4 age-related structure and physiology of the dura,
5 looking in particular at fluid transport through the
6 dura at different ages and how this may affect the
7 vulnerability to dural bleeding in the infant."

8 For the layperson, what does that mean and does it
9 have relevance to the sort of issues that we're dealing
10 with in Adam in terms of the development of cerebral
11 oedema?

12 A. No, I don't think it does. This is really applied to
13 much younger babies, who are very different before the
14 first year of life. It's looking at a structure called
15 the dura, which is the fibrous membrane that surrounds
16 the brain and lines the skull. It is important in that
17 it carries all the blood leaving the brain back to the
18 veins of the neck through some channels called dural
19 sinuses, which may have a little relevance, but
20 essentially this research is to look at the finer
21 structure of the dura and its function in infants under
22 one year of age.

23 Q. If we go on to the second paragraph where you talk about
24 your current research and you talk about the water
25 handling by the infant brain and pathways of fluid

1 re-absorption after hypoxic injury. Does that have any
2 relevance to any of the processes that may be
3 significant in the development of Adam's cerebral
4 oedema?

5 A. In a way it does, in that I'm interested in all of the
6 processes which lead to brain swelling, the mechanisms
7 of brain swelling. This research, again, is
8 specifically directed at the differences in the brain in
9 the first year of life from in later years. So the
10 specifics of the research are not relevant, but the
11 general principles of brain swelling are.

12 Q. Thank you. You have explained -- I think it was in your
13 second report -- that you're not a forensic pathologist
14 and therefore you don't feel qualified to comment on the
15 specific conduct of that type of autopsy and that you
16 can comment only in general terms on the
17 neuropathological aspects of autopsy practice. And you
18 attach some guidelines for us to assist with how the
19 forensic pathologists carry out their work.

20 You attached guidelines for 2004. Have you since
21 seen some guidelines of 1993?

22 A. Yes.

23 Q. And so far as you are aware -- and please say if you
24 can't tell -- are those the guidelines that would have
25 been applicable to Adam's autopsy?

1 A. Yes, I believe so, as it was in 1995. I'm not aware
2 they were revised again until probably 2003, I believe.

3 Q. I'm just going to pull those references up. It's
4 306-072-001. Then if we go to the next page, one sees
5 that under "general comments", it's envisaged that:

6 "These guidelines should serve for all hospital,
7 coroner's and fiscal post-mortems other than Home Office
8 cases."

9 And this wasn't a Home Office case, one takes it.
10 When you say you are not a forensic pathologist, but
11 Dr Armour was, are you able to explain what the
12 difference is?

13 A. The forensic pathologist is usually involved in cases
14 where there's a suspicion that the death may not be due
15 to natural causes and the approach to the autopsy will
16 be somewhat different, the degree of detail of the
17 autopsy will be different from the autopsy which is
18 designed purely to find a cause of death, which is the
19 remit of the coroner's autopsy, or a hospital autopsy,
20 which is to make a diagnosis and to do an autopsy which
21 is for medical interest, which will have a different set
22 of aims.

23 Q. But a non-forensic pathologist can find themselves
24 assisting or providing expert opinion to a forensic
25 pathologist?

1 A. Yes, a forensic pathologist will often -- will be
2 responsible for the overall findings in an autopsy, but
3 in doing so, may require the help of a biochemist, of
4 a haematologist, of a neuropathologist, of a paediatric
5 pathologist of various different specialists, who will
6 write reports and then the forensic pathologist will
7 usually incorporate these reports into his or her own
8 report and write an overarching summary of the case,
9 depending on what is said in those reports.

10 Q. Thank you. The autopsy into Adam was conducted in 1995.
11 You are reporting for us last year and this year. How,
12 if at all, does practice differ between what would have
13 happened in 1995 in terms of the conduct of an autopsy
14 on Adam and what would happen now?

15 A. There have been enormous changes over the last 10 to
16 15 years. 1995, we were just on the cusp of what became
17 a huge problem relating autopsy practice, retention of
18 organs, retention of tissues. I'm certainly aware that
19 by about 1996/1998, a lot of pathologists were
20 considering how they should conduct autopsies, how they
21 should document them, how they should keep or not keep
22 tissues, how they should ask for consent and so on. So
23 all of this was beginning and then, of course, in 2001
24 there was the big publicity of the Alder Hey organ
25 retention inquiry and subsequently the Human Tissue Act

1 was drafted and brought into law. So that made a huge
2 difference to the way in which autopsy practice is
3 carried out.

4 And on top of that, we've had increasing regulation
5 and what is known as CPA accreditation, so laboratories
6 and pathologists now are subject to accreditation and
7 that involves a huge amount of paperwork, documentation,
8 paper trails and so on, which are now considered good
9 practice and actually are necessary for a laboratory to
10 remain accredited. Whereas in 1995, many of these
11 procedures weren't in place.

12 Q. I wonder if one goes back to those guidelines that
13 I just identified, to go back to 306-072-001. This is
14 simply, as you talk about the differences, nonetheless
15 to describe, so far as you can, from 1995, how things
16 were actually done. If you feel that you're not in
17 a zone that is your comfort zone, you don't really feel
18 competent to describe that, then please say so. But
19 from your knowledge and involvement in autopsies and
20 assisting forensic pathologists, can you help us
21 interpret what this guidance actually means for what was
22 happening? For example, if one goes to 306-072-003,
23 that first section about demographic details, I think
24 everybody can understand that.

25 If one looks at 2, "history", so far as you are

1 aware, how much history was being provided then
2 in relation to the patient and where did that history
3 come from?

4 A. I think I can speak about this in that I was performing
5 autopsies myself at this time and indeed training
6 trainee pathologists in autopsy work to a certain
7 extent. It's not a large proportion of my practice --
8 neuropathologists do very few autopsies, but we are
9 required to do them so we should know what best practice
10 is. And we should have a history, prior to undertaking
11 an autopsy, so that we know what the focus of that
12 autopsy should be and what we need to look for because,
13 of course, the practice, the autopsy practice, is a once
14 and only chance to examine findings to take samples,
15 after which are time the body won't available any
16 longer. So it is the only opportunity we may have and
17 we need to know exactly what we should be looking for.

18 Q. And where do you get that information from typically?

19 A. In the case of a hospital autopsy it would be from the
20 clinicians who were looking after the patient, who will
21 refer the autopsy to us, call us or write a formal
22 request form and ask for our assistance, and will give
23 us the background of the case and why they want an
24 autopsy performed.

25 In the case of a coroner's autopsy, the coroner's

1 officer will usually provide a short summary of the
2 clinical history and present us with that, but one would
3 normally want the clinical notes as well if they are
4 available.

5 Q. Forgive me if you have just said this, but if it's
6 a coroner's autopsy, you want the clinical notes.
7 Do you also want to speak to the clinicians as part of
8 gathering together the history?

9 A. That's best practice. It's not always easy to do
10 because, with a coroner's autopsy, a patient may have
11 died outside the hospital. There may be no clinical
12 records or the patient may have come from another
13 hospital and clinical records are not available or the
14 patient hasn't been in hospital being treated, so any
15 clinical records are buried away in the hospital
16 archives and it takes some time to recover those notes.
17 So although we would want them, it can be very difficult
18 to either get the notes or speak to a clinician.

19 Q. If it's a death in hospital, then are you seeking to
20 make contact or have the clinicians make contact with
21 you as part of informing you of the clinical history and
22 context?

23 A. Yes, it's best practice and it's also, of course,
24 expected as a professional courtesy that a clinician
25 will phone and ask you to do this because they are

1 asking for your assistance in making a diagnosis.

2 Q. Are you there describing a hospital autopsy?

3 A. Yes.

4 Q. If we move from that to coroner's autopsy, does the same
5 apply, that you're trying to also gain information about
6 the clinical history from the treating physicians?

7 A. Yes, because in cases such as this, the patient was in
8 hospital and all of that information would have been
9 readily available.

10 Q. Then we see also that radiology and photography before
11 the post-mortem should be considered. How routinely was
12 that considered in 1995, photography?

13 A. I think photography was absolutely routine and
14 certainly, in many places, radiology was routine as
15 well, particularly with young babies where it's easy to
16 have a small radiology unit as part of the autopsy.
17 I think it's much more difficult in adults, but it
18 was -- I think, in 1995, radiology was probably routine.

19 Q. When you say radiology was routine, just for the
20 laypeople what does that actually mean?

21 A. X-rays, looking for fractures or, in babies,
22 malformations of bones.

23 Q. In terms of the photography, what is being photographed
24 typically?

25 A. Well, typically, I think forensic standards are very

1 different here. I think forensic pathologists usually
2 take many more photographs than general pathologists do.
3 One would typically photograph anything that was unusual
4 and simply rely on descriptions of the normal run of
5 pathology that one was seeing.

6 Q. If we then go over the page to 004, we see the external
7 description. If we leave aside weight and height and go
8 to external appearance, there are suggestions of what
9 are included in there. If a body was bloated or out of
10 the normal look in some way, is that something that
11 should be included as part of the external appearance
12 you're noting?

13 A. It should certainly be described, yes.

14 Q. Describe it?

15 A. Yes.

16 Q. Might you photograph it?

17 A. If you felt it was unusual, you hadn't come across it
18 before, yes.

19 Q. We'll come to that in a minute when we go through the
20 actual report on autopsy. Then we see the measurements
21 of surface feature, scars and operation sites and
22 bruises. Of course, Adam did have operation sites and
23 scars and it says, "A clear description, including
24 diagrams or photography". So in 1995, would you expect,
25 as a matter of course, to have either a diagram showing

1 those things or a photograph?

2 A. Yes indeed, and it's usual practice to have a simple
3 body map available in the post-mortem room. If there
4 are multiple features to be noted, then they will be
5 most simply put on to a body map, a simple diagram.

6 Q. I wonder if we could pull up 300-090-189. This is
7 something that the inquiry compiled from the report of
8 Dr Simon Haynes, who was the expert anaesthetist, just
9 superimposed the description in the report on autopsy on
10 this fairly basic figure. Is that the sort of thing
11 that you're talking about?

12 A. Yes, because I certainly learn a lot more from looking
13 at a picture like that than reading a detailed
14 description of the anatomical site and the precise
15 description. Both should be available, but it's much
16 simpler to appreciate if it's represented in
17 diagrammatic form.

18 Q. Then if we look at the internal examination, it says:

19 "Each organ system should be described in turn."

20 Although it's not being overly prescriptive about
21 the order in which you put it. And then towards the
22 bottom it says the organs that you would expect to see
23 and where the weight would be given. Under (b), you see
24 that's so of the heart, lungs, brain, liver and kidneys.
25 Just so that we understand, these are all guidelines,

1 but are these what you would typically expect to see?

2 A. Yes, indeed.

3 Q. And then where we get to, histology. It says:

4 "To indicate what other material might have been
5 saved."

6 Just so that we are clear, what sort of thing are
7 they talking about?

8 A. If one, for example, takes a blood sample or a sample of
9 the cerebrospinal fluid which surrounds the brain or
10 a urine sample or some frozen tissue or a sample for
11 microbiological study, which are fairly routine, then
12 those should be noted.

13 Q. And then we come to the commentary and the conclusions.
14 And you will know that the inquiry has also retained
15 Professor Sebastian Lucas to also provide an expert view
16 and he has reported on the report on autopsy and
17 included his comments on this section about commentary
18 and conclusions. But looking at the guidance that was
19 in force -- not in force, but available at the time --
20 if one looks at (b):

21 "Reconcile as far as possible the major clinical
22 problems with the pathological findings."

23 What is the exercise there that the pathologist is
24 trying to do?

25 A. One is asked to try and explain the clinical findings by

1 doing an autopsy.

2 Q. So for example?

3 A. Well, if there's a sudden death after surgery, for
4 example. We don't know what happened, could you look
5 and see? So you would hope that at the end of the
6 autopsy, you would be able to find something that would
7 explain the question that you're being asked. So the
8 point of the exercise is to answer those clinical
9 questions, rather than just to describe your favourite
10 organ or whatever. It's got a purpose and that purpose
11 should be completed by reconciling what you found with
12 the clinical findings.

13 Q. Yes. Can I understand the process? So you start,
14 do you, looking at all that there is to see and seeing
15 where that takes you in terms of what happened or do you
16 start with a rough idea of what you think happened and
17 see whether that can be evidenced from what you're
18 looking at?

19 A. I think probably the most efficient way to work is that
20 you're asked a specific question. Take something
21 simple. A man found dead in the street with a knife in
22 his back or whatever. You would look to confirm that
23 that was the cause of death, you would look to make sure
24 that there hadn't been a major heart attack or a bleed
25 into the brain to explain it. And then you may say:

1 it's really interesting to see that other things were
2 present. And this depends a little bit on who you're
3 doing the autopsy for. The coroner wants to know
4 a cause of death, so if you can say: yes, there was
5 a knife in the back, it went straight into the aorta,
6 the patient bled to death. It's very simple. That's
7 all the coroner wants to know. You may find that this
8 patient has the most fascinating brain disease, but
9 the coroner doesn't want to know, doesn't want you to
10 look at that because that will cost him a lot of money.
11 So in that case you are simply reconciling your findings
12 with the clinical question that's being asked.

13 Q. If you're presented with a scenario where a child, in
14 this case Adam, dies after renal transplant surgery and
15 not all the clinicians who are directly involved in it
16 actually know why he died and can't seem to reconcile
17 his death with the vital signs that they were receiving
18 during the course of his surgery, so if it comes to you
19 in that way, how, broadly, do you approach your task?

20 A. I think what one should do is to make out what we would
21 call a differential diagnosis. In other words, we would
22 make a little list of why a child may not wake up after
23 an anaesthetic.

24 Q. Which could be like?

25 A. Well, the sort of thing is: did something horrible go

1 wrong and there was a huge haemorrhage? Did the child's
2 blood pressure drop during surgery? Was the oxygen
3 cylinder empty? Was there some complication of surgery
4 like abnormal clotting or pulmonary emboli? So you
5 would simply work out a list of things in order of the
6 most common to the least common and you would have that
7 in your mind as you approached the autopsy. So you'd
8 look for things that would help you to either support or
9 rebut a particular diagnosis and work through the list
10 until in the end you would hope that you'd find the
11 cause.

12 Q. Thank you. Then it says, though, because it may not
13 just be as tidy as that, it says in (d):

14 "Present any inconsistencies in the findings."

15 Is it possible that you might not be able to give
16 a conclusive view as to what had happened?

17 A. Oh, very possible, yes. In which case then one would
18 want to think about which other expertise might assist
19 you in making a diagnosis, should other specimens be
20 sent, should other people be asked to come at the time
21 of autopsy even. It wouldn't be unusual for me to ring
22 up one of the other pathologists and say, "Would you
23 come and look at this heart, I haven't seen anything
24 quite like this", or, "I'm not sure if it's normal", and
25 to get somebody else to come at the time or to think,

1 "Maybe I should send something off to the lab to see if
2 there's some infection in the brain or infection in the
3 kidney", or whatever. So you would think about what
4 other services you may require and assistance you may
5 require at that time and then, of course, there are
6 later stages. If after you've completed the autopsy and
7 you've looked at the tissues under the microscope,
8 again, you might need further opinion or help, or to go
9 back to the clinicians and say, "We're still a bit foxed
10 here. We have to look at some other level of question
11 about what might have been underlying this cause of
12 death".

13 Q. When you're doing that, are you wanting to know whether
14 any investigations have actually been carried out
15 in relation to the death? So as not to put something so
16 abstract, an actual situation. In Adam's case, at
17 a fairly early stage, both the coroner and those in the
18 hospital were concerned, as at one stage was the
19 pathologist, that there might have been something wrong
20 with the anaesthesia or the anaesthetic equipment. And
21 the anaesthetic equipment was actually examined. There
22 is a different issue as to the value of the results of
23 that. In any event, the anaesthetic equipment was
24 actually examined. Is that anything that a pathologist
25 wants to know, what the result of that is?

1 A. I think perhaps one should just consider this in
2 a temporal sequence, as it were. First of all, at the
3 time of the autopsy, there are certain imperatives
4 in that an autopsy has to be performed at a certain
5 time. One wants to do it as soon as possible after
6 death. One is there in the autopsy room taking samples
7 and, obviously, one wants to complete it in a timely
8 fashion because there will be requirements for the
9 family to have the body and so on. So one needs to be
10 very sensitive to that.

11 So one set of investigations that one needs to have
12 in one's mind at that time, and what needs to be done
13 fresh, what can't we do later, what are the really
14 important examinations here and now? So if you're
15 worried about an anaesthetic machine, that question
16 probably won't come up until later. It is also not
17 something that needs to be done at that time, but it's
18 not something a pathologist would be primarily involved
19 in.

20 So that's the sort of thing that would come later.
21 You complete the autopsy, you try and make sure that
22 you've taken all the samples that you need at that time
23 because once the body has left, you won't have an
24 opportunity to go back in the vast majority of cases.
25 And then you have time to sit down, to think, to

1 reflect, and to talk again if you haven't come up with
2 a diagnosis and go into it in greater details. That's
3 when you'll go into the deeper layers of the
4 differential diagnosis saying, "We have ticked off all
5 of these things and we really can't establish a cause of
6 death, we have to go on looking at other things", and
7 that's when you might start thinking about anaesthetic
8 machines.

9 Q. And how much discussion might there be in your
10 experience between the pathologist and the coroner, if
11 it's a coroner's autopsy, to try and make sure (a) that
12 you have all the information that the coroner has,
13 and (b) that you're assisting the coroner with what
14 the coroner wants to know and not furthering science, if
15 I can put it that way.

16 A. It depends entirely on the coroner. My coroner in
17 Oxford has always been very relaxed about this and
18 trusts us to get on and do what we need to do. As far
19 as it is within the law, sometimes just allows us to do
20 investigations which may not be entirely related to the
21 cause of death, but which help us to understand the
22 case. But that now has to be done with consent and he
23 objects to paying for it. But essentially, he would
24 normally allow us to get on with it. And we don't have
25 very much interaction with the coroner at that early

1 stage. We would be dealing with the clinicians, trying
2 to make a diagnosis and be able to write a full report
3 at that point.

4 Q. When you say that you would be dealing with the
5 clinicians, but in 1995 -- because I can appreciate this
6 is something that might have changed -- how much
7 recording do you do of what information you're getting
8 from whom?

9 A. In 1995, it was probably really poorly recorded.
10 We weren't good at documenting things. We may be
11 a little better now, but it wouldn't be uncommon for me
12 to go from the autopsy room and straight up to radiology
13 or to surgery and say, "This is what I have found, how
14 does it fit with what you saw at operation? Can we go
15 and look at the scans together so that we can put all of
16 this together?". And that would be very informal, but
17 it would help me when I was preparing my report.

18 Q. If it's a coroner's autopsy, to what extent are you
19 conscious that there might be some conflicts there?

20 A. Well, the current practice, I think -- and this is
21 probably slightly different from in 1995. If there were
22 a case where there may have been a conflict considered,
23 if a patient had died in hospital and there was
24 a question of whether there could possibly have been
25 some negligence, that autopsy probably wouldn't be done

1 in the hospital, it would be sent elsewhere, and it's
2 perhaps two or three times a year, I will get a sample
3 sent from outside because it was felt that it's better
4 that it's examined away from the hospital in which the
5 baby died.

6 THE CHAIRMAN: Doctor, just pause there. You say this is
7 probably slightly different from 1995. So in 1995, do
8 I infer that you might then still have conducted the
9 autopsy in the hospital, whereas you would not now do so
10 if there was a query about negligence?

11 A. Yes. I think that may have been the case. I can't be
12 sure.

13 THE CHAIRMAN: One thing that isn't clear to me is, what is
14 the ... Why does it matter what the location of the
15 autopsy is? Why does it matter? I think you were here
16 when Dr Mirakhur gave her evidence earlier and she was
17 describing the Royal site, which was quite big and there
18 are separate units in it. Why would it matter that the
19 autopsy was conducted somewhere in the Royal site as
20 opposed to Adam's body taken off to a separate site?

21 A. It's not the site as much as the person conducting the
22 autopsy. So it would be thought that if this
23 hospital -- if a hospital may have been negligent in
24 some way, it would be far better that the whole autopsy
25 be performed in a completely different city by

1 a different pathologist, who may not have any conflict
2 of interest with the treating hospital.

3 THE CHAIRMAN: Right. So it's more the relationship between
4 the pathologist and the hospital?

5 A. Yes, I think it's more so that it can be seen to be
6 a more objective examination and totally unrelated to
7 any conflict the pathologist may have for his own
8 establishment, his own employing authority.

9 MR BOYLE: Sir, I hesitate to interrupt, but it may be
10 helpful at this juncture to look at some of the
11 guidance, which I appreciate post-dates Adam's death,
12 but which does still appear to be guidance in relation
13 to this. It's at 206-004-083. It's the paragraph at
14 5.5.9. It may be of significance because it involves
15 a perioperative event:

16 "Clarification and documentation of the often
17 complex procedures and morbid anatomical results is more
18 important than any potential conflict of interest if an
19 adverse clinical event is thereby recognised."

20 I wonder whether you might want to establish whether
21 in fact it might still be the case that guidance might
22 suggest even where there's a potential conflict, one
23 might still involve the clinicians who were involved in
24 treating the child?

25 MS ANYADIKE-DANES: Yes, I was going to come to this later,

1 but we'll do it now since you have raised it. Can we go
2 to paragraph 4.4.2, which is at 206-004-079?

3 These are the Royal College of Pathologists'
4 guidelines on autopsy practice, which were produced
5 in September 2002. If you look at 4.4.2, it says:

6 "Where it is thought desirable that the pathologist
7 performing the autopsy should not be a trust colleague
8 of the clinicians involved, that there may be a conflict
9 of interest, a choice is to be made: an outside,
10 independent pathologist possessing appropriate skills
11 may come to the hospital or the body may be transported
12 to another appropriately equipped mortuary for autopsy
13 by the appropriately-skilled independent pathologist."

14 And sorry, your passage was?

15 THE CHAIRMAN: 5.5.9 on page 083. Can we put the two of
16 them up together?

17 MS ANYADIKE-DANES: Can we put those two pages up together?
18 Then if you can block off --

19 THE CHAIRMAN: 5.5.9, please.

20 MS ANYADIKE-DANES: There we are:

21 "If the case involves a perioperative or
22 peri-intervention death, it is often advantageous to
23 have the operator assist in the autopsy dissection.
24 Clarification and documentation of the often complex
25 procedures and morbid anatomical results is more

1 important than any potential conflict of interest if an
2 adverse clinical event is thereby recognised."

3 Are you able to assist on how one interprets this,
4 what the guidance was in 1995 and how one is to
5 interpret these two elements of the guidance?

6 A. I would hate to enter into this minefield. I think
7 the coroner is the person who has to make this decision.

8 THE CHAIRMAN: On the face of it, there is a discretion and
9 a judgment call to be made, isn't there?

10 A. Yes.

11 THE CHAIRMAN: In fact, 5.5.8 specifically advises that one
12 or more members of the clinical team should attend the
13 autopsy.

14 A. That's always desirable. But if there's a question of
15 a conflict of interest, it would be for the coroner to
16 decide which would take priority.

17 THE CHAIRMAN: Okay. Thank you.

18 MR BOYLE: I'm sure you have the point, of course, that
19 4.4.2 states that:

20 "The pathologist performing should not be a trust
21 colleague of the clinicians involved."

22 Which, of course, those in the state pathology
23 department here in Northern Ireland were not trust
24 colleagues of the clinicians.

25 THE CHAIRMAN: Dr Armour is not an employee of the Royal

1 trust or the Belfast Trust, as it is now. She was then
2 employed by the state pathology department.

3 MS ANYADIKE-DANES: Yes, although Dr Mirakhur was, but
4 I think the chairman has the point.

5 If the autopsy is to take place outside of the
6 hospital's environment, if I can put it that way, how do
7 you deal with getting the information from the
8 clinicians, which you may nonetheless feel is important,
9 whether or not there are conflict issues, how do you go
10 about getting that information?

11 A. I think this is a very difficult issue, and I don't
12 know, I haven't been involved in such a situation where
13 there is a conflict and yet one needs the complex
14 information, because I think, as far as I'm concerned,
15 as a pathologist, I'm always very grateful if the
16 clinician comes to the autopsy, particularly if it's
17 a night when I was working at Great Ormond Street and
18 doing cardiac autopsies I would far rather the surgeon
19 came and explained exactly what he had done to the
20 complex anatomy of the heart. And now, if I do an
21 autopsy for the neurosurgeons, I very much appreciate it
22 if they can come and explain exactly what they have
23 done, which will help to unravel the complex picture
24 we have when we have pathology plus surgery plus
25 pathology. The picture can become very complicated.

1 Q. If in receiving that information, which is useful to
2 you, it becomes clear that you have a different view
3 from the clinicians who are giving you the information
4 that you're seeking, you record your view obviously, but
5 do you in any way seek to record the fact that you've
6 received information from one or other of the clinicians
7 and you simply have a different view or do you simply
8 just put down your view?

9 A. I think what one tries to do is to record the objective
10 evidence, the objective and relevant clinical evidence
11 and one's opinion, based on the clinical opinion or the
12 clinical information that one has, the evidence that one
13 can identify and then one makes a professional diagnosis
14 based on that information, and I think opinions probably
15 would be not part of an autopsy report.

16 THE CHAIRMAN: Well, you have seen Professor Lucas' report.

17 A. Yes.

18 THE CHAIRMAN: He has some criticism of Dr Armour, but one
19 of them is that she actually has too much information in
20 her report. So getting into a debate between clinicians
21 would clearly be going too far, wouldn't it? Because
22 the coroner is not asking for an opinion from the
23 pathologist on a debate between clinicians. That's way
24 outside the remit of the pathologist, isn't it?

25 A. I think that's correct. I think the pathologist should

1 be looking at objective evidence and making up his or
2 her own mind, which will be an opinion. But other
3 people's opinions are not part of that report.

4 THE CHAIRMAN: Thank you.

5 MS ANYADIKE-DANES: Can we then go to two final parts of
6 these guidelines? 306-072-006.

7 THE CHAIRMAN: Is it 306 or 206?

8 MS ANYADIKE-DANES: It's 306.

9 THE CHAIRMAN: So you're back to the earlier one?

10 MS ANYADIKE-DANES: Yes. Well, I think I had gone to that
11 part because one of the counsel wanted specifically to
12 look at that element. I'm now going back to the
13 guidelines that I think have been identified as the ones
14 that were likely to be in practice at the time.

15 Then if we look at this, the minimum guidelines for
16 post-mortem investigation, and if we leave the
17 post-neonatal/infant deaths, is this something that
18 would apply to Adam, so far as you're aware?

19 A. This is actually for infants, and I think that's
20 a slightly different category. We're talking about
21 a child of 4 here. So a lot of different
22 considerations --

23 Q. So infant would mean someone slightly younger?

24 A. Under 1 year of age.

25 Q. Under a year, thank you. Then if we go over the page to

1 306-072-007, neuropathology. This is a part of the
2 guidelines which would have applied to Adam's autopsy,
3 so far as you are aware?

4 A. Yes, I believe so, yes.

5 Q. And so if we look then at what's being required here, it
6 says:

7 "The main points which should be noted in
8 post-mortems involving neurological ..."

9 Would Adam's case be a post-mortem involving
10 neurological --

11 A. Yes.

12 Q. It then refers to four guidelines, and I'm sorry,
13 Mr Chairman, we have not been able to find those four
14 guidelines for you, they no longer retain them in the
15 archive. But we're still trying and, should we get
16 them, we'll provide them to you, because it may be
17 they'll be relevant to other deaths as well. In any
18 event, this is what we have. Then it says:

19 "The pathologist should consider whether cases need
20 referral to regional centre of neuropathology."

21 And you would have heard Dr Mirakhur's evidence.
22 That actually was Belfast, the Department of
23 Neurosciences in the hospital was the regional centre
24 for Northern Ireland. So that presumably is somewhere
25 that the pathologist could have considered to refer

1 Adam's case to formally.

2 A. Yes.

3 Q. And just if we pause there. The details and information
4 that you have received of Adam's case, would you have
5 considered such a referral would have been appropriate?

6 A. I think so, yes.

7 Q. Then if we move to the external examination:
8 "CSF [central spinal fluid] should be taken before
9 starting."
10 Should that always be taken in your view?

11 A. It's good practice. It doesn't always happen, but it is
12 good practice.

13 Q. And why are you taking it?

14 A. So that any unusual features, for example an infection,
15 meningitis, or a biochemical abnormality could be
16 identified. So it's possible to take the sample, either
17 to send some of it for immediate culture in a
18 microbiology laboratory or simply to freeze it so that
19 it's there for future reference if an unexpected
20 question arises.

21 Q. Is that one of those sorts of samples that you really do
22 have to make up your mind you're going to take it fairly
23 immediately because otherwise it gets lost?

24 A. You have to take it absolutely before you start, because
25 otherwise once you start opening the head and removing

1 the brain, blood gets into the CSF and contaminates it.
2 So it's usually by a needle through into the lake of CSF
3 at the back of the brain before starting.

4 Q. Thank you. And then it goes on with histology and the
5 dissection of the neck. When it refers to the carotid
6 vertebral arteries, it talks about removing them
7 en bloc. Do you do that even if you're not sure whether
8 there's going to be an issue there? It's one of those
9 things that you remove?

10 A. I think I've probably done that twice in my life. It's
11 extremely unusual for us to do that. But were there to
12 be a question of a vertebral artery aneurysm or rupture,
13 then one would certainly do that.

14 Q. When it talks about the examination of the skull and
15 brain, this is something that's being done before you
16 get into the situation of taking the fresh brain out.
17 So how important is that bit of the examination? It has
18 as guidance that you conduct:

19 "(i), a careful examination of the scalp [and so
20 forth]."

21 And particularly:

22 "(c), special techniques being needed for
23 examination of the posterior fossa or upper spinal cord
24 [and so forth]."

25 But if one starts with the very basics of carefully

1 looking at the scalp, how important is that?

2 A. It's terribly important because it's very simple and
3 it's part of a basic observation and it shouldn't be
4 part of a guideline so much as common sense that you're
5 going to look at what the head looks like. Is there any
6 evidence that something has directly happened to the
7 head? Is there evidence of impact? So it's something
8 that doesn't require special samples or special
9 techniques and so should be an intuitive part of any
10 autopsy.

11 Q. And these things that you're receiving guidance about
12 doing, are they all things that you should record in
13 your report on autopsy?

14 A. Well, I think examination of the scalp and skull or the
15 head, for example, should be part of the examination as
16 we've already discussed, the external examination of the
17 body. It should certainly be recorded there, yes.

18 Q. And recorded?

19 A. Yes.

20 Q. Then the reference to special techniques for the
21 examination of the posterior fossa or upper spinal cord.
22 Why is it important that you use special techniques for
23 that examination?

24 A. There would be special circumstances. So in most cases,
25 one wouldn't do that. But for example, if a patient has

1 just had spinal surgery on the neck or I had a case
2 recently of somebody who had an injection into a painful
3 nerve root. In that case, you would want to look very
4 carefully and, in order to look at the nervous system,
5 the back of the brain and the upper spinal cord, you do
6 need to use a technique like this so you can look at it
7 intact without damaging -- trying to get it out at
8 autopsy.

9 Q. Okay. So that we're clear then: these are all guidances
10 as to things that you should do, but is there an element
11 of judgment from the pathologist as to whether this is
12 an appropriate thing to do, given this particular case?

13 A. Very much so. Taking out neck blocks like this or
14 taking out the vertebral arteries would just not be
15 routine practice. You would simply do it where you felt
16 it was necessary. So these are perhaps best practice
17 covering the whole spectrum of possibilities. In any
18 one autopsy one wouldn't undertake all of these
19 procedures.

20 Q. But are there nonetheless some of these things that
21 should always be done and always be recorded?

22 A. Yes. And I think those mostly fall into the sort of
23 category of the simple and the common sense things.

24 Q. And is the central spinal fluid, taking that, one of
25 those things that really ought to be done?

1 A. I think again that isn't always essential. Very
2 frequently now, patients will have had CSF taken before
3 death and there will be a good record of that, so one
4 may not be adding anything at autopsy. Again, I think
5 that's a matter of judgment.

6 Q. Thank you. And then over the page, 008, it deals with
7 the preliminary inspection of the brain and dissection.
8 The guidance about fixing the brain and so forth. Then
9 the dissection, if we go to (b):

10 "Routine blocks should normally include."

11 And then it gives a whole series of where you should
12 take those blocks from. If we take the first, which is
13 the dura, what's the significance of taking blocks from
14 that particular area of the brain?

15 A. Well, maybe I could take us back a step because we
16 discussed looking at the scalp and the skull, and there
17 was a comment about not causing fractures. It's also
18 very important that one should look at the lining of the
19 skull to make sure there aren't fractures in the skull
20 because this can only be done at autopsy. And also,
21 that one should look at the dural venous sinuses which
22 I already mentioned, because they are draining blood
23 from the brain and this is something, again, which can
24 only be done at autopsy. So it's important to look to
25 see that they're patent because a thrombus or clot

1 forming in those sinuses is a very powerful cause of
2 brain damage. They should always be inspected at the
3 time, and further, if one takes a sample of the dura
4 from the appropriate place, it's possible to see if
5 there has been clot, if there may have been a previous
6 clot which has since healed and scarred that part of the
7 vessel, or if there is bleeding into or beneath or above
8 the dura -- evidence of old trauma, for example.

9 So one can gain quite a lot of information from
10 looking at samples of the dura if they are taken from
11 appropriate sites and I'm just very surprised that, in
12 this guidance, nowhere does it make reference to
13 examining the sinuses because it's a very important site
14 in terms of brain pathology.

15 Q. And do I understand you to say that some of these things
16 that you should do at the outset -- I presume it's
17 a progressive examination from what happens at the
18 surface moving in to more internal structures and that
19 if these things are not done in that order, then you
20 don't any longer have the opportunity to know what that
21 might have told you?

22 A. Exactly right. So when one's taken out the brain, which
23 is a difficult technique and it needs to be taken out
24 very carefully and put into fixative so it's protected,
25 then one should after that, look at the inside of the

1 skull, examine the sinuses and take any relevant
2 samples. Then we move on to the next stage, which is
3 examining the brain, the dissection, examining the brain
4 after it has been placed into fixative so it's more easy
5 to handle.

6 Q. Thank you. Now that we've got that, we do actually have
7 some photographs and diagrams so that we can try and
8 understand the significance of some of these structures
9 that you refer to in your report. These are going to be
10 photographs of Adam's brain and there will also be some
11 photographs of other brains for comparison purposes.

12 I wonder if we might first go to reference
13 300-076-140. I wonder if it is possible to pull up
14 alongside that 300-097-001. On the right-hand side,
15 those four sets of diagrams are diagrams that the
16 inquiry's own legal team have sourced, so apologies if
17 they're perhaps not the best for illustrating this, but
18 sometimes it's easier to see in diagrammatic form.

19 If we look to the left, can you help us by
20 reference, if it does help, with any of the labelling on
21 the diagrams on the right, what we're actually looking
22 at?

23 A. The photograph on the left is a black and white
24 photograph which was used, I believe, in Dr Armour's
25 publication of this case, and it's looking at the

1 undersurface of the brain and its exact equivalent is
2 the bottom right-hand side of the four pictures on the
3 right side. So that's the one, yes (indicating).

4 Q. Would it help to see it in colour? Does that assist?

5 A. It does to a certain extent because it tells us whether
6 it was the fresh brain or the fixed brain.

7 Q. If you give us a moment, I will see if we can find the
8 colour version of that. Meanwhile, could you continue
9 to explain what we're looking at?

10 A. On the left, we have the major part of this picture is
11 the undersurface of the cerebral hemispheres, the main
12 parts of the brain which are shown in orange and green
13 in that lower right-hand picture. And then the back
14 half or the lower half of that picture is predominantly
15 the cerebellum, which I think was blue until it was
16 coloured in. But that's -- that's right, the blue part
17 is the cerebellum, which is the separate, smaller part
18 of the brain at the back. And then in the middle of
19 that area, in the midline, one can see two little
20 rounded structures beneath the rather deep, dark hole
21 there in the midline. That's a bit of shadow, I think.
22 But those two structures are in fact called the optic
23 nerves and they are labelled on that bottom right
24 picture, little white structures about halfway down.
25 Those are the nerves which supply the eyes. So we're on

1 the undersurface of the brain and those two would come
2 into the back of the eye sockets.

3 Going downwards in the picture from there, the most
4 prominent structure here is the vertebral artery which,
5 which is the dark line in the middle. That's the main
6 blood vessel coming to supply the back part of the
7 brain, and that's, I think, not represented in this
8 picture, but it's overlying what is in purple, the pons,
9 in that picture on the bottom right. And lower down
10 from that on the picture on the right, we have quite
11 a long purple structure called the medulla oblongata,
12 which actually joins up with the spinal cord, so that's
13 where the brain and the spinal cord become continuous.

14 In the photograph on the left, we can see the pons
15 quite nicely with that vertebral artery in the midline
16 and then everything becomes a little bit less easy to
17 see. I think, just to the right at the lower part of
18 that artery, there's a sort of rounded structure, which
19 I think is the lower part of the medulla where it was
20 cut when the brain was removed.

21 MR BOYLE: We can make a colour comparison because --

22 MS ANYADIKE-DANES: Yes, we have 300-081-159. I was trying
23 not to interrupt the flow. Can you orientate that round
24 so that --

25 A. 90 degrees to the left would be brilliant.

1 Q. Turn it 90 degrees to the left.

2 THE CHAIRMAN: Let's take a moment. That's on to the next
3 page. We're looking at 159. If you can turn that to
4 the left ...

5 MS ANYADIKE-DANES: That's it.

6 THE CHAIRMAN: If we can then --

7 MS ANYADIKE-DANES: And put the diagram up that you had
8 before. Perfect. Thank you very much indeed.

9 It's actually clearer like that, the description you
10 were giving of the structures.

11 A. Yes. So if we go back to the midline, below the
12 mid-part of this picture, we have the pons and we can
13 see that is the basilar artery, which has a purpley and
14 a slightly blue colour because there's a little bit of
15 blood in it still.

16 THE CHAIRMAN: Sorry, doctor. One moment.

17 Does the doctor have the facility on her screen for
18 pointing? No? Okay, sorry.

19 MS ANYADIKE-DANES: I think our IT people can point. There
20 we are.

21 A. If that arrow goes down a little bit, where the arrow is
22 just about now, it's overlying what I think is the lower
23 cut end of the medulla. You can just leave the arrow
24 there. The head of the arrow is exactly on a little
25 rounded white structure, which is where the medulla has

1 been cut off. So if we go down to the bottom right,
2 there are some little yellow arrows, the lower ones, of
3 which -- which are pointing inwards to the middle.
4 They're exactly pointing to where I think this has been
5 cut off in removing the brain.

6 So that orientates us on the back of the brain here,
7 so we're right in the back of the skull, and the
8 brainstem, the medulla, has been cut just about at the
9 point where it goes into a hole called the foramen
10 magnum, which is a hole in the base of the skull, where
11 the skullbone is attached to the upper part of the
12 spinal column. This is an important area because that
13 bony ring around the upper medulla is a constraint. The
14 medulla goes through it in life, it has space around it,
15 it has fluid around it, but if the brain swells, the
16 brain tissue can be pushed into that hole and then
17 there's not room for everything, something gets
18 compressed. The cerebellar tonsils as we call them, the
19 posterior part, becomes necrotic and we can live without
20 those, that's absolutely fine, but it will compress the
21 medulla which is where all the vital centres for
22 consciousness, breathing and heart rate are to be found.
23 That's what causes sudden death in brain swelling. So
24 that's a very important concept, which is known as
25 coning.

1 Q. Just before we go forward, so that we've got that, can
2 we just provide another diagram to show that happening?
3 300-088-186. If one looks, does that assist you in,
4 certainly the bottom one, figure 1(b), in describing
5 this process of coning?

6 A. Yes. In the bottom figure there, you can see the skull
7 represented as a square box and, at the bottom, there's
8 an arrow or a line pointing to the foramen magnum, that
9 is where the spinal cord is coming from the back of the
10 brain. Where the word "brain" is is just about where
11 the cerebellum is in our picture, and the spinal cord is
12 coming from it into the spine and it says "spinal
13 subarachnoid space". So that wiggly line is the tissue
14 sac that contains the spinal cord, but that also is
15 in the bony canal of the upper spinal column itself.
16 That foramen magnum is the space there -- the space
17 there is the hole through which the spinal cord comes
18 in, in normal circumstances, and in brain swelling the
19 brain is forced out through that hole as well.

20 Q. We can see in that one, if you look at the top of that
21 box, what's representing the brain seems to be up tight
22 up to the top of that box as compared with where it is
23 in figure 1(a) where there's space around with the
24 central spinal fluid and so forth.

25 A. Yes, but it gets even worse because in the bottom

1 picture you can see the brain has sort of come to rest
2 on top of the foramen magnum, but what happens is that
3 brain will actually be forced into it. And that tissue
4 will become necrotic. We can see that in the picture on
5 the right, the picture of the brain itself, because just
6 to the left of where that second red arrow is, you can
7 see the tissue there is disrupted, it's red. It doesn't
8 look like the tissue next to it, where you can see some
9 fairly regular lines. There's the folds of the
10 cerebellar hemisphere, they're nice and orderly, but in
11 the midline it becomes red, disrupted, disorganised, and
12 that's because that tissue has been forced into the
13 foramen magnum and has been damaged and become necrotic.
14 It's dead tissue.

15 Q. When that happens, what's the effect of that?

16 A. The effect of that is not very much on the cerebellum
17 itself. But the effect on the brainstem is that the
18 brainstem, the medulla, is compressed and rapidly loses
19 its ability to function.

20 Q. If we bring back our other diagram that we had before,
21 which is 300-097-001, and then if we pull up in place of
22 the 300-081-159 -- and I do hope this is going to be
23 a colour version of it -- I apologise if it's not --
24 300-081-161. There we are. Can you do the same action
25 to turn it around? What are we looking at here?

1 A. We're looking at the top of the brain here, so exactly
2 the opposite side. So looking down as if on to the top
3 of the head. We don't have a diagram showing this
4 exactly, but it would be looking down on the top left
5 picture in the bottom, well, either of the --

6 Q. The top of (d)?

7 A. The top of (d), yes. Or if you look at (c), we'll be
8 looking down from above, where it says "left frontal
9 lobe" and "central sulcus", we would be looking down.
10 So we're looking down on the brain from above. So we
11 see the two cerebral hemispheres here and, in the
12 midline, they're slightly separated, slightly apart,
13 which is the way they have just fallen after autopsy.

14 In life, they would be parallel to one another and
15 quite close together and there would be a fold of the
16 dura between them. Here, they're looking perfectly
17 undamaged, but just have fallen slightly apart. And
18 at the lower part of the picture, we're looking down on
19 the cerebellum again, so we have just looked at the
20 bottom where it was damaged. Now we are looking onto
21 the top surface and it looks very well preserved from
22 this side.

23 Q. Having looked at both those photographs, is there
24 anything, any comment, that you can offer as to the
25 appearance of the brain itself, the gyri, how they

1 appear?

2 A. The pattern of the folds in the brain look as if they're
3 perfectly normal. One can still see that they have
4 a slightly rounded appearance. You can see in some
5 areas how the light reflects on them. They still have
6 a certain roundness to them. And the normal hollows
7 between them are just about visible. In some cases,
8 there's perhaps a little bit of flattening, suggesting
9 there may be some brain swelling. One can see that the
10 brain appears a slightly pinkish colour, it's a little
11 bit congested, there's perhaps more blood in it than
12 normal. And one can see little blue lines on the
13 surface of the brain towards the midline, particularly.
14 These are the veins which are taking blood away from the
15 brain, they look healthy, perhaps a little full of
16 flood.

17 So the appearances are of a brain which shows normal
18 developmental appearance and a little swelling.

19 Q. And when I mentioned to you the gyri and you were
20 talking about the normal folds, if we look to the
21 diagram on the right-hand side, up at the top, it has
22 a little bit of identification in yellow and then the
23 sulci. These are references to the swellings and the
24 grooves between them; is that right?

25 A. Well, they're normally -- the brain is normally a series

1 of folds like this (indicating) where the tissue is
2 folded and the folds have a sort of rounded appearance
3 and the valleys between those folds be reasonably
4 closely opposed. When a brain swells, the tissue will
5 expand and the brain is going to come into contact with
6 the inner aspect of the skull or the dura lining the
7 skull and so the contours will be lost because the
8 tissue just comes up against the skull and it becomes
9 flattened, so we lose those rounded contours of the
10 gyri. We can still see where they are and we can see
11 the sulci between them, but they become effaced and --

12 Q. Is that one of your markers for an oedematous brain?

13 A. Yes, it is.

14 Q. Then we have some sections -- so this would be after
15 it's taken out. Is this a fresh brain?

16 A. I think it is because of the colour, yes. When it's
17 fixed, it becomes a more brownish sort of colour.

18 Q. So this would be the subject of examination then and
19 recording, I think, from what you have said? This would
20 be recorded or, in your view, would be recorded in the
21 report on autopsy, this appearance?

22 A. Probably a brief examination at this period. One has to
23 remember that, at autopsy, the brain will be very soft
24 and, in order to examine it in detail, one can cause
25 a lot of damage to the soft brain. So quite often

1 it would be normal to make any simple notification of
2 what's there and then simply to put it formalin and do
3 a more extensive examination after fixation.

4 Q. There are sections that were taken of the brain after
5 fixation. We can see those at 300-081-157. This is the
6 changing colour that you're referring to.

7 A. Yes.

8 Q. Can you help us with what we're looking at there and how
9 it helps in terms of what happened to Adam's brain?

10 A. We're looking at what is called a coronal slice of the
11 brain. Once the brain has been fixed, it becomes firm
12 enough to handle and the normal procedure is to remove
13 the cerebellum and brainstem and then to cut the
14 hemispheres into coronal slices. That is going, as it
15 were, from ear to ear, one centimetre, all the way
16 through the brain so that we then lay out slices so that
17 you can see the whole of the brain at 1 centimetre
18 slices from front to back.

19 Q. I wonder if I can show you something and maybe this will
20 help. 300-075-138. If one looks at the bottom
21 right-hand corner -- and these were the slices of the CT
22 scan that was taken shortly after Adam's surgery -- it's
23 difficult to make out, but you can sort of see every
24 5 centimetres there's a line going, which represents one
25 of these pictures, I understand. Is that the kind of

1 systematic slicing that you're talking about that would
2 be happening when you see those samples?

3 A. We do it the other way. CT scanners do it horizontally.
4 We've always done it in the coronal plane and when CT
5 scanners first came in, we were being persuaded to cut
6 brains in the horizontal way to match the scans. But
7 now computers have become so sophisticated that they can
8 just press a button and they can orientate these in any
9 direction. So we continue to cut in the coronal plane.

10 Q. But the principle is the same? You're trying to
11 systematically move through the brain taking samples?

12 A. Exactly, so that we can examine the brain from front to
13 back and look at all of the structures.

14 Q. I understand. So if we go back to where I had taken
15 you, 300-081-157. What is this telling us? It's
16 a slice through the brain.

17 A. Yes, and what we can see is all the way around the
18 surface of the brain is the cerebral cortex. That's
19 where the main bulk of the nerve cells, which do all our
20 thinking and functioning for us, are to be found, and if
21 you follow that around you can see a nice regular, even
22 ribbon, which weaves its way up and down over the gyri
23 and between all the gyri are the sulci, which here are
24 represented as little narrow dark lines because there
25 are little tiny blood vessels in the membranes covering

1 the brain, tucked in there. And we can see those little
2 lines are simply that: they're not very open, which
3 suggests, possibly, a degree of brain swelling.

4 If we, for example, take the right-hand side and we
5 go from the middle of the picture and work over the top,
6 as we go out over the top and down towards the right,
7 we can see the folds are still just about identifiable.
8 You can see there is a rounded edge to some of these
9 folds. So although the brain is swollen, there is --
10 it's not as swollen in this region as it might be.
11 Beneath the cortex, the rest of the tissue is a whiter
12 colour, that's because it's the white matter, it's the
13 nerve fibres, which are covered in what we call myelin,
14 a sheath that insulates the nerve fibres, so it has
15 a whiter appearance. You can see little black-grey dots
16 which are blood vessels which are congested, so that
17 tells us that the blood hasn't been escaping from this
18 brain perhaps as freely as it might. So all the little
19 blood vessels have become full of blood, so they're
20 quite visible even to the naked eye.

21 Q. There are a series of these.

22 THE CHAIRMAN: Sorry, I'm not quite sure what the purpose is
23 of going through these. I accept we have Dr Squier's
24 report. I'm not quite sure what the point is of going
25 through these.

1 MS ANYADIKE-DANES: What I'm inviting Dr Squier to do is to
2 explain, other than just to read her report, the
3 evidence that she used to enable her to produce the view
4 that she did as to the extent of cerebral oedema that is
5 described in her report. But I'm not proposing to take
6 her through them all, but there are some where -- and
7 this may be relevant for her to explain -- the gyri
8 appear more effaced than others and where that
9 particularly happens may or may not be significant from
10 the construction that other people will put on that or
11 may put on it.

12 THE CHAIRMAN: Well, I'm sure we don't need to go through
13 them all.

14 MS ANYADIKE-DANES: No, I wasn't. I'm not qualified to say
15 where the gyri appear more effaced than others, so I was
16 going to simply flick them through and ask Dr Squier to
17 identify one of those and to help us with an explanation
18 of what region that's happening in and what its
19 significance is.

20 THE CHAIRMAN: Okay.

21 MS ANYADIKE-DANES: These happen -- fortunately --

22 MR FORTUNE: Do you mean the dura?

23 MS ANYADIKE-DANES: The gyri.

24 You have just described these as being relatively
25 nicely rounded, you can still see the gaps. Maybe you

1 can give us a description of one that doesn't appear
2 like that and its significance, if there is any to it.
3 So 164.

4 A. Fairly similar, this one.

5 Q. 165?

6 A. Yes, again -- perhaps I should just say here, in the
7 midline, one can see a sort of white band crossing
8 between the two halves of the brain. And beneath it
9 there's some black cavities there. Those are called the
10 lateral ventricles, which are the normal fluid-filled
11 spaces within the brain. And these look a little bit
12 compressed. Not completely flattened, but there is --
13 they are smaller than they should be and this again is
14 a reflection of brain swelling.

15 Q. 166.

16 A. Same thing. This one is a little bit more swollen. One
17 can see the black blood vessels spotting the whole of
18 the brain as slightly more prominent and the surface is
19 perhaps a little flatter than the previous sections
20 we've looked at.

21 Q. 167.

22 A. Again, this one looks swollen. It's also rather
23 disrupted, which an indication of swelling because the
24 tissue is very soft.

25 Q. Maybe these last two, 170 and 171, if we can maybe put

1 those up together.

2 A. Again, we can see the cavities within the brain tissue
3 in both of these sections, which are still open, and
4 I think this is important when comparing with the brain
5 scans. And we are right at the back of the brain in
6 these two slices. But I think the only other thing that
7 might be helpful is to look at the cerebellum perhaps.

8 Q. Could that be 175? 300-081-175.

9 A. That's right, yes. Okay. So this is looking at the
10 cerebellum when we have a slice which is going at
11 a slightly different angle here. So we can see the two
12 halves of the cerebellum and the -- its central anatomy
13 as well. On the left side, where it says "14" there,
14 there's been a block taken. You can see some lines
15 because cuts have been made into it. But the point here
16 is that the whole of the grey part, the outer half of
17 the structure, should have a series of nice, regular
18 folds -- much smaller than the gyri in the cerebral
19 hemispheres -- but they're very difficult to identify,
20 they've become very compacted so we can't see the normal
21 anatomy and in the deep part of the structure on either
22 side, not the midline, you can see there's whiter
23 tissue. That's the white matter. But everything looks
24 rather blurred and this looks very swollen and it looks
25 much more swollen than the -- than much of the cerebral

1 hemispheres, although there was swelling there. It
2 seems to be rather more focal in the back part of the
3 brain.

4 Q. There are some comparisons with more and less swollen
5 brains, just so that we maybe know what we're looking
6 at. There are only three of those pictures. One is at
7 300-058-076. These are pictures you have provided. The
8 left-hand side?

9 A. This is a 2 year-old child with a very swollen brain.

10 Q. How can we tell that?

11 A. Just -- particularly, the left half of this brain, it
12 looks completely flat. You can't see any light reflex
13 over the gyri there, they're just completely flattened
14 and the spaces between them have been effaced. The
15 membranes are very dark, indicating they're really full
16 of blood.

17 On the right side, this is a 10 year-old child who
18 didn't have swelling. The gyri are more obvious there,
19 and I will say immediately that it's -- I found it very
20 hard to find suitable photographs for you because so
21 much of this is objective assessment. Those are my
22 opinions when I saw those brains and I would be at pains
23 to try and convince you that the gyri were still very
24 much more prominent on the right side than on the left.

25 Q. But it appears that way to you?

1 A. It appeared that way to me when I examined them fresh.

2 Q. If we look at the one over the page, 058-077. You have
3 put them all in a row, those three. Adam's is the one
4 in the middle, is it?

5 A. Yes, and I think the most obvious thing that I can point
6 to here is that, first of all, the one on the left has
7 become turned upside down. So we have the back of the
8 brain, the middle picture and the right picture. That
9 is Adam's brain that we now recognise. You can see
10 there's a white arrow pointing to a space between the
11 medulla and the cerebellar hemisphere on the right-hand
12 side and the black arrow is pointing to the back of the
13 cerebellum. This is the part which are in Adam's brain
14 is completely haemorrhagic and destroyed and there's no
15 space. In Adam's brain, we can see that the tissue's so
16 destroyed that there's actually now quite a lot of space
17 around the medulla.

18 In the picture on the left side, if we now look
19 at the top -- this is 90 degrees -- 180 degrees
20 reversed -- so at the top, we can see that there is a
21 lot of very dark, poorly defined tissue around the
22 medulla because there's been so much compression and
23 swelling there that it's completely -- the space has
24 gone and the tissue is damaged much as in Adam's case.
25 So those are really the extremes that we're seeing with

1 Adam's brain in the middle there.

2 Q. And then the final one to show the comparison of
3 sections is the next page, 078. Adam's one is numbered
4 "4".

5 A. Yes. And it's really to look at the ventricles, which
6 are the spaces in the brain. On the right we have the
7 ventricles. The spaces are much bigger with a rather
8 rounded angle to them. That's, in fact, slightly larger
9 than normal. But compare Adam's in the middle with the
10 one on the left, where there's just half a brain, and
11 the black arrow is pointing to where the space should
12 be. But there's just a little line. It has been
13 completely effaced. So that's very severe swelling on
14 the left. So the point is that in some parts of Adam's
15 brain, the swelling appeared to be much less obvious
16 than in other parts. So it wasn't globally swollen, at
17 least compared with other brains that I have seen.

18 MR BOYLE: Can we just establish whether the image in the
19 bottom left hand corner is an image of a fresh brain as
20 opposed to the image with the number 4, which of course,
21 is fixed?

22 A. It is a fresh brain. Sorry, I'm not sure that I can say
23 that. I think it's not a very well -- it's not a very
24 well fixed brain. The red colour in the middle is
25 because it hasn't completely fixed in that area. The

1 formalin penetrates from outside, so it has been fixed
2 because the outside has this brownish colour, but the
3 formalin hasn't completely penetrated.

4 MS ANYADIKE-DANES: All those photographs would have been
5 taken at autopsy, which is some hours after Adam
6 actually died.

7 A. Sorry, these would have been taken at brain cut
8 [OVERSPEAKING] so fixation. So autopsy or -- death is
9 the important point because then the changes will cease
10 to continue. We believe that the swelling and so on
11 will stop at death and then there will be the autopsy
12 and then the brain is fixed so what we're looking at
13 here is the fixed brain where we think things are pretty
14 much the same as they were at the time of autopsy. So
15 fixation actually makes all the proteins in the brain
16 cross-link. They become firmer, so the brain becomes
17 harder, a bit like boiling an egg. So instead of having
18 a fluid, clear protein, we have a protein like in the
19 hard boiled egg, which is firm and white and we can cut
20 it. So we're doing a similar thing to the proteins in
21 the brain by fixation.

22 Q. But it shouldn't change anything between the point of
23 death and the examination on fixation?

24 A. No, such things as swelling and the pathological
25 processes will be fixed, as they are.

1 Q. So the true contrast might be the point of death and the
2 point of any imaging that might have been taken closer
3 to the time of the event, which in this case would be
4 the surgery?

5 A. This is the most important point as far as I am
6 concerned. We, as pathologists, see the end point when
7 death occurs. In this case, we had some 24 hours
8 between whatever event may have occurred and death,
9 during which time Adam was subjected to intensive care,
10 where a lot of secondary changes could have taken place.
11 So as pathologists, we only get one shot at that time
12 when all of these processes have been going on for
13 24 hours after whatever event it was. And we have a lot
14 to learn by looking at the images of the brain because
15 they're taken during life. They can be repeated and
16 they can be very much closer in time to the events. So
17 they will give us a much better picture of the evolution
18 of the changes and a much better representation of the
19 pathology closest to the time of the event.

20 Q. So in terms of when the pathologist is looking at the
21 brain at autopsy or looking at the sections of the brain
22 on fixation, if I understand you correctly, quite a bit
23 may already have happened between when the main event
24 occurs, if I can put it that way, and the point of
25 death, which it's assumed that these examinations

1 represent what the brain would have looked like at the
2 point of death and might those things be the fact that
3 Adam, or a child like Adam, where there was concern
4 about fluid overloading, might have received medication
5 to reduce that, might have been on -- well, was on
6 ventilation. That might produce effects. The passage
7 of time might itself produce effects. Are those all
8 things that may go to make what the pathologist looks
9 at, at that point in time, perhaps not a true
10 representation of what the state of the brain might have
11 looked like at the time of, let's call it the assault
12 [sic] or the event?

13 A. That's absolutely right. And when we're looking at
14 things like brain swelling and possibly -- well,
15 certainly bleeding, these can be very, very much
16 affected by the clinical state of the child and
17 certainly by ventilation. So a child who's very sick is
18 likely to bleed more than a normal child because the
19 liver may be involved and the coagulation of the blood
20 won't occur normally. But also particularly swelling
21 because there would have been therapy that would have
22 been given to Adam to try and reduce any swelling. But
23 also when a baby is on a ventilator, there may be
24 reduced oxygen supply or too much oxygen supply. All of
25 these can affect the way the brain or the swelling of

1 the brain -- but more importantly, as the brain swells
2 it will cut off its own blood supply as it fills up the
3 skull, the blood won't be able to get in, so the brain
4 will be suffering from lack of oxygen and that in itself
5 causes swelling. So we have a lot of secondary factors.
6 So what we're seeing at post-mortem really is a very
7 complex picture and we have to be very careful to
8 understand that it may not be an accurate representation
9 of what happened at the time of whatever event it was
10 that precipitated the whole cascade.

11 Q. In fact, in Adam's case, you do have two sets of CT
12 scans, one of which might almost be called a control,
13 taken at 7 July 1995. In fact, we can pull that up.
14 300-083-181. I wonder if it's possible to enlarge that
15 just a little bit. Maybe not. If you look just at the
16 scan, the scan 2 at the top there, you can see it gives
17 you the date and it gives you the time and it gives you
18 the number. So these are a sequence, are they not?
19 There we are. Can we go back to the full thing again?

20 If one goes to the bottom right-hand image, is that
21 what I was asking you about in terms of the sections for
22 your examination to show where all these pictures come?

23 A. Yes, that's the registration picture, so it's just
24 a picture of the whole head and which plane and at what
25 interval and depths the scans could have been taken.

1 Q. I don't know if this can work because it's rather broad,
2 but we also have one on 27 November. That is taken
3 within a few hours. Sorry, that is 075-138.
4 300-075-138. There we are. This is the one that was
5 taken within a couple of hours, really, of Adam's
6 surgery. The same principle, I take it, as the
7 identifying shot at the bottom and then the series of
8 images.

9 What do the images tell you? Firstly, is it
10 possible to get the two alongside each other? They may
11 be too wide to do that. So to the left-hand side is the
12 one of 27 November and to the right-hand side is the one
13 of July. What are you able to tell from these?

14 A. I'm not a neuroradiologist, so I'm not in a position to
15 give you an expert opinion on these scans.

16 Q. Did you seek that for the purposes of your report?

17 A. I took them to my colleague, Dr Anslow, and asked him to
18 look at them with me, and he has produced a report.

19 Q. Yes. He has produced a report; I'm just trying to get
20 it for you. I'm not asking for it to be pulled up, but
21 simply for reference purposes it's 206-005-109. Did you
22 discuss his findings with him?

23 A. I did.

24 Q. And what do you understand to be the difference between
25 these two sets of images?

1 A. Well, I'm going to keep it very simple.

2 MR BOYLE: [Inaudible: no microphone] because I think it is
3 important if this evidence is to be given. So we have
4 the paragraph number, which is paragraph 100 on
5 page 206-005-111. It gives a comparison at lines 95 to
6 100 of the two.

7 MS ANYADIKE-DANES: There we are. So Dr Anslow's saying he
8 saw the two scans: the first on 7 July; the second on
9 the 27th. And he describes very briefly what he has
10 seen:

11 "The first scan was normal. Central spinal fluid
12 was seen on the surface of the brain and the
13 ventricles."

14 In the second, he saw a dramatic change:

15 "The brain has become very swollen. Central spinal
16 fluid spaces have become obliterated and the ventricles
17 are much smaller. These changes are severe in the
18 posterior fossa and the cerebellar tonsils have
19 descended through the foramen magnum. The second scan
20 indicates that the brain has developed oedema."

21 If we go back to the two sets of images, when you
22 were discussing with him, were you able to see from
23 these images the evidence that he obtained for him to
24 reach that conclusion?

25 A. Yes. And I could briefly take you to this. If we look

1 at the top right-hand picture in each of these sets of
2 images. So the top right-hand picture on the right-hand
3 side is, I believe, the July preoperative image.

4 Q. Yes.

5 A. And we can see, in the midline, of that picture there
6 are three black areas. That black is fluid, which is
7 the equivalent of the ventricles we were looking --

8 Q. Sorry, let the marker go -- there you are there. If you
9 can pull that up and increase it a little bit. It's
10 a different marker to do that. Right.

11 A. So what we're seeing in the middle of the right-hand
12 picture is a black area and then there are two black
13 areas behind it. Those are normal fluid spaces. In the
14 lower two are -- around the cerebellum, so we're at the
15 back of the brain here and you can see there's a black
16 space with fluid. If we look at the left-hand picture,
17 those three spaces have completely disappeared because
18 the fluid has been pushed out because the brain is so
19 swollen.

20 The structure of the brain has changed in that
21 in the right-hand picture you could make out that wavy
22 white band of cortex, particularly in the upper
23 two-thirds of the picture. That's really quite clearly
24 seen. On the left-hand side, that's been lost, the
25 whole thing look like ground glass because the brain is

1 so swollen that the normal architecture has been lost by
2 the fluid in the brain itself.

3 So we're seeing much more -- well, we're seeing
4 swelling in the left-hand picture, which is manifest by
5 a change in the structure or the appearance of the
6 structure of the brain and the loss of those fluid
7 spaces.

8 Q. And if we were to go back to those two sets of images,
9 are you able to discern from them where the swelling is
10 being described as being much greater? I think the
11 actual terminology used was "changes are severe in the
12 posterior fossa".

13 A. The posterior fossa is the lower third of each of these
14 pictures which I have just described. The black spaces
15 have disappeared, the fluid spaces have disappeared.
16 I think if we go back to the main picture --

17 Q. Yes.

18 A. If we go to, for example -- it's hard to find two that
19 are comparable. I think in the third line down in the
20 right series of pictures, sorry, the right-hand ... If
21 you can perhaps highlight -- that one's perfect there.
22 Perhaps the same on the left one, the third line down.
23 I don't think these are completely comparable
24 anatomically, they seem to be at slightly different
25 levels. But again we can see, on the right-hand side,

1 in the early scan you have a big black S-shaped line,
2 more obvious on the left than the right. But those are
3 the fluid cavities of the brain, which still contain
4 fluid. In the left-hand picture when the brain is
5 swollen, they've become very much compressed although
6 there's still a little bit of space at the back. And
7 that corresponds with what we saw on the brain slices
8 where the ventricles were still open in the posterior
9 slices of the brain, so it corresponds quite nicely with
10 what we saw.

11 Q. So if you're describing this and you describe the
12 swelling as being more severe in the posterior fossa,
13 you as a pathologist, as a neuropathologist, do you make
14 any conclusions from that or do you simply describe
15 that?

16 A. We do wonder why this happens because we want to know
17 why a process that may have been generalised -- for
18 example, if there were lack of oxygen, that should
19 affect all of the brain, and we probably make some
20 explanation such as the posterior fossa is a smaller
21 cavity. If there's swelling there, it's more easily
22 compressed, and it may well be that swelling there
23 compresses the local blood vessels, so then there's no
24 blood supply to the brain. It swells again because it's
25 lacking oxygen and blood supply. And it may be that

1 swelling becomes more pronounced in the early stages
2 there and then later on, the rest of the brain swells,
3 it's got a little bit more space in the front part of
4 the brain. So we may try and make some kind of
5 suggestion like that as to why the distribution of
6 swelling may not be even.

7 We also know that brain swelling takes up to
8 72 hours to reach its maximum, so we're looking at
9 a brain some 24 hours -- or, here, we're looking at
10 a brain only a few hours after an event may have taken
11 place. So it may not be for another couple of days
12 until the whole brain would be completely swollen.
13 We're looking at the early developmental stages of the
14 brain swelling.

15 Q. So do you record it anyway even if you're not entirely
16 sure what its significance is?

17 A. I think that most pathologists wouldn't notice, wouldn't
18 record it at all, because what would be the critical
19 feature is that we can see that the hindbrain has
20 swollen and has caused coning, and that's a cause of
21 death. That is what's clinically important and
22 clinically relevant. How much of the rest of the brain
23 is involved is not a matter of clinical relevance and is
24 really of academic interest.

25 Q. If the changes that you've described lead to an

1 examination at autopsy and then subsequently on
2 fixation, which may not entirely represent the look of
3 the brain at the time of the insult or the event, and if
4 you are aware of the fact that there are CT scans, how
5 important is it for the pathologist to look at the CT
6 scans?

7 A. Well, I have a particular interest in doing this. I've
8 always felt it's really quite important that
9 neuropathologists and neuroradiologists work together
10 and compare their findings because we need to inform
11 each other, and I think it's terribly important that we
12 look at the best representation we have closest to the
13 event. That may be the brain scan, it may be the
14 clinical findings in a patient whose clinical history
15 shows various dramatic changes which would help us to
16 understand the pathology. But of course, the brain scan
17 is objective and I think it's really important in
18 understanding the final pathology.

19 Q. Is it possible that if you have the pathologist carrying
20 it out who's not a neuropathologist, they may not
21 appreciate the significance of some of these things that
22 you're saying you'd be looking for and you might be
23 describing and you might be speculating over?

24 A. Yes, I think -- well, I think it's always important.
25 I think a general pathologist might not think quite so

1 carefully about the individual processes that are going
2 on within a brain during ventilation and during swelling
3 and would perhaps just go for the clinical relevance of
4 the cause of death and not appreciate how important
5 it is to look at the progress of the processes which
6 have led to death.

7 Q. And would that be a reason for a pathologist to think,
8 "Maybe I will bring in a neuropathologist here, who
9 might see something that I don't"?

10 A. I think there's a far more simple reason why
11 a neuropathologist might be brought in in that we have
12 brain swelling unexplained in a child after an
13 operation. Those are all things that should raise red
14 flags that we might need to look very carefully at this
15 case.

16 Q. When you say "look very carefully at this case",
17 in relation to involving a neuropathologist, I think you
18 may have heard some of Dr Mirakhur's evidence where she
19 was talking about the range of ways in which
20 neuropathologists could be brought in, ranging really
21 from something quite formal, whether initiated by the
22 pathologist or maybe the coroner, to walking across and
23 showing some slides and asking a colleague, "What do you
24 think of that?". Would you accept that there is that
25 range?

1 A. Oh absolutely, yes.

2 Q. In a case like this, though, where you say that there's
3 a very much more straightforward reason why you'd bring
4 in a neuropathologist because the insult or the event is
5 taken to have occurred in the brain, does that indicate
6 whether you're more one side of the spectrum than
7 another in terms of formal referrals or walking across
8 and showing some slides?

9 THE CHAIRMAN: In 1995.

10 MS ANYADIKE-DANES: In 1995, sorry.

11 A. Yes, I think in 1995 things were a lot less formal. If
12 you had an absolutely clear-cut cause of death somewhere
13 else, you had a patient who collapses in the street and
14 you find a cardiac arrest and cardiac infarct and you
15 can be sure that's the cause of death, but the brain's
16 a bit swollen, you might say, "Well, the patient was
17 breathing for 30 minutes before somebody resuscitated or
18 took them to hospital". You might well say there's no
19 point in doing a neuropathological autopsy here because
20 we've got a very good explanation. So I think that
21 where it's not that simple and the primary pathology may
22 be in the brain, that's where one would expect a more
23 formal request for assistance.

24 Q. Two things from that. One, in your view where does
25 Adam's case lie?

1 A. It seems to me that the primary pathology identified was
2 brain swelling, so it lies very much in the case that
3 the pathology's in the brain and that needs to be looked
4 at rather carefully.

5 Q. When you say "more formal", in 1995 -- because you have
6 just said how things are different now, but in 1995 what
7 form would that more formal involvement have taken?

8 A. I think the formal request. As Dr Mirakhur has already
9 expressed, it should be a formal request to come and be
10 involved either at the start, or if the pathologist
11 doing the autopsy did the autopsy, took the brain out
12 and then, when the brain was fixed, started looking and
13 thinking, "We don't have another explanation here", that
14 point would have been a good time to ask for the
15 neuropathologist to come and assist with the examination
16 of the fixed brain.

17 Q. But if the child, as Adam was, was already thought by
18 his clinicians to have hyponatraemia, irrespective of
19 the form of hyponatraemia, and to have suffered a fluid
20 overload, then does that suggest whether it's at the
21 start or after fixation that you bring in the
22 neuropathologist?

23 A. Again, a pathologist may well have thought, in 1995,
24 "Well, we know the cause of the brain swelling, this is
25 fairly straightforward", and for that reason may have

1 thought it wasn't important to get a neuropathologist on
2 board. But again, I think the overriding conditions
3 here of a child dying after surgery and the
4 hyponatraemia may well have implicated some form of
5 therapy relating -- iatrogenic cause of the oedema.
6 I think then that, for her own protection, she might
7 want to have another opinion from the start.

8 THE CHAIRMAN: And it does appear, on Dr Armour's evidence,
9 that she did in some way engage with Dr Mirakhur. There
10 doesn't appear to be a written record of that. The
11 query is therefore how informal it was; isn't that
12 right?

13 A. Yes. And that's -- I think again for ... She exposes
14 herself in a way to taking on responsibility without
15 having another signed report from a consultant
16 colleague.

17 THE CHAIRMAN: So it's not as if Dr Armour, save in the
18 Professor Kirkham approach, it's not as if Dr Armour
19 didn't get fundamentally the cause of death right, as
20 appears from others, nor is it a case where she doesn't
21 appear to have recognised the relevance of
22 neuropathology because she has, to some extent, involved
23 a neuropathologist. So to the extent there's
24 potentially any criticism of her, it's about the way in
25 which she did that and how formally she did that?

1 A. I think that's right, and I think Dr Mirakhur might well
2 have felt rather concerned that her name was used
3 without her being given the opportunity to write her own
4 report, so her name was used in such a way that she
5 could answer to that. In the way she's left at the
6 moment, she's said to have contributed, but she has no
7 recollection and there's no signed document to show that
8 she was involved.

9 MS ANYADIKE-DANES: But if we take the substantive point,
10 though, it would appear that Dr Armour did think that
11 the involvement at whatever level of a neuropathologist
12 was appropriate, leaving aside how she went about it, so
13 she formed that view. She then reached a view in her
14 report on autopsy, which is a view, I think, you broadly
15 share, leaving aside the issue to do with the ligature,
16 but if one focuses on the cerebral oedema, which is
17 a view you broadly share; wouldn't that be right?

18 A. That's correct, yes.

19 Q. So she was able to do that, form that view, that was
20 a view shared by the coroner's expert and many other
21 experts who have looked at the case. If one was looking
22 at it from the way in which these systems and processes
23 and procedures operate, what then is the significance or
24 the value of saying that perhaps it would be good
25 practice to involve, in a formal way,

1 a neuropathologist. What is the benefit of doing that?

2 A. Well, I think there might be considerable repercussions
3 from a case such as this in that there may be questions
4 about how the surgery went, how the fluid was managed,
5 and it's quite a lot of responsibility for a pathologist
6 who's not, in fact, a consultant to answer all of the
7 questions in that situation. So I think that it would
8 be advisable that she seeks the advice of somebody who
9 may be able to provide, perhaps, some more robust
10 report. I know she's got it right insofar as she's done
11 the neuropathology, she seems to have made the correct
12 observations and they are consistent with the history.
13 But I would just think it's good practice to have the
14 support of consultant colleagues if you're dealing with
15 a case that may well lead to a lot of questions in the
16 future.

17 Q. And is there always a concern that the neuropathologist,
18 with their experience and expertise, might actually see
19 something that proves to be relevant?

20 A. Absolutely, yes.

21 MS ANYADIKE-DANES: I wanted, Mr Chairman, to go on to deal
22 with the issue of the ligature and then I was going to
23 take Dr Squier through the report on autopsy. In the
24 light of what you said earlier, we have her report, so
25 I wasn't going to take her to all of her report. But

1 I was going to have her work through the report on
2 autopsy, and that's how I was going to deal with it.
3 I'm looking at the time.

4 THE CHAIRMAN: I think we do need to break now for lunch.
5 I think Dr Squier's covered many of the main issues she
6 has come to Banbridge for and it would be helpful
7 therefore, over lunch, if there was some discussion
8 about how much more detail her remaining evidence needs
9 to be presented in.

10 MS ANYADIKE-DANES: Yes, Mr Chairman. I can envisage there
11 is an area of detail around the ligature point that we
12 may need to deal with.

13 THE CHAIRMAN: In light of the evidence which we heard
14 in May about the ligature, it might be that that
15 evidence isn't necessarily prolonged.

16 MS ANYADIKE-DANES: It might be, sir. Thank you very much.

17 THE CHAIRMAN: We'll start at 2.15.

18 (1.08 pm)

19 (The Short Adjournment)

20 (2.15 pm)

21 (Delay in proceedings)

22 (2.22 pm)

23 MS ANYADIKE-DANES: Dr Squier, just before we broke for
24 lunch, I had asked you a question about brain-only
25 post-mortems. I was asked if I might ask you this

1 follow-up and that is: when you had looked at the
2 guidance that was thought to have been current at the
3 time of 1995, if there is to be a brain-only
4 post-mortem, then does it matter whether that's being
5 carried out by a consultant or somebody who's not
6 a consultant, even an experienced person?

7 A. It depends a bit on how that person's status is viewed.
8 If you are not a consultant, but you have considerable
9 experience, you may well be perfectly competent to do
10 the brain removal and to note anything that's important
11 in the rest of the body without opening it, but general
12 observations, and of the cranial cavity alone. A more
13 junior person who's not a consultant would probably want
14 a consultant just to come and cast an eye over things to
15 confirm that they had not missed anything at the time of
16 brain removal.

17 Q. So how significant is it to have a consultant carry out
18 a post-mortem at all, whether it's going to be
19 a brain-only one or whether it's a full autopsy?

20 A. A consultant is the person who usually will take
21 responsibility. A consultant is somebody who is fully
22 qualified and regarded as experienced and enabled to
23 practice alone and to offer an opinion. Anybody who's
24 not a consultant must be regarded in some ways as
25 a trainee and, therefore, may require the assistance of

1 a consultant, even if it's simply to provide a signature
2 to check that the trainee has carried out the procedures
3 appropriately and come to the correct conclusions.

4 Q. So when I asked you that before and said, if it's going
5 to be a brain-only post-mortem, does it make any
6 difference whether it's carried out by a consultant or
7 not, it may have been I was a bit loose in my language.
8 They may be two different things: who carries it out and
9 who takes responsibility for it. Are they two different
10 things?

11 A. They certainly are. For example, if we're doing a --
12 we're doing a huge research project in Oxford on
13 Alzheimer's disease and the technicians will remove the
14 brains and keep them because we're only interested in
15 looking at the brain for Alzheimer's disease, so
16 a technician is perfectly capable of taking out a brain
17 and keeping it and all the information we want will be
18 in the brain. If it's a situation such as this, where
19 we're not sure of the pathology, then obviously
20 a doctor, a qualified person, will take the brain out.
21 If it's somebody who has considerable experience and has
22 done a lot of autopsies, then that person might be
23 regarded as being perfectly appropriately qualified to
24 remove the brain alone and note other relevant factors
25 and then go and examine the brain at a later date.

1 Q. In those circumstances, should or would -- we're talking
2 about 1995 here -- the report be signed off by that
3 person's consultant?

4 A. I think in 1995 -- I think, in most places, one would
5 expect a consultant to put an underlying signature
6 underneath the final report, even then. But I think
7 practices probably varied considerably between different
8 places. I don't think where I am in Oxford we would
9 ever have allowed a non-consultant to sign anything out,
10 even in 1995, without a consultant's confirmatory
11 signature.

12 THE CHAIRMAN: You know that Professor Lucas has said in his
13 report that Dr Armour did have the necessary experience
14 to do this report and, on the central issues, I think
15 you shared Professor Lucas' views that she did it well
16 to the extent she identified the correct cause of death,
17 she got the central issue right.

18 A. That's absolutely right, yes.

19 THE CHAIRMAN: There is some scope for criticism on areas
20 perhaps around the edges, but on the central issue, she
21 got it right. Would that support the notion that she
22 did have the experience which was necessary to do this,
23 which turned out to be a slightly unusual autopsy?

24 A. I think that's probably right because I was asked
25 a general question. I think specifically in this case,

1 Dr Armour was rather unusual in that she had passed her
2 final exams in the College of Pathology some four years
3 earlier, so she was certainly qualified on paper and she
4 had four years' experience. So that's the sort of
5 person who would normally have already gone to
6 a consultant post. So in terms of her experience, I'm
7 sure she was well qualified to do it.

8 THE CHAIRMAN: So is the fact that she wasn't a consultant,
9 is that likely in this case to be more to do with the
10 lack of vacancies for a consultant's post rather than
11 that she was not qualified to be one? Because in fact
12 she was qualified to be one.

13 A. She was certainly qualified in terms of experience and
14 examination. It may have been just because she wanted
15 to stay for specific training that she was being offered
16 or lack of vacancies. We don't know.

17 THE CHAIRMAN: Yes. I'm just a bit wary about looking back
18 16 or 17 years ago to Dr Armour in 2002 being overly or
19 unfairly critical of somebody who seems to have got the
20 central question right.

21 A. I think that's right. I think, in the specifics of this
22 case, she was well qualified and, in general terms, she
23 wouldn't have been a senior registrar at this stage, she
24 would already have got a consultant post because most
25 people do that within six months of getting their final

1 exam.

2 THE CHAIRMAN: Thank you.

3 MS ANYADIKE-DANES: So if you're in the position of
4 Dr Armour, you shouldn't therefore need a consultant to
5 sign your report in the way that you've just indicated?

6 A. I think that's probably right, although I would always
7 just ... My own personal view would be that just simply
8 to cover her, that anybody who's not got a consultant
9 appointment should have somebody who's perhaps got
10 slightly broader shoulders and is willing to take any
11 responsibility. But I think she has shown she was
12 certainly capable and experienced to do this on her own.

13 Q. Thank you. I wonder if we can go through Dr Armour's
14 report on autopsy, simply to pick out those elements of
15 it which you haven't already addressed, either by
16 reference to the photographs or the diagrams or the
17 comments or the answers that you have given to
18 the Chairman. Dr Armour's report is to be found at
19 011-010-034.

20 If we go to the next page, 035, let's start with the
21 history. This is one of those essential elements that
22 one saw in the 1993 guidance. The chairman has already
23 alluded to the fact that Professor Lucas has said there
24 may be quite a bit of discussion. This is a different
25 section. This is simply to try and set out the clinical

1 history, and I had been asking you before where that
2 would come from. You said that that would come from
3 a number of places: medical notes and records, the
4 clinicians and so forth.

5 Who is taking responsibility for this? Is the
6 pathologist entitled to record what the clinicians say,
7 subject to anything that they point to in the medical
8 notes and records, or is the pathologist expected to go
9 through what might be quite lengthy medical notes and
10 records and pull out for himself the history?

11 A. Usually, it would be the latter. The pathologist would
12 go through the records and take the appropriate notes,
13 often having consulted the clinicians so they would know
14 which were the specific points which were relevant to
15 the death of the patient.

16 Q. For example, I'm not asking you to say where this would
17 come from, but if one looks at the penultimate line on
18 the second paragraph where it says:

19 "Peritoneal dialysis was performed as usual."

20 It says what the fluid volume was, what the solution
21 was, and what the cycles were. Is that the kind of
22 technical information that you're saying that the
23 pathologist goes to the medical notes and records and
24 gets for him or herself?

25 A. Yes.

1 Q. And what is the pathologist expecting to receive? The
2 full medical notes and records or the most recent?

3 A. Usually one would be presented with all of them and
4 that's where it's helpful to talk to the clinician and
5 say, "I've got 10 bundles of papers here. Which were
6 the relevant points that are important as far as the
7 patient's final illness and the cause of death are
8 concerned?". So we don't need to go into the past
9 history of rheumatoid arthritis or heart disease many
10 years ago; we'll deal only with those matters that are
11 relevant. And that will very much help the pathology
12 because wading through 10 files of notes of things that
13 aren't relevant would be a waste of time and would be
14 unwieldy in terms of writing a report. So that's where
15 you can get, certainly, guidance from the clinicians,
16 but then a pathologist might choose to do it on their
17 own, simply to go through the most recent records and
18 work from that.

19 Q. If we go to the bottom of the page -- well, the
20 penultimate line from the bottom, it talks about:

21 "An emergency CT scan at 1.15 revealed gross
22 cerebral oedema."

23 There would be a radiologist's report of the CT scan
24 and any X-rays, and that sort of thing. How much is the
25 pathologist expected to go behind that? Is the

1 pathologist entitled just to take what the radiologist's
2 report says or is the pathologist expected to look
3 at the CT scan and form a view themselves?

4 A. I think the pathologist is perfectly entitled to use the
5 report.

6 Q. Thank you.

7 THE CHAIRMAN: Presumably, doctor, on the basis that she
8 uses the report and can rely on that unless there's
9 something contradictory or inconsistent which should
10 lead her to continue her enquiries elsewhere?

11 A. Yes, it may be that when she has done the autopsy, she
12 will think it doesn't fit with that finding and she will
13 go back and then check the records or check the scans.

14 MS ANYADIKE-DANES: So to a large extent, when one's dealing
15 with a death that happened either during surgery or just
16 after surgery, the records that are kept become really
17 quite important because if the pathologist is going to
18 try and form a view themselves, looking at the records,
19 their view is as good as the records can guide them to
20 it, if I can put it that way. For example, if one looks
21 at that third paragraph, about halfway down, it talks
22 about there being an increase in blood loss calculated
23 to be approximately 1,200 ml at the end of the
24 procedure. If that's what the records say, even though
25 it hasn't maybe been entirely accurately collected

1 because there is other fluid in there -- it's not all
2 blood and so on, that's -- subject, as the chairman
3 said, to somebody saying something to the contrary --
4 the information that the pathologist works from?

5 A. Oh yes.

6 Q. So that becomes quite important, how accurate all
7 that is?

8 A. Absolutely. And it's only sometimes when you,
9 afterwards, go and talk to those who were present and
10 they say, "So much was going on at that time we probably
11 just made a guess and it may be inaccurate". But the
12 pathologist at the time would be, I think, perfectly
13 correct in just looking at the records as they are and
14 taking those at face value before doing the autopsy.

15 Q. Then if we go over the page to 036, there's reference to
16 a chest X-ray revealing pulmonary oedema. In fact, we
17 know there were two chest X-rays. One was taken at
18 1.20, which is very shortly after the surgery, and that
19 indicated mild pulmonary oedema. And another taken at
20 9.30, which indicated an increase in pulmonary oedema in
21 both lungs.

22 Now, if there's an issue about oedema at all, which
23 there seems to be in this case, although not pulmonary
24 oedema, how specific or detailed does the pathologist
25 have to be? Does she have to go away and say, "Well,

1 just let me check how many X-rays there were", or if
2 only one was referred to in the notes, "I will go with
3 the one and how that's described"?

4 A. I think she would take it on face value and that would
5 be perfectly appropriate.

6 Q. The CVP catheter tip in the neck vessel. We'll come on
7 to this in a minute, the significance of it. Should the
8 body come down to the mortuary with its line still there
9 if there's going to be an autopsy?

10 A. That is the preferred way so the pathologist can see
11 exactly what was in place, what was still in place
12 at the time of death and what might have been there some
13 days before, I think --

14 Q. Even in 1995?

15 A. I would have thought so, yes.

16 Q. And that is of assistance to the pathologist if they
17 remain in situ?

18 A. Yes. If there's a question, say, if a catheter was
19 working or not, for example, you would want to see that
20 it was in the right place and was clear.

21 Q. If we go over the page to 37, this is the external
22 examination. Dr Armour has said that the technician
23 weighed and measured the body. That would be normal,
24 wouldn't it?

25 A. Yes.

1 Q. You wouldn't expect the pathologist to be doing that?

2 A. No.

3 Q. But whose responsibility is it to describe the
4 appearance of the body?

5 A. The pathologist's.

6 Q. So if the body is bloated?

7 A. The pathologist should describe that.

8 Q. Can we pull up -- this is going to be a picture of
9 Adam -- 300-080-155? Is the description of Adam like
10 that something that, in your view, should have been
11 included in the report?

12 A. If she didn't know what he looked like before, she might
13 just have thought this was not bloating, but his actual
14 body shape. She might have thought he was -- there, on
15 that picture, he could look as if he were obese.

16 Q. Would you ask if what you're dealing with is fluid
17 overload?

18 A. I think that's a very difficult question. I think she
19 might be -- she might just simply assume that this was
20 his normal appearance.

21 Q. Thank you.

22 MR BOYLE: Sir, I don't think there's any suggestion in any
23 of the evidence from any of the clinicians that anybody
24 brought to the attention of Dr Armour, who of course
25 never met Adam, what his appearance had changed from the

1 preoperative state.

2 MS ANYADIKE-DANES: I hope I haven't suggested that.

3 So then if we carry on with the external
4 examination, as you look down, I think I asked you
5 before about photographs and I think you thought that
6 there might well be photographs or diagrams.

7 A. Yes.

8 Q. Is there any other description that you feel ought to
9 have been made there that you don't see in that external
10 examination?

11 A. I think this looks as if it's a fairly comprehensive
12 description. As I said before, anything -- if there are
13 a lot of marks of medical intervention, needle puncture
14 marks and the like and so on, it's always helpful to
15 have those in a diagrammatic form.

16 Q. If one looks at the chest and abdomen there, does that
17 indicate whether it would have been helpful to have had
18 a diagram or photograph of that?

19 A. It's helpful, but if it's well described and if it's
20 nothing that is perhaps regarded as significant, we're
21 not looking to try and distinguish between needle
22 puncture sites and bruises in the case of an assault or
23 something. We're dealing with a child who's been
24 through very extensive surgery and would be expected to
25 have a lot of lines and so on. So she may well have

1 thought there's no reason to do photographs or even
2 a diagram with this degree of description. She seems to
3 have given a fairly extensive description of what was
4 there.

5 Q. The purpose is so that people understand what's going on
6 and if it's described or photographed or rendered into
7 a diagram, so long as people understand what's going on,
8 that's the purpose of that section?

9 A. Yes.

10 Q. So 38, under the brain, it says:

11 "To be described after fixation."

12 Would you have expected any description other than
13 that?

14 A. Yes, I would. I would first of all have expected the
15 brain to be weighed and for it to have been described,
16 even in a brief form, at this stage. As I think
17 I mentioned earlier, when the brain is very swollen, it
18 can be very difficult to handle and turning it over and
19 looking at it can cause more damage to the brain. So
20 I think it should be described and it certainly should
21 be weighed at this stage.

22 Q. Well, we know that it was weighed, simply the weight
23 hasn't been recorded here. In fact, if we go to the
24 notes that Dr Armour made as she carried out her
25 examination, if you will just give me one moment.

1 (Pause).

2 MR BOYLE: Witness statement 012/2, page 25.

3 MS ANYADIKE-DANES: Thank you. Yes. In fact, there's
4 a long list of her notes before this comes up and you
5 can see there that has the brain weight, first, as
6 "1,302", and then it is corrected to "1,320".

7 A. Yes.

8 Q. Not necessarily that weight, but the weight, as you see
9 through the list of the contents on the internal
10 examination, you had expected to find the weight next to
11 it?

12 A. Yes.

13 Q. And a description?

14 A. Yes.

15 Q. And if we go down and look under the neck and chest, you
16 see the heart is 120 grams. When a weight is given, if
17 the weight is outside what might be considered to be
18 normal parameters, would it be part of this section to
19 say that or to indicate that in any way?

20 A. It should certainly be mentioned somewhere. Some people
21 now put a little table in with the normal weights next
22 to each of the organ weights. Others would perhaps put
23 it when they write their final report and this report at
24 this stage would just be the report of the autopsy
25 itself, where you might simply note what is there and

1 then discuss the relevance of those findings when you
2 put together the final report where you have all the
3 histology and microscopy and so on.

4 Q. Professor Lucas has discussed this seems rather enlarged
5 or a heavy heart for a child of that age, and I think in
6 his report he says in his unit they would probably have
7 retained that and not let it go off for transplantation.
8 But just so that I'm understanding you, if that were the
9 case -- and I'm not asking you to express a view as to
10 whether it is a heavy or large heart -- but if that were
11 a view, then would you expect to see that recorded
12 somewhere even if ultimately it was going to be sent off
13 for the valves to be used for transplant?

14 A. I think it should be recorded somewhere, whether it's
15 in the initial examination or the final -- initial
16 report or the final report, I think, may be variable.

17 Q. Sorry, if I just mention something about the brain.
18 Do you describe how much has come with it and what else
19 you've taken? Is that part of what you describe?

20 A. You would certainly describe if you have taken spinal
21 cord or nerve or muscle or part of the dura as well.
22 That should be part of your initial report.

23 Q. Then if we go down through the abdomen, it says the
24 liver was a little congested. Is that something that
25 would require a little expansion so that anybody knew

1 what that was or its potential significance?

2 A. I think at this stage this is fine because one would
3 expect to have a histological report and then all of
4 this could be put into context. At the moment, looking
5 with the naked eye, you don't have all the information,
6 so probably a brief description --

7 Q. Just visually describing and recording weights and
8 measurements, essentially?

9 A. Yes.

10 Q. Thank you. If one looks at the native kidneys, would
11 you have expected to see a weight there?

12 A. Yes, I would.

13 Q. And how important is that?

14 A. I think it's important. It's just a routine. It's just
15 what we do and at the time we do it so we can be sure
16 that organs have developed normally, have achieved their
17 correct weight and whether or not they have then lost
18 weight afterwards due to some disease process. And it
19 can just alert us to subtle changes, so yes, I think the
20 kidneys should have been weighed and particularly in
21 a little boy like this who we know had renal problems.

22 Q. Over the page, there's the internal examination of the
23 neck and this is, I think, an area that you have
24 commented upon to a significant extent, I think, in your
25 reports. But just so we understand what you're saying

1 about it, it says here:

2 "There was no evidence of congestion or obstruction
3 of the major blood vessels or the carotid arteries and
4 jugular veins. There's no evidence of superior vena
5 cava obstruction. The carotid arteries were normal.
6 There was a suture in situ on the left side of the neck
7 at the junction of the internal jugular vein and the
8 subclavian vein."

9 And I think you have said that that's internally
10 inconsistent, that paragraph.

11 A. I think, at this point, it isn't internally inconsistent
12 because we don't know where that suture was. It becomes
13 inconsistent if we say that the suture was causing
14 obstruction of a vessel because this states quite
15 clearly that the vessels that were examined, there was
16 no superior vena cava obstruction, the arteries were
17 normal and there was no congestion or obstruction of
18 major blood vessels or the carotid arteries or jugular
19 veins. So the vessels have been described as normal and
20 then it says there was a suture at the junction of the
21 internal jugular vein and the subclavian vein. Where
22 that suture was in relation to that junction, we don't
23 know if it was adjacent to soft tissues or if it was in
24 contact with or obstructing the vessel call. We simply
25 can't tell from this description.

1 Q. But at the moment this is just describing. It's not
2 ascribing any significance to that, just describing?

3 A. That's correct.

4 Q. If something like that had been identified, as Dr Armour
5 says it was, is that the sort of thing that's worthy of
6 a photograph?

7 A. In the normal course of events, if we know that this
8 child has had lines put into the neck veins -- probably
9 not terribly remarkable because it happens, it's
10 a common practice, and you would expect to see the
11 residual effects. But if it is something you regard as
12 important as part of the cause of the brain swelling,
13 then I think it would be helpful to know exactly where
14 it was, to have a better description and probably
15 a photograph, and if there were a question as to whether
16 it was recent or old, I would have thought it would be
17 helpful to take a sample to look at under the microscope
18 where you might get an idea of how long the reactive
19 process to that suture had been going on for.

20 Q. If at this stage what's going on is just sort of
21 observing and describing, if I can put it that way, the
22 inquiry has heard evidence that the body -- and I think
23 you have said so in your reports -- responds to those
24 sort of foreign objects being there and there's
25 a reaction to that and that is a reaction that can be

1 detected.

2 A. Yes.

3 Q. So if there were that sort of reaction, is that part of
4 what you would record in your observing and describing
5 section?

6 A. It would have been helpful because just to say there was
7 a suture, we don't know what that means. We don't know
8 if it was just a little piece of plastic material from
9 which a suture is made or if it was a suture with the
10 normal tissue reaction around it, where you might see
11 a matted piece of tissue with just tiny ends of the
12 suture, which allow you to recognise it. So it's not
13 a very clear description and it certainly doesn't help
14 us to understand the role that suture may have played in
15 any obstruction of blood flow.

16 Q. Is that one of the purposes of a pathologist recording
17 that because this is all going to be part of the
18 story as to what happened and how it happened?

19 A. Yes, of course. It requires the pathologist thinking
20 ahead. At the time, she's just got this brief interval
21 in the post-mortem room to make all of these decisions.
22 She may well have thought: that's what you get when you
23 put lines in and it's irrelevant because we have
24 a different cause of death. But looking back on it, she
25 then wrote in her final analysis of the case that she

1 thought that suture was relevant, in which case we want
2 to know lots more about it. And it's just perhaps an
3 unhappy accident that she didn't look at it more closely
4 at the time when the material was available.

5 Q. Yes. Then we go to the description of the organs
6 after -- we'll come back to that bit because in the bit
7 of the report that deals with her conclusions, if I can
8 put it that way ... Then there's a description of the
9 organs after fixation. And there you have a weight of
10 the brain of 1,680 grams. I think you have said that
11 that's heavy.

12 A. Yes.

13 Q. If you had already weighed the brain and put in your
14 notes "1,320", and then on fixation you have 1,680, at
15 that stage do you ask yourself whether those two things
16 are consistent with what you're seeing, if I can put it
17 that way?

18 A. Yes. We know that the brain weight changes from the
19 time it's fresh to the time it's fixed and it usually
20 acquires 10 to 12 per cent of its weight. That would
21 have been quite obvious that 300 plus grams is a very
22 large percentage of the brain weight and one would be
23 wondering why that happened. It is more than one would
24 expect from just fixation, so one would be wondering if
25 somebody's made a mistake in the weighing at some point.

1 We know that different sets of scales can be different
2 and so these weights are not terribly accurate.

3 Q. Mm-hm. Dr Mirakhur had given her evidence to say the
4 1,320 would be towards the upper limits of what was
5 perhaps a normal band; would you accept that?

6 A. Yes.

7 Q. But this is definitely not normal, 1,680?

8 A. Yes.

9 Q. Then the second paragraph under that external
10 examination is the description of what she sees. In the
11 light of your examination of the sections, is there
12 anything that you might have added to that or do you
13 think that's a fair representation of what can be seen?

14 A. I think that's a fair representation of the brain cut,
15 yes.

16 Q. If we look at where the blocks were taken from, you had
17 previously said that -- well, the guidance tells you
18 about the dura. I take it there's nothing from the dura
19 there?

20 A. No.

21 Q. And you had also said not only would you want something
22 from the dura, but the venous sinuses would be relevant,
23 you thought. What's the significance of her not having
24 taken blocks from the dura, so far as you can ascertain?

25 A. In a case such as this, I think it's probably not

1 terribly significant, but I would still stress that she
2 should certainly have looked at the dural sinuses
3 because that's very important, even though it's not
4 in the guidance.

5 Q. Do you mean in a case such as this because, as it turned
6 out, it wasn't relevant?

7 A. We're not looking for any pathology that's related to
8 the dura, we're not looking for trauma or dural
9 bleeding.

10 THE CHAIRMAN: Is this really an example of the guidelines,
11 in your view, not really being good enough? This is
12 your reference earlier this morning to you being very
13 surprised that the sinuses aren't referred to.

14 A. I'm very surprised, yes. I think I'm surprised because,
15 in some ways, they've missed what is obviously a very
16 important examination, but they've suggested that we
17 should do things that I would virtually never do. So
18 they are a little bit patchy and I suppose that reflects
19 being written by somebody who has a specific way of
20 doing things.

21 THE CHAIRMAN: Right.

22 MS ANYADIKE-DANES: Then if we go over the page to 040, "On
23 microscopy", just before we do that, we see the lungs
24 and they are described there, but there is no weight for
25 the lungs. Would you have expected the weight of the

1 lungs to have been given?

2 A. It is usual, yes, particularly as, I think, there was
3 an X-ray saying there was oedema. So one would expect
4 to weigh them to see how much fluid was in them.

5 Q. In fairness to Dr Armour, she had weighed them or at
6 least she had had them weighed, they're just not in the
7 report, which I think she says was a typographical
8 error. But you would expect to see the weight of them
9 in the report?

10 A. Yes.

11 Q. If we go over the page to 040, we see that with the
12 liver there's:

13 "No evidence of cyst formation within the portal
14 tract. There were scattered foci of clear cell change."

15 Would you have expected anything further to have
16 been said to get some guidance of the significance, if
17 anything, of that?

18 A. Not an organ I look at very often. That's something
19 I can't comment on.

20 Q. That's all right. Sorry. If we go further down, it
21 says:

22 "The above slides were seen by Professor Berry, the
23 consultant paediatric pathologist."

24 So he saw those. And then there's the brain and
25 there's a description of the brain:

1 "Massive cerebral oedema of the cortex and white
2 matter. There was no evidence of terminal hypoxia.
3 There was no evidence of myelinolysis. Spinal cord, no
4 specific pathological features were noted."

5 Then it says, in a rather similar way:

6 "Brain, spinal cord and histological slides were
7 seen by Dr Mirakhur, consultant neuropathologist."

8 Dr Mirakhur has given her evidence that if her name
9 was going to be in it, she'd have expected to have known
10 about it and then she could have taken whatever steps
11 she wanted to to see whatever she wanted to. How do you
12 respond to that comment of hers?

13 A. I think she's perfectly correct. I think she could have
14 been quite angry that she had been quoted without having
15 an opportunity to have her own input into it.

16 Q. Then if we go to the commentary, and this is, I think,
17 the part of the report that Professor Lucas says is
18 overlong. But is that not something that's a matter
19 of either the personal style of the pathologist or
20 a response to what the pathologist thinks an individual
21 coroner likes to see?

22 A. I think both of those. I think this is actually a very
23 well worked commentary that Dr Armour has looked at the
24 clinical story in some detail and she has done her best
25 to make a detailed account of the factors which may have

1 been relevant in the death and how they fit in with what
2 she has seen. So I would have actually not agreed with
3 Professor Lucas on this and I think she's -- it's a very
4 appropriate way of writing an autopsy report. And if
5 the coroner -- the coroner is the person who will decide
6 whether that's appropriate or not for his particular
7 practice. And coroners vary tremendously.

8 Q. Yes. Then if we go into the brain -- this is where
9 I would like to ask you a little bit about the brain
10 weight. The brain weight appears in a number of
11 different places. It appears and is 1,320 grams in
12 a letter to Professor Berry, which is his referral
13 letter, which is 011-029-152. There we are:

14 "On post-mortem, I found gross cerebral oedema."

15 Are you able to tell from that -- when that letter's
16 going out, that must be before fixation, if one looks at
17 the first page.

18 THE CHAIRMAN: The continuation of that line --

19 MS ANYADIKE-DANES: Exactly. Sorry:

20 "... fixing and a neuropathological opinion will be
21 requested."

22 So it seems clear from this that Dr Armour did, as
23 the chairman said this morning, identify the fact that
24 neuropathological involvement was appropriate and she
25 said she was seeking one.

1 A. Yes.

2 Q. And then if we go back to that witness statement, 012/2,
3 page 25 --

4 THE CHAIRMAN: Sorry, Ms Anyadike-Danes, who is that letter
5 to?

6 MS ANYADIKE-DANES: I thought I had introduced that, sorry.

7 THE CHAIRMAN: Just remind me.

8 MS ANYADIKE-DANES: It goes to Professor Berry. This is his
9 letter of instruction with the acceptance of the coroner
10 that he should be asked and he --

11 THE CHAIRMAN: Okay.

12 MS ANYADIKE-DANES: She cites everything that she's
13 providing to him. That is all perfectly proper, I take
14 it, all the detail that she's providing to him?

15 A. Yes, indeed.

16 Q. Then she gives him a little summary. And when you had
17 talked before about what you might expect in terms of
18 information given to you by the coroner, is it this sort
19 of summary that you'd have expected if you were the
20 pathologist doing it to receive?

21 A. This is very helpful because it's just a brief outline
22 of the story so that Professor Berry can look at that
23 and see whether he wants to start looking at the notes
24 in detail for himself. But that at least sets the scene
25 and then he can look and see whether he can find some

1 consistencies with the pathology and that story.

2 Q. Exactly. Then if we go -- well, I won't take you to it
3 in detail because you've already seen it, which is where
4 it's referred to in her notes. If we just look at the
5 notes: 012/2 at page 25. Can we go to the previous
6 page, 24? This would appear to be a draft with all the
7 relevant headings for her final report.

8 A. Yes.

9 Q. And then we see there that she has, under "The lungs",
10 included the weight.

11 A. Yes.

12 Q. And we also see that, under "The heart", she has the
13 weight and there was a place to put further information,
14 if I can put it that way, about the heart, but that's
15 just not included.

16 A. Yes.

17 THE CHAIRMAN: I'm sorry, what's the point of this?

18 MS ANYADIKE-DANES: Because she ...

19 THE CHAIRMAN: I'm a bit lost on the detail in which we're
20 going into the notes and the report.

21 MS ANYADIKE-DANES: Just the way it was done, Mr Chairman,
22 but we can move on.

23 THE CHAIRMAN: Yes.

24 MS ANYADIKE-DANES: Then if we go over the page, 041, there
25 is quite a lengthy section which recites the information

1 on the CVP and the rise in the CVP and so forth. Then
2 if we go to the last large paragraph before those
3 smaller ones, the penultimate one and the final one, we
4 see:

5 "Another factor to be considered in this case is
6 cerebral perfusion."

7 Just so I can be clear, what is cerebral perfusion?

8 A. It's the blood flow through the brain.

9 Q. It says:

10 "The autopsy revealed ligation of the left internal
11 jugular vein. The catheter tip of the CVP was situated
12 on the right side. This would mean that the cerebral
13 perfusion would be less than that in a normal child.
14 This would exacerbate the effects of the cerebral oedema
15 and should also be considered as a factor in the cause
16 of death and therefore the most likely explanation
17 is that cerebral oedema followed a period of
18 hyponatraemia and was compounded by impaired cerebral
19 perfusion."

20 This would appear to come from two elements. One is
21 the fact that the left internal jugular vein is ligated
22 and the other is that the CVP catheter is on the right
23 side. So there's a significance now to the description
24 that was given of the suture in the earlier part of the
25 report. In order to reach this conclusion, what do you

1 think is the investigation that would have to have been
2 carried out?

3 A. Well, I think this is where we need to know if that
4 vessel actually was occluded by a ligation and how long
5 it had been there because this would be a very important
6 fact in trying to understand whether there was
7 a contribution to brain swelling. I would perhaps say
8 that I think the terminology's a little bit confusing
9 here because "perfusion" means the blood flowing through
10 the brain and we're talking about obstruction of vessels
11 draining blood from the brain. So in fact, they're less
12 important. Blood can get in and that's fine, so the
13 perfusion can go on quite well. What we're considering
14 here is if obstructing outflow from the brain will cause
15 back pressure in the tissues of the brain and lead to
16 further swelling. So I think we should be clear that
17 we're talking about the outflow side of the brain here.

18 Q. On the outflow side, which causes or contributes the
19 soonest with the greater effect to this brain swelling?
20 Is it the outflow or the inflow constriction?

21 A. Both will contribute. Inflow constriction will cause
22 rapid cell death and swelling consequent upon that.
23 Outflow obstruction will probably cause swelling before
24 it causes cell death because it's going to allow fluid
25 to accumulate in a tissue which has its oxygen supply,

1 but it will gradually be cut off as the fluid
2 accumulates. So I think that we're going to see two
3 different effects and the swelling per se would probably
4 be greater if you obstruct the outflow rather than the
5 inflow.

6 Q. And for it to have that effect, when in your view would
7 the suture have had to have been inserted?

8 A. Well, we do know that the outflow system of the brain,
9 of any organ of the body, the venous system is very much
10 more plastic than the arterial system. Veins are good
11 at getting bigger, smaller, accommodating increased
12 flow. If their flow is obstructed, they will create new
13 channels to get around obstructions. So in order to
14 have a dramatic effect on the brain, obstruction should
15 be severe, virtually complete and rapid because
16 compensation will take place over time.

17 Q. And how long does it take to develop compensating
18 pathways?

19 A. Oh, probably a week or so will allow vessels to grow
20 around an obstruction.

21 Q. And you would see that?

22 A. You would see that under the microscope, but also
23 because the brain has many venous channels, it's quite
24 easy for quite rapid redistribution of blood to occur.
25 So if a vein is obstructed, the brain will, wherever it

1 can, send blood out through another pathway to protect
2 the tissues.

3 Q. And where would you be seeing that effect?

4 A. Well, if it's happened immediately before autopsy, you
5 probably wouldn't see any effect at all or you might see
6 some rather congested vessels. If it's a few days old,
7 the vessels would tend to be rather distorted and
8 showing that they had lost their normal straight
9 configuration because they're getting larger to
10 accommodate more blood --

11 Q. Sorry, can I just pause you there? When you said that
12 if it happened pretty much immediately, you might not
13 see anything at all rather than congestion, but that's
14 not what Dr Armour describes. When she describes the
15 internal examination of the neck, she doesn't have any
16 congestion.

17 A. No.

18 Q. So she's not describing that?

19 A. No.

20 Q. So if it's not like that, happening immediately, then
21 what are you seeing?

22 A. If it were obstructed for a period of time, one would
23 expect to see that other vessels had enlarged to take
24 increased flow, which wasn't able to go through the
25 obstructed vessel.

1 Q. And even if you hadn't got to that stage of concluding
2 that, is that something, when you're in your observing
3 and describing stage, you would have been able to see?

4 A. One would hope to, yes.

5 Q. And if the suture had been put more than a few weeks
6 prior to the surgery -- let's say months -- what would
7 be evident when you were looking at the internal
8 structures of the neck?

9 A. The vessel would look abnormal. It would look narrowed,
10 it would look scarred, fibrosed. There might be
11 congestion of vessels above it or new vessels growing
12 around it and an abnormal sinuous pattern of the
13 congested vessels above it.

14 Q. And that would be evident?

15 A. That should be evident, yes.

16 Q. What I think Dr Armour says in her evidence is that she
17 was told that -- well, I should say that we had quite
18 a bit of evidence during the earlier clinical phase of
19 this hearing from surgeons and anaesthetists,
20 particularly Dr McCallion, who gave evidence as to
21 when -- and I think you may have seen his transcript and
22 his witness statement -- Broviac lines went in, when
23 they went out, when X-rays were taken and all of that in
24 his evidence was to show that the Broviac line that was
25 inserted in 1992 -- there was an X-ray taken that showed

1 that this particular area, where Dr Armour thinks there
2 was constriction, was still patent, the left internal
3 jugular vein, and then there was evidence to say that
4 the Broviac line had been removed in February of 1995.
5 And that procedure had taken about 20 minutes to do.
6 And in his view, that had not involved doing anything
7 that would involve constriction to this particular area
8 that is described by Dr Armour. So that was his
9 evidence.

10 Dr Armour has said that she was told that that
11 suture was put in when the line was removed, and so if
12 that's February 1995, and let us say that that is
13 correct, that a suture was put in in February 1995, what
14 do you think would be evident or could be seen at
15 autopsy in November 1995?

16 A. I would have thought there would probably still be some
17 reactive process around the suture, whether it was
18 in the vessel wall or adjacent to the vessel wall. One
19 would see some thickened fibrous tissue around the
20 suture as part of the breaking down of the suture
21 material, which is a normal process.

22 Q. I should say the evidence that Dr McCallion gave was
23 that, in his view, no suture was put in at that time.
24 His evidence was on, just for the record, 11 May 2012.
25 I think it starts at page 184, line 8. Essentially,

1 what's saying is that the time that it would have
2 taken -- firstly, I think he says that he doesn't
3 understand why you would do that. But in any event, the
4 time that it would have taken to insert that, there
5 simply wasn't that amount of time recorded in the papers
6 for that to happen. So that's his evidence. But
7 anyway, there is a difference in view between them.

8 What I'm simply trying to ascertain from you as
9 a neuropathologist looking at that area on autopsy, if
10 the suture had gone in as Dr Armour was told, says she
11 was told it did, are you saying that there would still
12 be something that you could see to indicate that
13 a suture had been there by autopsy in November 1995?

14 A. I would have thought that in nine months there may still
15 have been some fibrous healing going on, yes.

16 Q. Enough to be able to describe it as opposed to just
17 actually happening?

18 A. You would need to look for it carefully. It wouldn't be
19 a large mass and it would be easily overlooked if it
20 were not actually in the vessel, but examining the
21 vessel wall, one should certainly see it. And even if
22 there hadn't been a suture, simply the fact that a line
23 had been in that vessel would have probably meant that
24 the vessel wall may have been a little thickened or
25 scarred and certainly, if one took a section to look at

1 under the microscope, one would probably be able to see
2 that sort of reactive process, even if the lumen were
3 still open and blood were flowing through it.

4 Q. But if a suture had been put in in February 1995, is it
5 your view that given what you have said about
6 compensating pathways and so forth, that that would
7 still not be having a constricting effect on the blood
8 flow?

9 A. A, at the site of the suture, one would expect to see
10 the obstruction to the vessel and the healing reaction
11 to the suture material. One would also expect to see
12 that above this, as the blood flowing can't go that way,
13 it would be re-diverted or there would be new channels
14 forming around that area.

15 Q. And the effect of that is that the venous drainage
16 wouldn't be compromised in that way?

17 A. The venous drainage may be compromised to a certain
18 extent, but because there is so much plasticity and it's
19 possible to shunt blood through different pathways, as
20 long as those pathways remain available, then it
21 shouldn't make a great deal of difference. I think that
22 surgeons regularly put in lines and block off vessels
23 and the body simply gets on with it.

24 Q. And if I can just take you to something that Dr Armour
25 said when she was giving her evidence before

1 the coroner. It's 011-010-033. She says that:

2 "The suture impaired the blood flow to the brain and
3 the catheter tip on the right may have had a role to
4 play."

5 But then she goes on to say:

6 "The suture had been there for some time."

7 So if you're seeing a suture at all, as opposed to
8 the evidence of where it was, if you're actually seeing
9 a suture, does that give you any guidance as to how long
10 it's likely to have been there?

11 A. If you can still see the suture material, it's probably
12 very fresh. If, as sometimes happens, it's embedded in
13 a fibrous reactive tissue, there may be a tiny little
14 end that's sticking out of that, but you would expect to
15 see a reactive tissue around the suture material.

16 Q. And how would you be able to form a view as to how long
17 it was there if you wanted to do that?

18 A. By looking at it under the microscope.

19 Q. And if you thought it was having any effect at all, what
20 should you do in relation to it?

21 A. First of all, if you think it's having an effect, you
22 should photograph it because it's clinically very
23 relevant to the cause of death and you should take
24 a sample to examine under a microscope.

25 Q. Thank you.

1 A. Could I just add that on this page here, on page 33 of
2 this transcription, that it says "the suture impaired
3 the blood flow to the brain". But if we're talking
4 about a vein, that's the blood coming out of the brain
5 rather than into the brain, which is via arteries rather
6 than veins.

7 Q. Yes. I think we've had some of these -- perhaps it's
8 a slip from the person who was taking the transcript.
9 This is not the hand of the person who's giving the
10 evidence, so there will be a scribe who's taking it down
11 and the significance of that may not have been
12 appreciated.

13 A. Okay.

14 Q. But in any event, I think from what you said, whether
15 it's going to or from, if it truly is constricted then
16 it's going to have some sort of effect?

17 A. Yes, that's correct.

18 Q. Except to say, if one can go to -- maybe just in
19 fairness -- 093-022-063. This is Dr Armour's statement
20 to the PSNI. If you look almost two-thirds of the way
21 down:

22 "The suture impaired the blood flow to the brain."

23 So she appears to have it there also. I think
24 you have said that although --

25 MR BOYLE: It's a very small point, but if one looks at that

1 statement, it's actually just repeating -- because it
2 says two lines above:

3 "In response to Miss Higgins, I said ..."

4 And then it's a quotation from the transcript rather
5 than a witness statement.

6 MS ANYADIKE-DANES: Thank you. Just so that we understand,
7 the next page to that, 059-036-072. Dr Armour was asked
8 to comment on something and this is what she was asked
9 to comment on. This is a letter from Dr Taylor to
10 Dr Murnaghan, dealing with the post-mortem findings.
11 And in the middle section there he has:

12 "Impaired cerebral perfusion."

13 He makes some criticisms and comments on what
14 Dr Armour has found. Are you able to help as to what
15 that means, what he's saying there? We start off with
16 saying -- he says:

17 "There is no evidence of impaired cerebral
18 perfusion ... Cerebral perfusion is defined as mean
19 arterial pressure minus intracranial pressure."

20 Is that correct?

21 A. Yes.

22 Q. And then he says:

23 "Intracranial pressure was not monitored in this
24 case and is never monitored except in head injuries as
25 it involves an invasive monitor in the brain."

1 Is that the invasive monitor with the transducer
2 that we looked at in the diagram that we had earlier,
3 the square diagram?

4 A. Yes.

5 Q. That is the invasive monitor?

6 A. Yes.

7 Q. And then he says:

8 "Since MAP was maintained throughout the procedure,
9 it is unlikely that there was cerebral hypoperfusion.
10 Perhaps a better logical explanation would be impaired
11 cerebral drainage, however this is against known ..."

12 Stopping there, is what you have said in terms of
13 the difference between the cerebral perfusion and the
14 fact that you're of a view that we're talking about
15 impaired cerebral drainage?

16 A. Yes.

17 Q. Then he says:

18 "However, this is against known research, especially
19 in this case where a recent article suggests that
20 complete jugular ligation does not cause an increase in
21 ICP."

22 Are you able to assist with that?

23 A. I think that this is probably what I have tried to
24 explain. If you do tie-off a vessel, if there is time
25 for compensation, unless it's absolutely acute and

1 unless there's no other way for the blood to go, it
2 won't cause a huge amount of damage to the brain because
3 the blood will find other pathways out of the brain.
4 And we know there are plenty of them available.

5 Q. Thank you. Can I just ask you very briefly about
6 hypoxia? In your report you say that -- well, to give
7 you the reference, it's 206-002-005. You say:

8 "There is no significant pathology to indicate HLL
9 [sic]."

10 What is that in this brain?

11 A. Sorry, that's HII, hypoxic-ischaemic injury.

12 Q. Thank you.

13 "Only a few cells in the [inaudible] show early
14 [inaudible] death and there is no blood vessel change."

15 And so on.

16 So are you also coming to the view that there's no
17 evidence that there was terminal hypoxia?

18 A. Yes, that's correct. Just to explain: we don't know,
19 looking at the pathology, what the contribution of lack
20 of oxygen or lack of blood supply may be. So we use
21 both terms -- hypoxia being lack of oxygen, ischaemia
22 being lack of blood supply, so we put them together. We
23 don't usually talk about pure hypoxia. That's why we
24 use HII. There are fairly specific findings in the
25 brain that are associated with hypoxic-ischaemic injury

1 and there was really not a great deal of evidence in
2 this brain that there been any extensive
3 hypoxic-ischaemic injury.

4 Q. Is it possible for that not to show at the time you're
5 carrying out the autopsy?

6 A. It is, because the brain cells take some time to respond
7 and for us to be able to see those responses under the
8 microscope. I have seen these changes within
9 an hour-and-a-half of a child dying under anaesthetic,
10 but usually one would say the first changes would be at
11 about five or six hours and maybe 24 hours and we
12 usually give ourselves a window of 1 to 2 days before
13 we would really be able to be sure that we can see
14 reactive changes in the brain.

15 Q. And if you do see them, what's the significance in terms
16 of what Dr Armour was dealing with?

17 A. Well, it helps us to try and understand what the cause
18 of the death and the brain damage may have been.

19 Q. What difference would it have made in a case like this
20 where, as you have said, she's correctly identified that
21 there was very significant cerebral oedema, it's
22 produced coning. What difference would it have made if
23 she had waited a little longer and identified any
24 hypoxia?

25 A. Well, what would have had to happen is that the period

1 between the event and death would have had to be
2 extended. So that would mean a longer period on
3 ventilation. When we get into the same cascade that
4 I mentioned earlier this morning, a lot of secondary
5 changes are going on, so it gets very complicated. But
6 essentially, the important factor would be to say: well,
7 one of the things one would think if a child doesn't
8 wake up after an anaesthetic is was there sufficient
9 cerebral perfusion, was there sufficient oxygen? So
10 it's important to look to see if that might have been
11 one of the causes of the damage because the brain would
12 also swell after hypoxic-ischaemic injury.

13 Q. I see. But when the child dies, in other words the
14 ventilator is turned off, that's not something that is
15 within the control of Dr Armour. She could hardly have
16 said, "If you'll just wait a few more hours, I will be
17 able to tell you whether there's any hypoxic damage".
18 So she takes the body in the state that it comes to her
19 and she deals with what she can see and describe and
20 what she can conclude from that.

21 A. Yes.

22 Q. So is it simply that you keep your mind open that the
23 fact that you don't see it, given what you know as to
24 the time that has elapsed from the event and the death,
25 doesn't necessarily mean that there wouldn't be

1 something that could have caused it if that time had
2 been longer; is that the upshot of it?

3 A. That's correct, yes, and we're at a limit here at
4 24 hours in a baby on a ventilator. It may be that the
5 changes just simply haven't had a chance to develop.

6 Q. Or that there's nothing there that's ever going to
7 develop because that has nothing to do with it?

8 A. Yes, we simply can't tell.

9 Q. And then you also address the issue of anaemia. What's
10 the significance of that if Adam was a bit anaemic?

11 A. Anaemia ... The haemoglobin in the blood is reduced in
12 anaemia by definition and haemoglobin carries oxygen to
13 the brain and, if a patient is severely anaemic, any
14 reduction in blood flow or ambient oxygen levels may
15 have more effect in a patient who is anaemic because the
16 same volume of blood will be carrying less oxygen than
17 in a patient who has a normal haemoglobin level.

18 Q. Just before I go on to one final question, in those last
19 two questions where you've been dealing with effectively
20 the oxygenation of the brain and you had mentioned there
21 might be a concern about the anaesthesia or the
22 anaesthetic equipment and so forth: you're the
23 neuropathologist, if you'd been brought into this case,
24 would you have wanted to know whether there was any
25 investigation into the anaesthetic equipment? Would

1 that be relevant for you?

2 A. I would certainly want to know if the equipment had
3 failed or if the gases had failed or if the anaesthetist
4 hadn't monitored everything right the way through the
5 operation. Yes, I would want to go back to those
6 records.

7 Q. And then if we just go to the final question and, just
8 to be clear, there's an issue about the dopamine that
9 was given. I think it was given in a sort of low dose,
10 almost from the start, and then two small boluses. Are
11 you in a position in your discipline to be able to
12 comment upon what difference any of that might make to
13 what you're seeing as a neuropathologist?

14 A. No, I don't think so. I think that's out of my
15 expertise.

16 Q. When you review the medical notes and records and you
17 see during the surgery the medication, the drugs that
18 have actually been administered, do you ever -- or is it
19 appropriate for you to ask somebody as to what the
20 effects of that are since that's not your area?

21 A. It is helpful when one's dealing with a very complex
22 case. It's very easy to overlook that because it's
23 something we don't -- I don't understand terribly well,
24 the effects of particular drugs. But it may be helpful
25 because it can help us to understand how they may

1 involved, and I think the answer that you were giving
2 also partly to the Chairman's question was the label
3 wasn't so important, it was important for their
4 expertise, if I can put it that way, although in your
5 unit, if it wasn't a consultant, you would give that
6 person cover, I think you said, you would have
7 a consultant sign off?

8 A. I would expect to go and just look at the final
9 appearance before the head was closed so that I could
10 sign off and agree that a trainee had done it correctly.

11 Q. Oh I see. So signing off isn't literally just signing
12 off; signing off is to going and having a look at
13 something?

14 A. In my practice, that's the case. But again, as we've
15 said, it depends on the experience of the person
16 removing the brain.

17 Q. I understand that. So the specific question -- because
18 we had a look at the transcript and weren't entirely
19 sure of how the answer was coming. The specific
20 question is that if you're dealing with a brain-only
21 post-mortem in 1995. Would you expect for that to be
22 carried out by either a consultant neuropathologist or
23 someone of the equivalent clinical status or experience?

24 A. I think it's really difficult to answer. I think in the
25 circumstances of this particular case, Dr Armour was

1 well qualified and experienced and would be assumed to
2 have been able to do this on her own without consultant
3 cover in the terms of that experience. For my own
4 personal practice, and I think even back in 1995,
5 I wouldn't have expected one of my trainees to do it
6 without me just having simply cast an eye over things to
7 be sure that they had not missed anything.

8 Q. Yes. In this case, Dr Armour, of course, was conducting
9 a full autopsy and her experience was being brought to
10 bear over the body as a whole and the brain turned out
11 to be a very, very important element of it, but was an
12 element of it. If she had formed the view that actually
13 it's such a significant element of it that that's the --
14 in the way that you described sometimes happens -- only
15 bit that I really think we need to examine here, if she
16 had formed that view, would you still have thought that
17 that was sufficient or would you have thought that it
18 should have been done by a consultant neuropathologist
19 or somebody with that kind of expertise?

20 A. I think it would be reasonable if she had said, "Okay,
21 I have taken the brain out, I have done the autopsy,
22 I need some help, but I'll ask for that when the brain
23 has been fixed, because it's probably going to be in the
24 brain". If she had satisfied herself that she had
25 looked at all those things pertaining to the brain and

1 the blood flow, then I think it was reasonable for her
2 to wait until the brain is fixed to ask for help.

3 THE CHAIRMAN: It's a judgment call, really, on Dr Armour's
4 part, isn't it?

5 A. It is indeed, yes.

6 THE CHAIRMAN: Can I just clarify one thing that I have now
7 become unclear about?

8 When you say "getting a consultant to sign off",
9 I had interpreted that earlier to mean effectively
10 countersigning the end of the report, but is there more
11 to signing off than that? Might it involve, for
12 instance, if you were signing off as the consultant,
13 would you look at the report and that might be your
14 first and only port of call, but it might also then lead
15 you back in to look at blocks and slides yourself?

16 A. I would expect the person asking or writing the report
17 to show me material and they may come and say, "I've cut
18 the brain, looked at it, I have all these slides, but
19 these are the three I think you should look at".

20 THE CHAIRMAN: Okay, so it's not just adding a signature to
21 the bottom of the page?

22 A. I think if your name's going to be on it, you should
23 know that you're going to take responsibility for it --

24 THE CHAIRMAN: Thank you.

25 MS ANYADIKE-DANES: Just to follow up that because that was

1 something that I probably should have asked as well.
2 When you said that you would expect a trainee, which
3 is -- it's a bit of a misnomer, trainee. You may be at
4 a very, very early stage of your career, but in fact
5 a trainee, strictly speaking, is anybody up until you
6 become a consultant. So it could be somebody quite
7 experienced.

8 A. Yes.

9 Q. But when you just said that you would expect the trainee
10 to come and show you the report and say, "Look, these
11 are the blocks or the slides that I think are actually
12 significant here, would you like to have a look at it?",
13 does that mean that you, as a consultant, know what your
14 trainees are doing? I mean in the sense that you would
15 be aware of the kind of, if not the actual, the kind of
16 autopsies that they're carrying out?

17 A. Yes, absolutely, and would know whether I was able to
18 simply trust them to show me three things and know
19 they'd picked out the relevant things or whether I would
20 need to look at the whole case in detail myself to be
21 sure that they had come to the right conclusions.

22 Q. And does that mean, just so that we understand, that if
23 you have a department and you have two or three
24 consultants in there and you have the trainees as well,
25 does that mean that those consultants need to know what

1 autopsies, if I can put it that way, the non-consultants
2 are carrying out?

3 A. Yes.

4 Q. Even if they're experienced and nobody's going to bat an
5 eye and they can just get on with it, they need to know
6 that?

7 A. Well, certainly now. I think in 1995 it might have been
8 different and that certainly somebody like Dr Armour,
9 who's been a member of the College of Pathologists for
10 a number of years and is experienced, she may be allowed
11 to be pretty independent.

12 THE CHAIRMAN: And the head or the consultant might trust
13 her judgment about coming to her if she needs assistance
14 or cover?

15 A. Yes.

16 THE CHAIRMAN: Okay.

17 MS ANYADIKE-DANES: So that would a practice that could be
18 developed in the department and she would know that she
19 is entitled to, maybe even expected, to do certain
20 autopsies by herself without showing them or discussing
21 them with anybody in particular unless she herself
22 thought she had a concern?

23 A. Yes, because it doesn't seem to be that there's any
24 actual guidance about whether it has to be a consultant
25 who finally approves of the work that's being done and

1 the reports that are being written. This is why I'm
2 finding it slightly difficult to answer these questions
3 because we don't have any definite pattern of
4 supervision. I think now it would be accepted that
5 anybody who's not a consultant would have to be
6 supervised and therefore have a consultant opinion.

7 MS ANYADIKE-DANES: Thank you very much indeed.

8 THE CHAIRMAN: Mr Boyle?

9 Questions from MR BOYLE

10 MR BOYLE: I ask questions on behalf of Dr Armour. It flows
11 from some of the questions you were asked a moment ago.
12 We are, of course, dealing with Adam, who was four years
13 old and went into the hospital for a kidney transplant.
14 There's nothing in his preoperative history that would
15 have called for a neuropathologist to have been involved
16 from the outset in performing an autopsy; is that fair?

17 A. I believe so.

18 Q. And there was nothing, as far as we are aware, in the
19 clinical history that Adam had any preoperative signs of
20 any neurological disease or abnormality?

21 A. No, I believe he was neurologically normal.

22 Q. And the history that the pathologist is therefore
23 provided with is a boy who comes in for a kidney
24 transplant, who suffers some kind of critical event
25 during the operation?

1 A. Yes.

2 Q. The kind of thing that might happen during the course of
3 an operation to give rise to cerebral oedema, swelling,
4 might be, for example, blood loss, hypoxia, something to
5 do with the equipment; correct?

6 A. Yes.

7 Q. Those would be probably your initial or your
8 differentials to start out with?

9 A. Yes.

10 Q. None of those either would be a trigger for
11 a neuropathological intervention at that stage, would
12 they?

13 A. That's correct.

14 Q. So there was nothing untoward with Dr Armour beginning
15 to perform this autopsy on Adam when she did?

16 A. No, I don't think so.

17 Q. Of course, Dr Armour has something of an advantage over
18 anybody who comes to report on it later than her,
19 someone like yourself, for example, because she has the
20 advantage of naked eye, having seen the brain; yes? And
21 I know you have adopted all of your reports, but in your
22 initial report the only photographs that you had were
23 the two poor black and white copies from the article by
24 Dr Armour; isn't that right?

25 A. That's correct.

1 Q. It was those poor black and white copies that you
2 compared with some colour photographs that you had from
3 cases of your own?

4 A. Yes.

5 Q. You have now, of course, had the benefit of seeing the
6 better quality colour photographs, all 20 of them?

7 A. Yes.

8 Q. And you refer to the swelling in some of those
9 photographs as "severe", don't you?

10 A. Yes.

11 Q. That, of course, is simply just on an eye view, you
12 didn't need to look under a microscope to come to that
13 conclusion?

14 A. That's right.

15 Q. In relation to the number of cuts that we have of the
16 brain, we have photographs of those too and you gave
17 evidence about them this morning. Again, just looking
18 at the naked eye, you were able to describe the swelling
19 and the degree of swelling; isn't that right?

20 A. Yes.

21 Q. And likewise, viewing those cuts with the naked eye, you
22 could see no evidence of hypoxia, ischaemia injury, the
23 HII; isn't that right?

24 A. We can't tell that with naked eye, we need microscopy.

25 Q. As far as the cuts themselves are concerned, did you

1 carry out any microscopic analysis or were you simply
2 reporting on that which had been reported before?

3 A. I didn't take any further tissue, I simply had the
4 blocks that had already been sampled.

5 Q. And in those blocks that had already been sampled, there
6 was no evidence, was there, of any neuropathological
7 event? There was no tumour, there was no thrombosis of
8 vessels, there was no evidence of meningitis, there was
9 none of that?

10 A. No.

11 Q. And the conclusion that Dr Armour reached that here we
12 had cerebral oedema -- and she refers of course, we
13 know, to dilutional hyponatraemia -- that's a view with
14 which you concur?

15 A. Yes.

16 Q. So without having referred it formally to a
17 neuropathologist, she came to that view, although we
18 know that there's a reference to Dr Mirakhur?

19 A. Yes.

20 Q. If, on a naked eye view, you have formed an opinion that
21 this is gross cerebral oedema, there's swelling,
22 you have taken cuts, it's been fixed and so on, if you
23 yourself can't see any evidence of, for example,
24 hypoxia, just to satisfy yourself that you're not
25 missing anything you might, back in 1995, have

1 informally asked a colleague for a second opinion?

2 A. Yes.

3 Q. That appears to be what Dr Armour has recorded in her
4 report. That would have been a perfectly acceptable
5 thing to have done at that time?

6 A. Yes.

7 MR BOYLE: Those are all my questions, thank you very much.

8 THE CHAIRMAN: Thank you, doctor, thank you very much for
9 your time and your contribution, it's been very, very
10 helpful and you are free to leave.

11 Unless there's any other point which needs to be
12 raised now, we'll reconvene tomorrow at 10 o'clock with
13 Dr Armour. Thank you.

14 (3.55 pm)

15 (The hearing adjourned until 10.00 am the following day)

16

17

18

19

20

21

22

23

24

25

1
2
3 DR MEENAKSHI MIRAKHUR (called)1
4 Questions from MS ANYADIKE-DANES1
5 Questions from MR BOYLE40
6 DR WANEY SQUIER (called)41
7 Questions from MS ANYADIKE-DANES41
8 Questions from MR BOYLE163
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

