

1 Wednesday, 16 May 2012

2 (10.00 am)

3 (Delay in proceedings)

4 (10.10 am)

5 THE CHAIRMAN: Good morning.

6 MS ANYADIKE-DANES: Good morning.

7 Good morning, ladies and gentlemen.

8 MR GEOFF KOFFMAN (called)

9 Questions from MS ANYADIKE-DANES

10 THE CHAIRMAN: It's "professor", isn't it?

11 A. No.

12 THE CHAIRMAN: Just plain mister, okay.

13 MS ANYADIKE-DANES: Good morning. Before I start to ask you
14 some questions, there is some business really to catch
15 up on with other matters.

16 The first is that I understand, during the evidence
17 of Dr O'Neill, he referred to a paper or a booklet.
18 Just so that you have the reference for it, it's
19 301-137-002. I think the actual part that he may have
20 been alluding to in terms of renal transplantation can
21 be found at 301-137-011.

22 THE CHAIRMAN: This is from the paediatric prescriber?

23 MS ANYADIKE-DANES: Yes. Then when Professor Gross was
24 giving his evidence, he referred to a number of
25 articles. I wasn't entirely sure that you had received

1 those. The first is that he produced a commentary on
2 the literature. That document can be found at
3 201-015-215. Then the actual articles that he referred
4 to -- there are a group of them and they start at
5 201-015-237 and just proceed consecutively from there.

6 THE CHAIRMAN: Okay. That's us up-to-date?

7 MS ANYADIKE-DANES: I hope so. If there's anything else,
8 I will deal with it at one of the breaks.

9 Mr Koffman, firstly, do you have a copy of your CV
10 there?

11 A. Yes.

12 Q. This is a document that, if all of you don't have a copy
13 of it, you'll find a reference to it at 306-053-001.
14 There we are. I wonder if I can just take you through
15 some parts of that. You became a consultant in 1985; is
16 that right?

17 A. Yes.

18 Q. And you were also a director of transplantation at Guy's
19 from 1998 to present day.

20 A. Yes.

21 Q. I wonder if you can describe something of what the
22 paediatric renal transplantation service was like in
23 your hospital when you became a consultant in 1985 --
24 just so that we have a understanding of what the service
25 was like -- and then if you can bring us up to 1995,

1 which is really the period that's of relevance to Adam's
2 case.

3 A. Yes. It's not that easy to go back and remember.

4 Q. I'm sure it's not.

5 A. But when I was appointed to work in the adult and
6 children's unit at Guy's Hospital, this was, I think,
7 the largest paediatric transplant centre in the country.
8 I was a trainee, relatively inexperienced, and I found
9 myself taking over a programme like that in London,
10 which was quite a formidable task. The number of
11 children that get transplanted every year is about 10
12 per cent of the adult number, so we're talking about
13 quite small numbers throughout the country.

14 So the issue of surgeons doing operations on small
15 children for transplantation purposes around the country
16 is a major issue to be addressed and I think it's still
17 a problem now. Over the years, I built up a bigger team
18 and we have a team of about eight surgeons now, all of
19 whom can do adult and paediatric transplants in London
20 and for the surrounding hospitals that refer into us.
21 We do about 40 transplants a year because I manage the
22 transplants at Great Ormond Street Hospital, which is
23 a large transplant unit, and at Guy's at the Evelina
24 Hospital.

25 Q. Does that mean you're a referring hospital for complex

1 cases?

2 A. Yes, I think it's particularly the small children.

3 I think it's commonly agreed that teenagers and older

4 children are not so much of a problem, they're more like

5 adults. But it's the young children, probably the under

6 fives, I would say -- or the under sixes -- children

7 under the weight of about 20 kilos.

8 Q. Does that mean Adam's roughly in that category?

9 A. Adam was just about on the edge of that group of

10 patients.

11 Q. Yes.

12 A. But I would have put him in that under five category and

13 treated him differently from the normal adult or teenage

14 type of transplant.

15 Q. If you can recall, in 1995, what was the size of team

16 that you had?

17 A. In terms of surgical team?

18 Q. Yes.

19 A. Just me and a trainee, that's it, to be on call all the

20 time. There was no real rota, there was no group. It

21 was really just providing a service for adults and

22 children. When you are working like that, it means that

23 you really are more of a technician than a holistic

24 doctor. You have to rely on other members of the team

25 to provide the input, the day-to-day input, and

1 management of a child.

2 Q. Yes, and now that you mention that, there's been quite
3 a lot of evidence given as to the existence of or the
4 benefits of what's called multidisciplinary teams, and
5 that has come to mean a number of things, but in the
6 sense I'm going to ask you now is the extent to which
7 there was surgical input in that management or planning
8 of the child once it was appreciated that a child had
9 reached a stage where they were going on the transplant
10 register and they were looking towards a renal
11 transplant.

12 MR FORTUNE: Sir, before we get into that, can we establish
13 from Mr Koffman what he means by "a trainee" in terms of
14 how many years postgraduate experience?

15 MS ANYADIKE-DANES: Of course.

16 A. It's a variable definition really, unfortunately. It
17 could be -- a trainee could be an overseas doctor who
18 wanted to come to the UK and study transplantation. It
19 could be a fellow at a fairly junior level who's doing
20 some research. It could be an SPR on a training
21 programme. It could be any of those. I'm talking about
22 25 years ago.

23 THE CHAIRMAN: Sorry, you're talking about 1995 or 1985?

24 A. Well, I'm talking about when I first started.

25 THE CHAIRMAN: Okay. Then there's been a slight

1 misunderstanding because I think the questions you were
2 asked related to 1995. But let's just go back a little
3 bit.

4 In 1985, Mr Koffman, and in the succeeding years,
5 how would the number of paediatric transplants you were
6 doing compare to the number you were doing 10 or
7 20 years later? Were the numbers much smaller because
8 it was a developing field?

9 A. They were smaller because, I think, in the those days,
10 the young children -- very young children, under five --
11 were not being transplanted generally in the UK. Guy's
12 was the first place that started transplanting young
13 children successfully from the age of about one
14 year-old.

15 MS ANYADIKE-DANES: And roughly when was that that you
16 started doing that?

17 A. I started it in 1985. It had been going on in London
18 before I got there.

19 Q. But if we then bring your service up to 1995, in 1995,
20 what was the team like?

21 A. In 1995, two surgeons, still no regular trainee, so to
22 answer the question from the floor, there wasn't really
23 a built-in trainee and I don't really see the relevance
24 of the question anyway because it was led by the
25 consultants. So whether or not there was a trainee

1 involved is, to my mind, meaningless.

2 Q. Okay. But now you have got a consultant and two other
3 surgeons?

4 A. So we have two consultant surgeons, myself and
5 a colleague, providing that service with possible
6 trainee input.

7 Q. Yes. And then if you have that, then let's take the
8 scenario where you have a child who the nephrologist
9 team, if I can put it that way, have decided that that
10 child really ought to go on to the transplant
11 register --

12 A. Before we were interrupted, you asked me a question
13 about teamworking and I will try and answer that.

14 Q. Thank you.

15 A. So yes, it's very important that the surgeon is part of
16 the team. It's very important that the surgeon sees the
17 patient beforehand and assesses the patient, talks to
18 the family, works out how difficult the operation may
19 be. It's clearly vitally important. As far as the
20 preparation of the child immediately before the
21 transplant is concerned, that's usually in the very
22 capable hands of the paediatric nephrologists and I'm
23 sure it was in Adam's case and it was always in the
24 hospitals I worked in at Guy's and Great Ormond Street.
25 So great confidence in the team managing the child on

1 dialysis or in preparation for transplantation, but not
2 arriving as a pure technician from a surgical point of
3 view, arriving with a previous assessment of the child
4 and a discussion with the family. But that's not always
5 possible for the surgeon to do because, obviously, if
6 it's a team of surgeons only one person will see and
7 assess the patient and the other surgeons would have to
8 accept the view of that surgeon.

9 Q. But even if it was going to be done in that way, just so
10 that I'm clear about what you're saying, are you saying
11 that, of course, it would be a very good idea if the
12 actual surgeon was able to do that, but even if that
13 surgeon wasn't going to do that, a surgeon ought to be
14 doing it?

15 A. Yes. That's what I said.

16 Q. Has that always been the case so far as you're
17 concerned?

18 A. Yes.

19 Q. Thank you.

20 A. And it's a team, so you have to be able to trust the
21 judgment of the person who's done the assessment. If
22 you're a team of eight surgeons, which we are now, doing
23 250 transplants a year, then the patients are going to
24 be assessed and evaluated by a number -- you know, any
25 one of that team and any one of that team could operate

1 on the patient.

2 Q. In addition to assessing the patient, do you see the
3 surgeon as having a role in meeting the family -- I mean
4 not literally immediately prior to the surgery, I mean
5 in this preparatory phase -- as well, or is that really
6 confined just to examining the child?

7 A. No, no, no, it's built into our protocol that they have
8 to be seen by a surgeon and a discussion takes place
9 with the child and the family about the operation and
10 its risks and benefits and complications. So it's
11 a whole list of criteria that we discuss with the
12 family. That's done well before the transplant. So
13 there isn't really a need to go through this whole
14 process again just before the transplant. It's totally
15 unnecessary.

16 Q. That's just what I was going to put to you.

17 A. Because all the information and the education and
18 groundwork has been done in advance. It's not good
19 practice to leave all this discussion until the night
20 before or the morning before major surgery because the
21 family and the patient will not be able to take all this
22 information in. So it has to be done well in advance,
23 all the information given, patient given the opportunity
24 with the family to come to education days or a day where
25 they will learn more details about the operation. So

1 all this is done in advance.

2 The actual consent, although it is conventionally
3 done by the surgical team now, didn't used to be.
4 In the 1990s, I quite often did not do the consent
5 myself. I allowed it to be done by the paediatric
6 nephrology team, although now that is not acceptable
7 practice.

8 Q. But is that why? Because by that time, the surgeons had
9 already had their input with the family as to the risks
10 and how the surgery might proceed.

11 A. Precisely, yes.

12 THE CHAIRMAN: You know the point that has arisen in Adam's
13 circumstances, which are that although Professor Savage
14 was close to the family and had treated Adam regularly,
15 neither the surgeon nor the anaesthetist who performed
16 the operation had seen Adam before the operation at any
17 point, nor had they met his mother at any point
18 beforehand.

19 Going back to about 1995, rather than today's
20 practices, in 1995 that would not have been the way it
21 was done by your team?

22 A. No, absolutely not. Although I said -- I was talking
23 about consent, I would never operate on a patient
24 without seeing them beforehand.

25 THE CHAIRMAN: Full stop?

1 A. Even if I hadn't taken the consent an hour or so
2 earlier, I would always see the patient and the family
3 before starting the operation.

4 THE CHAIRMAN: You talked about you now having eight
5 surgeons. I presume that's for adult and paediatric --

6 A. So would all the other surgeons. They would always see
7 the family before operating.

8 THE CHAIRMAN: So even if one of your team of eight had been
9 the person who had met the family before or met the
10 patient before and had done the assessment and had
11 provided the information --

12 A. That might have been done six months or a year before
13 and there are a few new issues always to discuss
14 because, (a), it's good to introduce oneself as the
15 surgeon doing the operation, (b), there will be issues
16 about the kidney that you are going to use and, although
17 that will have been discussed between the surgeons and
18 the nephrologist, any particular aspect of the kidney
19 that you're proposing to use for the transplant will
20 need to be passed on to the family because if this was
21 a kidney that you felt was more likely to give
22 complications, then I think it would be important to
23 mention that. I'm not sure this kidney fitted into that
24 category, but I'm just giving you an idea of what
25 I would discuss with the family.

1 THE CHAIRMAN: Yes. There are some differences about --
2 Messrs Rigg and Forsythe have said their inclination is
3 they would not have accepted this kidney, but they
4 accepted other surgeons would have accepted it. And
5 I think you say this was an acceptable kidney?
6 A. This was a perfectly acceptable kidney.
7 THE CHAIRMAN: Okay. But even that being so, you would
8 still want a surgeon to have discussed that with the
9 family before the operation?
10 A. If there was an issue about the kidney then you would
11 maybe want to talk to the family about it, yes.
12 MS ANYADIKE-DANES: I wonder if we could pull up what
13 Professor Savage says he actually did discuss with the
14 mother. We have his statement, 002/2, page 12. It is
15 the answer to the question 6(b), so it's that last full
16 paragraph. If we go a few lines down, it says:
17 "To the best of my recollection ..."
18 So in fairness, Professor Savage, of course, is
19 doing the best he can because he readily accepts he
20 didn't make any notes of what he actually discussed:
21 "To the best of my recollection, I would have
22 informed her that it was an adult kidney which the
23 transplant surgeon planned to use. It is likely that I
24 informed her that a paediatric surgeon would also be
25 involved in the surgery who had knowledge of Adam's

1 previous surgery. I would have explained that we needed
2 to cross-match several units of blood because of the
3 risk of blood loss during surgery, so that this might be
4 replaced. I would have explained the need for the
5 change in his normal overnight feeds so that his stomach
6 was empty and also the plan to give him some intravenous
7 fluids once tube feeds ceased. I do not remember in
8 what detail I discussed the risk to Adam's life."

9 Adam's mother has also her view of what was raised
10 with her, but if we just stick with what
11 Professor Savage has said, is there anything else that
12 in the circumstances -- you have read the papers and
13 we have read the transcripts. Is there anything else
14 that you think ought to have been raised?

15 A. To illustrate what I mean by the value of a surgical
16 discussion just before the operation, I would accept
17 that what Professor Savage consented, the way he did
18 consent, was excellent, that's fine. But what the
19 surgeon could bring to this would be the fact that you
20 could decide which side the kidney was going to be put
21 on, you could discuss the fact that there were two
22 arteries to this kidney, and that immediately puts it in
23 a slightly higher risk category. It's perfectly
24 acceptable to use a kidney with two arteries, but there
25 is a higher risk of thrombosis, arterial thrombosis, in

1 a kidney with two arteries. So I would have said
2 there's a slightly higher risk. And Miss Strain would
3 probably have said, "What sort of risk are you talking
4 about?", I'd have said, "An extra 1 or 2 per cent risk
5 of failure due to thrombosis". That's what I would have
6 said in 1995 and I would still say that today.

7 So whereas that might not seem to be hugely
8 significant, I think it's important to talk to the
9 family about issues like that that Professor Savage
10 would not have the knowledge to be able to discuss.

11 Q. Well, actually, Mr Keane, when he was asked in evidence
12 about that, his witness statement was to the effect that
13 he thought that Professor Savage was as capable as
14 he was to be able to discuss the kidney and other
15 surgical issues. We can go exactly to the witness
16 statement if anybody wants to, but I think that's the
17 essence of what he was saying.

18 A. I've just said what I said and it's not the same as
19 that --

20 Q. I understand that.

21 A. -- so there's no point in labouring it, I don't think.

22 MR FORTUNE: Sir, Professor Savage did expect Mr Keane to go
23 and see the mother before surgery took place.

24 THE CHAIRMAN: And both Mr Keane and Dr Taylor have
25 expressed regret that they did not do that, which would

1 have been their normal practice.

2 MR FORTUNE: And that would have been the opportunity,
3 in the case of Mr Keane, to have either given that
4 information or to have answered any questions --

5 MS ANYADIKE-DANES: Mr Fortune, I accept that. It would
6 have given him that opportunity, but that's not what he
7 said he would have done. That's a different thing.

8 MR FORTUNE: But so far as Professor Savage is concerned,
9 his expectation was, as he told the chairman, that both
10 Mr Keane and Dr Taylor would see the mother.

11 MS ANYADIKE-DANES: I'm not sure that that is correct
12 because -- sorry, if you'll bear with me, we'll look for
13 it in the evidence, but Mr Keane raised the fact that he
14 had specifically asked Professor Savage whether the
15 mother wanted to see him so that he could explain any
16 matters and, as I understand it -- and we'll find the
17 relevant part of Mr Keane's evidence if necessary -- the
18 answer that he got back from Professor Savage was: no,
19 she didn't need to see him, he'd covered everything.
20 And I don't think that Professor Savage challenged that
21 view, but we can come to it. So he may have thought
22 that Mr Keane was going to see the mother, but in terms
23 of imparting information and consent, the evidence seems
24 to be that he thought that he had done all that was
25 necessary and, for that matter, Mr Keane thought that

1 he had done all that was necessary. But if there is
2 an issue about it, over the mid-morning break, we will
3 go to the evidence and see exactly what they do say, but
4 that's my understanding of the evidence.

5 A. So I think, if I may just say, I think there has been
6 a gradual change in practice over the years and I think
7 that it's not -- it was common practice in the 1990s for
8 the paediatric nephrologists to be really in control of
9 everything that happened to that child and the surgical
10 teams to be performing the technical side of the
11 operation and having not too much input afterwards
12 unless there were any surgical complications. That was
13 really defined by the fact that, in this particular
14 case, just as an example, Mr Keane was a busy urologist,
15 he got called away to an emergency right at the end of
16 this operation and probably had many other commitments,
17 which meant that he would not have been able to provide
18 round-the-clock care from a surgical point of view, to
19 be part of that team. So at that time, he would have
20 had to trust the paediatric nephrology team.

21 Q. Yes.

22 A. And he would have been able to because they were of the
23 highest quality, I think, and I have no worries about
24 that, if you're just talking about the consent and the
25 amount of knowledge that Mrs Strain had. If we'd thrown

1 into the mix the possible slightly higher risk of
2 a complication because of the two arteries, if she had
3 said, "Would you still go ahead with the transplant?",
4 then everybody would have said yes, I think. So I don't
5 think it would have made any difference to whether we
6 went ahead with the operation or not.

7 Q. Well, it's a matter for the chairman to determine those
8 matters, but from my point of view, I'm simply trying to
9 elicit what information reasonably could have been
10 conveyed, who should have conveyed it and when they
11 should have conveyed it. And I think we've had your
12 view that that issue to do with the two arteries is
13 something that you, as a surgeon, would have conveyed
14 although you would have addressed the risk of that with
15 the mother. But it's still information you would have
16 conveyed, which is particularly surgical information.

17 If one goes to your own report at 094-007-031, where
18 you're addressing specifically this issue of consent,
19 not the build-up of information that could be provided
20 in terms of surgical input, but literally the taking of
21 consent, the signing of the form. That's what you're
22 dealing with in the answer to that paragraph at 3.1. So
23 you say:

24 "It would be normal practice for the paediatric
25 nephrologist to do that in the mid 1990s."

1 Then you say:

2 "It would be important to view the consent form and,
3 if possible, review the topics that were discussed with
4 Adam's mother, including risk of death and serious
5 adverse events from the procedure."

6 If I can take that in stages. Firstly, what is it
7 that you would have expected to glean from the consent
8 form?

9 A. Well, I didn't see the consent form in the notes --

10 Q. I appreciate that.

11 A. -- and the information I was given and I didn't know
12 what Dr Savage had discussed with the family, so --

13 Q. Let me take you --

14 A. -- to simply see what --

15 Q. I can take you to the consent form. Its 058-039-185,
16 but what I was trying to get from you is what
17 information or records you thought ought to have been
18 maintained on this form. That's it there. It's fairly
19 straightforward.

20 A. Consent forms have changed a lot now. Now, you have to
21 enumerate all the possible risks and complications and
22 write down what you've actually discussed. This
23 wasn't -- so I just wondered if there was any evidence
24 on the consent form of what had been discussed, but I'm
25 not surprised that there isn't and it doesn't mean that

1 this wasn't discussed; it's just not written down on the
2 form.

3 Q. No, no, I'm not addressing that point. If you look at
4 this consent form, are you able to say -- and it may be
5 that it's so far removed from then that you can't -- how
6 this might have compared with the consent forms that
7 would have been used in your hospital in 1995?

8 A. That's pretty standard, yes.

9 Q. We can go to what was being proposed. We can go to it
10 at 305-002-018. This form was attached to a guidance
11 that came with a letter from management executive, dated
12 6 October 1995. It's going to be an issue for another
13 hearing as to exactly what happened to that guidance and
14 these specimen consent forms, but in any event, this was
15 what was being proposed in 1995, just prior to Adam's
16 surgery. You can see that under the section that deals
17 with patient/parent/guardian, there's quite a bit more
18 information being conveyed there. So even towards the
19 end of 1995 in Belfast or Northern Ireland, it was
20 anticipated that there would be consent with more
21 information than was recorded on the form that Adam's
22 mother signed, which was why I asked you how that form,
23 as opposed to a form like this, compared to what you
24 were using in London.

25 It may be that that is too far back for you to try

1 and remember.

2 A. Much too far back.

3 Q. I quite understand that. But the other thing that
4 I wanted to raise with you from your report is you had
5 referred to the risks as well. If we go back to your
6 report at paragraph 3.1, what you say in the last part
7 of that final sentence:

8 " ... including the risk of death and serious
9 adverse events from the procedure."

10 What, as a surgeon in 1995, would you have been
11 wanting to convey to Adam's mother about those two
12 things?

13 A. Well, to me, this is the most important part of the
14 consent form --

15 Q. I understand.

16 A. -- or the consent process.

17 Q. Yes.

18 A. Because I think there's a limit to what you can discuss
19 just before a transplant, like we said, and it would not
20 really be fair to expect a mother to take in a vast
21 amount of information. This discussion about risk,
22 mortality, adverse events and benefits should have taken
23 place a long time before this in the form of
24 information, particularly written information. That's
25 the norm now, but of course you still have to sign

1 a consent form.

2 Q. Yes.

3 A. And it's appropriate that that's done just before. So
4 it's still appropriate that risk of death would be
5 discussed with the mother before the transplant
6 operation and risk of complications and risk of death,
7 statistically, would have been one in a hundred in the
8 perioperative period, approximately, in 1995.

9 Risk of serious adverse events, there would have
10 been a list of them. One of them would have been
11 bleeding, the other would have been thrombosis of the
12 blood vessels in the kidney with a risk of about 1 to 2
13 per cent of that. Risk of bleeding, of him needing a
14 transfusion, 10 per cent risk of that I would say. And
15 there's a whole other list of complications that I would
16 have briefly gone through with the mother.

17 Q. Are you able to say what they would have been?

18 A. Yes, but how long have you got? I'm only here for
19 a day.

20 Q. How long would you have spent taking the mother through
21 that?

22 A. Well, briefly through the major possible risks.

23 Q. Which would have been?

24 A. Which would have been urinary leaking, wound dehiscence,
25 wound infection, chest infection and acute rejection,

1 unless I've already just mentioned that, hyperacute
2 rejection. So those would be the major risks, but
3 I certainly would not have discussed the risk of death
4 from intercerebral swelling because that is so rare,
5 I've only encountered one case in 30 years of practice.
6 I would not have mentioned that.

7 THE CHAIRMAN: Mr Koffman, if I understand you correctly,
8 there's a limit to the amount that any parent can take
9 in in the hours immediately before the operation and
10 that's why it's really not a very good time to go
11 through all this with them. That is exactly why it's an
12 earlier part of the process from, really, the point when
13 he's on or about to be placed on the transplant register
14 that you start to go through this.

15 A. Yes.

16 THE CHAIRMAN: So the consent which is eventually signed is
17 really a consent based on an accumulation of knowledge
18 generally.

19 A. Yes.

20 THE CHAIRMAN: And then any precise additional information
21 about the donor kidney, for instance, that although it's
22 a minor risk, the risk arising from the fact that it had
23 two arteries.

24 A. I'm sure that Professor Savage knew that these things
25 had been discussed and the information had been given.

1 It was unnecessary for him to go through that again with
2 the family.

3 MS ANYADIKE-DANES: Yes, Mr Koffman. My question to you was
4 slightly different though. To be precise, if you had
5 been taking that final consent, literally the signing of
6 the document, that consent, what would you --

7 A. I would have made sure that they had been through an
8 information-giving process beforehand. And if they had,
9 then it was unnecessary for me to go through that again.

10 THE CHAIRMAN: That process would have included the surgeon?

11 A. Yes, it should have done, but I don't think in this case
12 it did, but I would have expected it. In my practice,
13 it would have involved a surgeon giving all that
14 information at an earlier stage so the mother could
15 decide whether she wanted her child to go on the list
16 for a transplant with those risk factors that we've
17 outlined.

18 MS ANYADIKE-DANES: Yes.

19 A. That would also involve discussion of the benefits of
20 having a transplant.

21 Q. Of course.

22 A. And she would be able to make a decision: was it
23 appropriate to do a transplant on her son at this stage?
24 That decision would have been made. The only new
25 information to give would be any new factors that may

1 have happened to Adam or any other child in the interim
2 and any other factors involving the kidney.

3 Q. I appreciate that. The point that I'm trying to get at
4 is that if you're taking that consent and your answer to
5 me was, "Well, I would have checked that all that had
6 been gone through with her". If you were to find that,
7 actually, there had been no contact with the surgeon, so
8 there had been no surgical input, if I can put it that
9 way, into the information that she had, what would you
10 have been telling her when you were taking her consent?

11 A. That information doesn't have to come from a surgeon.

12 Q. I appreciate that.

13 A. It's available. It's statistically available in
14 published data about complication rates and so on.
15 That's where I got my data on kidneys with multiple
16 arteries. It's published data. And Professor Keane and
17 his team probably would have known all this and they
18 would have been able to give the information even if
19 there wasn't surgical involvement.

20 Q. Sorry, it's a different question that I'm asking you.

21 I'm not saying whether all this is available to them
22 and they could have done it. The point that I'm getting
23 at is: if you were to find, for any reason, that all
24 those risk factors that you just outlined to us had not
25 been gone through -- there had been no surgical input,

1 as you would have it -- and thought was important, and
2 you found yourself in the position of about to
3 transplant this child and having the role of taking that
4 signed consent, my question to you is: what information
5 would you have been giving Adam's mother?

6 A. Well, if I --

7 MR MILLAR: Sorry to interrupt, professor. It's entirely
8 artificial, this questioning, because Professor Savage
9 we know from the evidence -- and it's important the
10 witness understands this -- the consultant nephrologist
11 is the person who personally took Mrs Strain through the
12 entire process of placing Adam on the transplant list.
13 So he has personally done all that. He goes to some
14 length in his witness statement to describe all the
15 matters that he discussed with her and explained to her.
16 He personally is the one taking consent on the eve of
17 surgery. So a scenario in which he doesn't understand
18 in his own mind what he has done previously seems
19 artificial. There's a continuity in this whole process,
20 which is one of the positive things about this case.
21 Professor Savage has been involved intimately throughout
22 the process so on the eve of surgery he knows everything
23 that has gone before.

24 MS ANYADIKE-DANES: Mr Millar, it's a continuity that is
25 missing the input of a surgeon, which this witness had

1 said, in his unit, that's what would have happened and
2 he regarded that as important. So I'm simply trying to
3 establish, for the benefit of the inquiry, if he thinks
4 that that was important and, if he discovered that had
5 not happened, what would he, in discharging his duties
6 as a surgeon, have addressed with that mother that
7 night. That's what I'm trying to find out.

8 THE CHAIRMAN: Would you have felt it -- this is putting
9 yourself back into the mid-1990s in a scenario which
10 wasn't your scenario in London, but which was the
11 scenario here that it was Professor Savage who had been
12 involved with Adam and other families throughout the
13 run-up to transplants. He regularly took the consents
14 and there does not appear to have been a practice of
15 involving a surgeon, whether it's Mr Keane or anybody
16 else, at earlier stages, such as you had in London.

17 If you were then the surgeon coming in to do the
18 transplant and you were aware that no surgeon had spoken
19 to Adam's family, would you have been content to proceed
20 on that basis or would you have thought --

21 A. Okay, I've got the gist of the questioning. It's a very
22 interesting question about consent and it's still
23 evolving. And what was acceptable in 1995 -- and
24 I can't say it wasn't acceptable for Professor Keane to
25 be doing this because that was what was done in lots of

1 other centres. It was normal practice. I'm sure

2 Professor Keane knew --

3 Q. Professor Savage, I think.

4 A. -- better than anybody else.

5 Q. I think you mean Professor Savage.

6 A. Professor Savage, sorry, I do. But Professor Savage

7 could not do the operation.

8 Q. Yes.

9 A. Professor Savage probably didn't know the risk or the

10 complications. I'm just illustrating why it is good

11 practice to have surgical input.

12 Okay, so back to this specific question. If I had

13 gone in to see this child and his mother and found that

14 she was unaware of the risks, I would have had to make

15 a decision about whether to go ahead with the operation

16 or give her the information briefly before asking her to

17 verify that she was still happy to go ahead. I would

18 have opted for the latter because I think I would have

19 felt that this was still -- the transplant was very much

20 worth doing and in Adam's best interests to have

21 a transplant at this stage. I would have explained

22 those risks that I've just outlined to you. And if she

23 had asked my advice, I would have said, "Yes, it is

24 worth going ahead".

25 THE CHAIRMAN: Sorry, Mr Koffman. That answer is based on

1 the proposition that you would have spoken to her and
2 found out if she knew the risks. That isn't this
3 scenario; this scenario is that Mr Keane didn't speak to
4 her at all.

5 A. Yes. So I mean, we're talking hypothetically.

6 THE CHAIRMAN: Sorry, we are not talking hypothetically
7 because, as a matter of fact, the surgeon who conducted
8 the operation had not spoken to the mother before --

9 A. I'm aware of that, but we are talking hypothetically in
10 asking me to give my opinion about a hypothetical
11 situation. If I had been involved in the case, what
12 would I have done? And I would have -- I have just told
13 you what I would have done. I'm fully aware that
14 Mr Keane did not discuss it with the patient. That is
15 not hypothetical, but the question to me was
16 hypothetical.

17 THE CHAIRMAN: What would you have done?

18 A. I have just told you what I would have done. I made it
19 clear. If there's a different question, I will try and
20 answer that.

21 MR FORTUNE: Sir, where are we going with this line?

22 Because --

23 MS ANYADIKE-DANES: We've addressed it now, I think, if

24 I may say so. I was just going to -- just for

25 fairness -- put to Mr Koffman what Professor Forsythe

1 and Mr Rigg said. They said they would either have
2 taken the consent themselves or they would have
3 confirmed that those matters had been addressed, which
4 I think may be quite close to what you're saying in the
5 sense of --

6 A. Very similar to what I've said, but that was
7 a hypothetical question as well.

8 Q. It was.

9 MR MILLAR: I think it's always difficult whenever
10 a witness, such as Mr Koffman, maybe doesn't have the
11 full feel of certain aspects of the evidence. But
12 I think my learned friend should also make it clear to
13 the witness that Mr Keane had a number of discussions
14 with Professor Savage that night and among those
15 discussions was a specific discussion about, "Have you
16 seen the mother, is she happy, does she want to see me,
17 is there any issue she wants to discuss?", and the fact
18 that Mr Keane had been working closely with
19 Professor Savage over a period of time in relation to
20 these transplants.

21 It was quite clear, sir, from both of their
22 evidences, the idea that Mr Keane might have had it in
23 mind that Professor Savage hadn't bothered to go through
24 all these issues with the mother is just something that
25 never would have occurred to him. Not only are some of

1 the points hypothetical, but they're totally fictitious.
2 They're so far removed from the reality as to make the
3 whole thing unreal.

4 THE CHAIRMAN: I'm not sure that you can say so absolutely
5 that things are quite clear from the evidence of
6 Mr Keane and Professor Savage. That's a submission,
7 Mr Millar, and don't make it again; okay?

8 A. Excuse me, chairman --

9 THE CHAIRMAN: Sorry, I'm speaking to counsel. Just have
10 some patience, Mr Koffman; okay?

11 Don't start making submissions as interruptions to
12 the inquiry. That's not helpful. And, I'm afraid,
13 Mr Koffman, some of your attitude isn't very helpful
14 this morning. People calm down and we'll get on with
15 the questioning.

16 MR FORTUNE: Sir, may I suggest that we have a short
17 adjournment for people to reflect on their positions?

18 THE CHAIRMAN: No, I think we'll continue, but I would like
19 the witness to be, perhaps, a little bit less abrasive
20 and I would like the questioning to continue.

21 MS ANYADIKE-DANES: Thank you, Mr Chairman.

22 I wonder if we can move on to the question of the
23 surgical vein choice, which is also allied to the issue
24 of the approach of the surgery, if I can put it that
25 way.

1 If we were following sequentially through your
2 report, you had also dealt with preoperative electrolyte
3 testing, but I don't think there is anybody who doesn't
4 think that that would have been a helpful thing to do
5 and I think that Dr Taylor has conceded that, Mr Keane
6 has said it would have been helpful and, in fact,
7 Professor Savage wanted it to happen. So you also think
8 it would have been helpful, so I think that everybody's
9 in agreement about that.

10 So if we can move to the surgical vein choice.
11 I think that arises in section 3.3 of your report, which
12 is at 094-007-032. It's halfway down in that paragraph.
13 You say:

14 "The principle of the surgery is the same for both
15 children and adults ... The major decision would have
16 been about where to anastomose the transplant renal
17 vessels (artery and vein) to the iliac vessels, as in
18 adults, or, because of Adam's small size, to choose
19 larger blood vessels such as the aorta and vena cava for
20 those anastomoses, which would entail a different
21 approach."

22 Then you go on to say:

23 "In the event, they chose to use the iliac vessels
24 and although this is not the approach I would normally
25 use for a four-year-old, 20-kilogram child, it is used

1 by some surgeons carrying out paediatric transplants."

2 If we stop there. Firstly, can you explain, in
3 1995 -- just in case your approach has differed -- what
4 would have been your approach for a 4 year-old,
5 20-kilogram child?

6 A. That age and weight is very much on the borderline
7 between the small child that I outlined and the slightly
8 more straightforward older child. But what I would have
9 done then and now would be to use an approach to the
10 major blood vessels, the aorta and vena cava, and
11 I would have done an intraperitoneal approach, but
12 colleagues I know would have done an extraperitoneal
13 approach on to the iliac vessels.

14 Q. Which iliac vessels?

15 A. Well, there's the internal and the external and common
16 iliac vessels. I think most people would have chosen
17 the common iliac vessel.

18 Q. This may or may not help, but it's a diagram in any
19 event which might help to locate it for those of us who
20 are not so familiar with the anatomy. 203-004-082.

21 It's just a rough drawing. Are you able to say what you
22 would have done in relation to the anastomoses by
23 reference to that diagram?

24 A. Yes.

25 Q. You can direct a pointer, I think. I think we have that

1 technology.

2 A. I think it's labelled "aorta" --

3 Q. Yes.

4 A. -- and "inferior vena cava". So I'd have used those

5 vessels below the level of the right kidney. This right

6 kidney is a normal-sized kidney, but in someone with

7 kidney failure, it's almost always a lot smaller than

8 that, so there's more room to put the new kidney in.

9 It would either be on the aorta and IVC -- that's

10 inferior vena cava -- or the common iliac artery and the

11 common iliac vein. In fact, it was put on, according to

12 the operation, on to the external iliac artery and

13 external iliac vein.

14 Q. So why, if you weren't going to use the aorta and vena

15 cava, why would you have used the common iliacs as

16 opposed to the external?

17 A. It's not really which one you use, it's how big the

18 artery and vein is, how big each of those vessels is.

19 Because you're using an adult-sized kidney -- a

20 16-year-old kidney probably was nearly an adult-size

21 kidney -- it's really to make sure there's not a big

22 disparity between the size of blood vessels. These

23 vessels really are quite small and to do an accurate

24 anastomosis on to a very small vessel is more difficult.

25 Q. And what --

1 A. To use a larger vessel like the aorta actually makes it
2 easier to do the operation.

3 Q. Yes, well, apart from the ease of, literally, the
4 physical joining of the two vessels, does it have
5 another significance to use a larger vessel?

6 A. Not really, no.

7 Q. Does it make any difference as to whether it has an
8 adequate blood supply, does it make any difference to
9 the size of the vessel?

10 A. Not really.

11 Q. I think the evidence from Professor Forsythe and Mr Rigg
12 is that they would have used the larger blood vessels to
13 ensure that the child's blood supply was getting to
14 what was, essentially, an adult-size kidney,
15 effectively, if I can put it that way, and therefore
16 ensuring that it had its best chance of perfusion and so
17 forth.

18 A. I think there's something in that, but it depends on the
19 size of the vessel itself and the size of the vessel
20 that you're joining on to it and the size of the kidney.
21 I don't know what those are and what those dimensions
22 are. In adult practice and teenage children practice,
23 it's very common to use the external iliac artery and
24 many surgeons do. I virtually never do; I always prefer
25 to use the common iliac artery -- because it's larger --

1 for virtually all my transplants, but many surgeons use
2 the external iliac artery.

3 Q. On children as small as this?

4 A. I don't know. I don't think so. I think this is --
5 it's unusual to use the external iliac artery for
6 a young child and for an adult size kidney. It would be
7 unusual, but it depends on the size of the blood vessel.

8 Q. I understand that. You have said that, actually, it's
9 just easier to anastomose onto the larger vessels. Is
10 there any other reason why you wouldn't do that if it's
11 easier?

12 A. When I say it's "easier", it is easier to perform the
13 anastomosis, which is actually where you stitch the
14 blood vessels together. But to get access to the aorta
15 or the common iliac artery is more difficult in
16 preparation for that. So you have to do quite a lot of
17 dissection to get to those vessels. It's more difficult
18 to get to those vessels, but once you've got those
19 vessels mobilised, it's then easier to do the transplant
20 itself.

21 Q. I understand.

22 A. So it's a decision to make about whether to spend maybe
23 an extra half an hour trying to get to the aorta or
24 common iliac vessels and then making the anastomosis
25 easier, or saving time on that and having a slightly

1 more difficult anastomosis to create. The other factor
2 is that this child had had a lot of previous surgery to
3 the lower end of his ureters, two re-implantations, and
4 that's right at the area where the common iliac vessels
5 are and that would have made it very difficult to get at
6 those blood vessels. So I presume Mr Keane chose the
7 external iliac artery because it was more accessible and
8 he must have felt it was the right size to be able to
9 perform the operation.

10 Now, in his chapter --

11 Q. I was just going to take you to that --

12 A. -- in Mary McGeown's book in 1992 --

13 Q. His chapter starts at 306-054-001, and there is
14 a specific section of it that is devoted to
15 transplantation in children. That is to be found at
16 306-054-010.

17 A. Just from reading it briefly, can I -- I think it's the
18 next page.

19 Q. Yes. I think it's 5.1.2, which deals with vascular
20 anastomosis.

21 A. That's the next page.

22 Q. Perhaps blow that up a little bit. Yes.

23 A. So he's saying that the adult kidney transplanted into
24 the child:

25 "The vascular anastomoses don't pose any technical

1 difficulties, provided the graft vessels are anastomosed
2 onto suitable sized recipient vessels, such as the
3 common iliacs, aorta or vena cava."

4 Which I would totally agree with. But he used a
5 smaller vessel -- it may have been smaller because we
6 just don't know how big that vessel was, so we can't say
7 it was inappropriate to use it as we did not see the
8 dimensions of that vessel. It may have been as big as
9 the common iliac vessel, in which case it was perfectly
10 justifiable for Mr Keane to use it.

11 Q. How often does that happen in a child of that size?

12 A. Quite often.

13 Q. One of the things that Mr Keane did say in his evidence
14 is that he wouldn't graft on to the aorta. In fact,
15 that was one of the reasons why he said that he would
16 not be comfortable in doing a living donor transplant
17 because that's what would be required because you don't
18 have the patch. At least that was his explanation. So
19 if that was going to happen, and that's something I'm
20 going to ask you about, the living donation, if that was
21 going to happen, he would have recommended the child be
22 taken to your unit in London.

23 How limiting is it to the conduct of paediatric
24 renal transplants if one of the main surgeons involved
25 in it, although admittedly there weren't that many going

1 on, is uncomfortable or is not prepared to carry out an
2 anastomosis involving the aorta?

3 A. Well, in my view, it precludes you from doing the very
4 young children. Adam, I think, was on the borderline.
5 He was quite a big child for his age, but if you're
6 going to be doing transplants in children -- you know,
7 10 kilos, one year of age -- then I think you have to go
8 on to the aorta and therefore it would be appropriate to
9 have the surgical expertise to be able to do that, yes.

10 Q. Can I ask you, just to have your views on the living
11 donation point -- his view, as I've understood it, was
12 because, obviously the donor is alive and requires
13 certain things, so he says you don't have the benefit of
14 the patch and then he was saying that, in those
15 circumstances, what was required was to graft on to the
16 aorta. That was his explanation, and he therefore
17 wouldn't have been comfortable doing that. Does it
18 necessarily mean you have to graft on to the aorta?

19 A. No.

20 Q. So you could do a living donor that didn't involve
21 grafting on to the aorta or anastomosing with the aorta?

22 A. Of course, yes.

23 Q. Just while I'm asking you that: the mother had made
24 enquiries about whether she could donate a kidney for
25 her son and there's a separate issue to do with how that

1 was handled by Professor Savage. But from your point of
2 view, in 1995, is that something that was happening?

3 A. Absolutely. That was the chosen method of
4 transplantation in children of that age, a live donor.

5 THE CHAIRMAN: How recently had that developed?

6 A. 1995 -- well, from 1985, when I started transplanting in
7 London. That was the case. We would do a live donor
8 transplant if possible. But certainly by the 1990s it
9 was half of our -- half of our transplants were being
10 done from living donors.

11 MS ANYADIKE-DANES: Why was that?

12 A. Because it's a better form of transplantation because
13 the kidneys are healthier, the data on thousands of
14 patients published from American literature show that
15 living donor transplants have a better outcome than
16 deceased donor transplants if they're matched for HLA
17 matching.

18 Q. Yes. Does it matter that, whatever one says about
19 whether a 16-year-old is near adult size -- Adam's
20 mother's kidney would have been adult size. Would that
21 have been a negative consideration to doing it?

22 A. No. Not at all.

23 Q. The sorts of considerations that did factor into
24 Professor Savage's guidance or advice to her, although
25 I think he says that he didn't actually discuss it in

1 this way, but his thought process was that she was
2 a single parent, although he acknowledges that she had
3 her own parents who were supportive, that if anything
4 happened to her, obviously, that would be devastating.
5 If the kidney transplant itself failed, that would be
6 devastating, she might feel guilty, and then you would
7 have tried to do something you hadn't succeeded with.
8 And even if it did all go well, there was a period of --
9 let's call it convalescence -- for her, when she
10 wouldn't be able to be helping him in that same way as
11 he's convalescing his transplant surgery.

12 So when you were discussing those things with the
13 families in 1995, how did you address those issues?

14 A. These are the issues which everybody has thought about
15 and discussed over the years and the fact is that living
16 donor transplantation is the chosen method of
17 transplantation for the great majority of people. If
18 they have a live donor, then they proceed with a live
19 donor. There are very few circumstances which would
20 lead you to preferring a deceased donor over a live
21 donor transplant.

22 Q. And so far as you're concerned, how significant is it
23 that the family actually asked for it as opposed to just
24 having that portrayed as a range of options?

25 A. Well, I think if the family asked for it, one would have

1 to take that very seriously and investigate the
2 possibility. I think there was a feeling around at the
3 time, and maybe there still is, amongst certain
4 clinicians, that this is not ethically maybe the best
5 way to go and it's better to proceed with a deceased
6 donor transplant -- and that is still a very good option
7 for anybody to have a deceased donor transplant. There
8 are specific advantages of a live donor transplant. One
9 is that you can have a transplant in a more timely
10 manner than you can waiting on a waiting list.

11 Q. Effectively elective?

12 A. You can have it as an elective, planned procedure, and
13 all the advantages that that may bring and may have
14 brought in this particular situation if you think about
15 it. You can have full knowledge of the donor organ, so
16 you do all the tests that you possibly can in the donor
17 beforehand so you know you're getting a kidney that's in
18 perfect condition, whereas if you have a deceased donor
19 you don't know that you're getting a kidney in perfect
20 condition, and in this particular case there is doubt
21 about how suitable this organ was. There's dispute
22 about whether it was viable. There's the other kidney,
23 which didn't function either. And even in the
24 long-term, even if this kidney had functioned, there
25 might be issues about whether it was damaged by the long

1 storage. There's a lot of question marks about that.

2 There are very few question marks about a live donor
3 because it's taken out and used immediately, within
4 a few hours. There's virtually no storage time. If you
5 look at the statistics, the length of function of a live
6 donor kidney is on average about 20 years. The average
7 length of function of a deceased donor transplant is
8 about 12 to 15 years. In 1995, it would have been about
9 nearer to 10 to 12 years for a deceased donor and
10 20 years for a live donor.

11 Q. How significant is that if you're having that transplant
12 in a young child?

13 A. Well, it's significant in anybody, really, isn't it,
14 having a better function for a longer period of time?
15 Like you're implying, there's virtual certainty that
16 you'll need another transplant. So some clinicians --
17 maybe Professor Savage was thinking that the mother may
18 be a suitable donor the second time around for the next
19 transplant. And that's something that people plan to
20 do. The big disadvantage, as you said, is that the
21 mother has to go through a transplant operation.
22 There's a very small risk, but that is a decision that
23 she can make herself, based on the evidence that you
24 give her. It's not a decision that the clinician should
25 make about whether she can accept the risk.

1 THE CHAIRMAN: Mr Fortune?

2 MR FORTUNE: Sir, I'm concerned about Mr Koffman's statement
3 that, even in 1995, live donation was very much at the
4 forefront, certainly at Guy's and Great Ormond Street.
5 That's not quite the picture, you may recall, painted by
6 Professor Forsythe and Mr Rigg. If you go to the
7 transcript for 3 May, to page 171, line 4, you get the
8 impression, reading the answer from Professor Forsythe
9 on the subject:

10 "We have discussed this [meaning live donation] and
11 I think even in 1995 when live donation was perhaps not
12 considered so strongly, as it is today, but even in 1995
13 we would have considered the possibility of live
14 donation. We would have discussed that. That is
15 another advantage, as we've hinted, of the assessment
16 process, as the possibility of Adam to go onto the
17 transplant list gives the opportunity to open out
18 discussions about living donation. It is very hard,
19 obviously, to raise that without producing some element
20 of coercion on the potential donor."

21 And then further down on line 22 --

22 MS ANYADIKE-DANES: Perhaps we just finish the --

23 MR FORTUNE: Of course:

24 "But of course we want to make people aware of that
25 possibility and discuss with them very openly the

1 positives and negatives that are associated with a live
2 donor procedure for a child like Adam."

3 And then the question was asked:

4 "Can I ask, in 1995 how much discussion would there
5 have been in 1995 of a live donation and what were its
6 relative benefits?

7 "Answer: In 1995 [answered Professor Forsythe]
8 I think the possibility of live donation would at least
9 have been raised."

10 Now, there seems to be quite a difference in the
11 positions between Mr Koffman at Guy's and Great Ormond
12 Street and Professor Forsythe.

13 MS ANYADIKE-DANES: We can ask him about that.

14 THE CHAIRMAN: And Professor Savage in Northern Ireland.

15 There seem to be three levels of this. You're saying it
16 was your chosen method, had been so from 1985 and was
17 certainly so in 1995 in London. Forsythe and Rigg are
18 saying something which is less committed to live
19 donation than that.

20 MR FORTUNE: And they're the experts in this case.

21 THE CHAIRMAN: They're not the only experts in this case.

22 Professor Savage is saying, in terms, we weren't really
23 using live donation but, as it happened, we began to
24 move on to it. So it's at what stage of development
25 they are thinking about live donation. I think the

1 point is that Adam's mother said that she enquired about
2 live donation and was put off it.

3 MR FORTUNE: Absolutely.

4 THE CHAIRMAN: I think that's the real issue
5 Ms Anyadike-Danes is getting at. It would have been
6 perfectly acceptable for Professor Savage to say, "Look,
7 we haven't started doing them yet or we're hardly doing
8 them yet in Northern Ireland; if you want that as
9 an issue, then we'll consider referring you to London".
10 I think it was -- and you'll correct me if my recall is
11 defective, but I think he ended up accepting that his
12 attitude to this was a bit paternalistic.

13 MR FORTUNE: You're absolutely correct, sir.

14 THE CHAIRMAN: Of course, after the event, when everything
15 goes terribly wrong, that looks something worthy of more
16 criticism than it might have done if things had gone
17 right. But there are different levels here and I think
18 the real point is that since Adam's mum raised the
19 issue, is that not an issue which might have been --
20 should have been -- considered a bit more seriously?
21 And, I think, the gist of Mr Koffman's evidence
22 inevitably is: yes, it should have been considered more
23 seriously. And the gist of what Messrs Forsythe and
24 Rigg said, at 171, was: the possibility would have been
25 raised and, if any member showed an interest in it, we

1 would have wanted to give more information.

2 MR FORTUNE: It's not perhaps the issue of more seriously,
3 but more fully, perhaps, sir, in the sense that --

4 MS ANYADIKE-DANES: In fairness, Mr Fortune, they then went
5 on to say that, if had that happened, not only would
6 they want to give more information, but they would have
7 done some basic tests to see how compatible she actually
8 was. It may be a sterile argument, if I can put it that
9 way, because it's just not going to work out, but they
10 would have at least gone to that stage to see if that
11 was a possibility and that could have provoked the
12 discussion, I think.

13 MR FORTUNE: I accept that because there would have to have
14 been tissue typing, but it's the point of the discussion
15 in the first place.

16 MS ANYADIKE-DANES: I understand that.

17 A. Can I just say that I don't think there's a massive
18 difference between what we're saying? What I was saying
19 was that live donor transplantation was a possibility in
20 this case. There was no guarantee that mum was
21 a suitable donor because we just don't know, but it was,
22 in my view, worthy of investigation about whether she
23 was. And it would have changed retrospectively. It
24 might have changed the scenario to a planned procedure
25 and a better quality kidney, but that's with retrospect.

1 At this time in 1995, people are at different stages in
2 their development of their live donor programme. So
3 people are going at different rates. I'm not
4 criticising -- my practice may have been different from
5 Professor Forsythe, who doesn't actually do paediatric
6 transplantation, however. But --

7 Q. Well, not at the moment, but he was doing them at the
8 time.

9 A. That doesn't mean to say that there's a big difference
10 between our views on this.

11 Q. No, I'm not actually inviting anybody to criticise
12 anybody. What I'm trying to do is to get some
13 information out and I think that you all have come to
14 a fairly common ground -- at least from
15 Professor Forsythe, Mr Rigg and yourself -- which is
16 that if a family member actually asked about it, then
17 that would have been further explored. And I think
18 where it comes down to is that if that had happened, it
19 may be that given Mr Keane's views about what he thought
20 that would have involved from the surgical point of
21 view, that that might have meant that Adam and his
22 mother went off to London for that process if she was
23 compatible.

24 Before perhaps we break, maybe can I ask you
25 this: did you have children and their parents come to

1 Guy's in that situation? They weren't coming from your
2 normal constituency, but they'd been referred from
3 another hospital for donation. Did that happen?

4 A. Yes. We even had children who were turned down for
5 transplantation, told that it wasn't even possible in
6 their centre and came to see our team.

7 Q. Were referred to you?

8 THE CHAIRMAN: Sorry, do you mean it wasn't possibly in
9 their centre for live donors or just wasn't possible?

10 A. To transplant at a young age, at a very young age.
11 Age 1, for example.

12 THE CHAIRMAN: Because that centre had not developed the
13 expertise to do it whereas you had?

14 A. Yes. So the answer is, yes.

15 MS ANYADIKE-DANES: How did your unit manage with
16 a situation where, at a time, some may have said, where
17 you are really needed to be supported, you have the
18 family member -- in this case it, would be the mother --
19 going through a major operation on her own -- that is,
20 a major operation for her -- you have her child having
21 a major operation for him. What was the sort of support
22 that was provided to help that family through that?

23 A. Well, you're right, it's an important consideration
24 about whether she would be able to donate, and that may
25 be a reason why she would decide not to donate in the

1 end, because of lack of support. The support would have
2 to come from her family and friends and we find that
3 usually that can be managed.

4 Q. And that can be managed?

5 A. Yes.

6 Q. Actually, that was the part I was trying to get at
7 because we will never know what she could or could not
8 have done.

9 A. That's right.

10 Q. What I was trying to get at is your experience of
11 families who are in that situation, and whether your
12 unit can accommodate the need to support families
13 through that. That is actually what I was trying to get
14 at.

15 A. We commonly have donors who are single parents.

16 Q. That is common?

17 A. It's not uncommon.

18 MS ANYADIKE-DANES: I understand. Thank you very much.

19 THE CHAIRMAN: We'll break for 15 minutes.

20 (11.20 am)

21 (A short break)

22 (11.37 am)

23 MS ANYADIKE-DANES: Mr Koffman, just to finish off the
24 questions that I was asking you about referrals, to pick
25 up on a point you made about referrals. I think one of

1 your last responses to the chairman was that you or your
2 unit quite often had children who came to you, who had
3 been told in their own centre or the centre closest to
4 them that they wouldn't be able to assist with
5 a transplant, for whatever reason, whether the risks
6 were too high or because they didn't conduct live
7 transplants.

8 Can I ask you whether you know this: how did those
9 children come to you? Was it because the centre had
10 recognised that they couldn't help them, if you like,
11 and had referred them on, or did the family themselves
12 make independent approaches to your unit?

13 A. By about 1995, it was mostly by referrals from other
14 colleagues. Earlier than that, it was sometimes by
15 parents themselves coming.

16 Q. Were there instances when live donation was simply -- or
17 at least for a child that young -- not something that
18 was being offered in the centre closest to them that led
19 to a referral?

20 A. Yes.

21 Q. There were instances of that?

22 A. Yes.

23 Q. Thank you very much. Can you recall whether there were
24 instances of referrals from Northern Ireland to your
25 unit?

1 A. I don't think so at the time. No, not at that time.

2 Q. Thank you. I wonder if we could move on to the subject
3 of CVP. In your report, you deal with that at
4 094-007-033. You really start at 3.5 and you go on.
5 You say that:

6 "The surgeons should be aware of the blood pressure,
7 the CVP measurement and any other blood tests during the
8 operation and may ask the anaesthetist to modify the
9 fluid regime."

10 What I want to put to you is: would you be prepared
11 to start a transplant surgery without knowing that there
12 was a functioning -- in terms of giving accurate
13 recordings -- CVP catheter in place?

14 A. Well, the patient's already asleep and anaesthetised,
15 ready to have an operation, you can hardly pull out at
16 that stage.

17 Q. So how significant would it be for you that there was
18 a way of accurately recording --

19 A. It's obviously vitally important. Very important for
20 the safe conduct of the operation.

21 THE CHAIRMAN: Sorry, Mr Koffman. Do I understand you
22 correctly that the point of no return in an operation
23 is, that if the patient's already asleep and has been
24 anaesthetised, you can hardly pull out at that stage?
25 So you'll go ahead with a transplant if there are

1 concerns only because the patient has already been
2 anaesthetised? That can't be right, can it?

3 A. The patient is a transplant patient. Obviously, if
4 there are completely critical reasons not to proceed --
5 and we have done this on a number of occasions, so if
6 the patient has a heart attack or there's some
7 instability about the patient's condition making it
8 unsafe to proceed, we will pull out.

9 THE CHAIRMAN: Or if you don't know the patient's condition
10 because there's a failure, perhaps, of some of the
11 equipment which measures that situation?

12 A. With respect, chairman, you're saying "failure perhaps".

13 THE CHAIRMAN: Yes.

14 A. So is that a failure or is it not a failure?

15 THE CHAIRMAN: If you don't know the patient's condition.
16 The point about CVP --

17 A. You know the blood pressure and you have a reading of
18 the CVP. So you do know quite a lot about the patient's
19 condition.

20 MS ANYADIKE-DANES: Sorry, Mr Koffman, that was my entry
21 point. If you don't know what the CVP is and the reason
22 you don't know it is because you're being told that
23 although a CVP line has been inserted, it is not
24 providing accurate measurements. So we just don't know
25 what his CVP readings are and we're not going to know

1 unless we do something. So my question to you is: if
2 that's what you're being told, what is your response?

3 A. I would find another way to get a CVP measurement.

4 Q. And what --

5 A. I would be very reluctant to start an operation,
6 a transplant, without an accurate CVP. But there are
7 circumstances where an accurate CVP is difficult to come
8 by. This is one of them. There's multiple previous
9 central lines.

10 Q. Well, before we go into why it might have happened in
11 this case, if you're told that by the anaesthetist,
12 "I've got the catheter in, I think it's in a position
13 where I'm not getting accurate readings at all", what
14 happens then?

15 A. There are other ways of putting a line in.

16 Q. So what would you do?

17 A. I would have asked him to put a femoral line in in the
18 other leg from the one I'm going to use for the
19 transplant. So if I was putting the transplant in on
20 the right, I would get them to put in a right-sided
21 femoral line. That would give you a central pressure
22 measurement.

23 Q. Mr Keane has already commented on that and said that he
24 would have been unhappy to have had that. And you'll
25 have read the transcript of his evidence. He doesn't

1 think that that would have given you an accurate
2 measurement because it's too close to where the action
3 is, if I can put it that way, as to what you're going to
4 do. Would you have had any hesitation about putting
5 a femoral line in?

6 A. That's not the reason -- that wouldn't be a reason
7 because it's close to the other transplant. It's not --
8 actually, that's irrelevant, I think.

9 Q. What would be a reason?

10 A. It's whether it's giving you an accurate CVP
11 measurement.

12 Q. No, sorry. What would be a reason for not putting it --

13 A. Whether it's giving you an accurate CVP measurement or
14 not, if it's not in the right place.

15 So if we had the patient asleep and consented and
16 ready to go and we could not get a central line in under
17 any circumstances, would I proceed with the operation?
18 Definitely yes. Absolutely yes.

19 Q. And what would you do about ensuring that you had the
20 kind of information that you had felt it was necessary
21 to have the CVP measure for?

22 A. We would apply common sense.

23 Q. What does that mean?

24 A. Common clinical sense, and that is that there are other
25 parameters to measure. The reason you want central

1 venous pressure measurement is to find out whether the
2 patient is full of fluid or low on fluid or very full on
3 fluid to give you a measurement of how full -- you
4 probably have lots of experts talking about this. I'm
5 talking from a fairly naive but practical standpoint as
6 a surgeon.

7 Q. So what would you do --

8 A. What would I do? I would ensure that we kept up with
9 the insensible losses and that we monitored the blood
10 pressure carefully and we proceeded with the transplant.
11 It's not without risk, but they did have an arterial
12 line in to accurately measure the blood pressure and
13 they had good venous access to give blood transfusions
14 if necessary. So I would have replaced blood with
15 blood. I would have given much less fluid because that
16 would have been safe -- safer -- and if, at the time of
17 the implantation of the kidney, there were worries about
18 the blood pressure, I would have given some more fluid.
19 But in a very careful, controlled way. So yes, I would
20 not have cancelled the transplant because of no central
21 venous pressure.

22 Q. But only when you have established that it's not
23 possible to get a central venous pressure?

24 A. Yes, I would try everything possible to try and get an
25 accurate measurement, but I would not cancel the

1 transplant because of that. This isn't the situation,
2 with respect, that we were in. We had a reading and
3 they didn't know how to interpret the reading.

4 Q. Sorry, just bear with me a moment before we get on to
5 that. You said that you would apply common sense and
6 clinical judgment, as I understand you to say.

7 A. Yes.

8 Q. And one of those things is that you're taking the
9 measurements that you can and you are paying perhaps
10 even more close attention to the administration of
11 fluids, if I can put it that way. Does that mean that
12 you and the anaesthetist would have had a discussion as
13 to how you were going to manage that child in this less
14 than satisfactory situation, if I can put it that way?

15 A. Precisely. We would have had a more detailed discussion
16 than we normally would about what the parameters for
17 infusion of fluid and blood and so on were.

18 Q. That was going to be my next question.

19 A. And it would be more detailed because we didn't have the
20 support of a CVP measurement. But you know, this
21 illustrates the fact that this is one measurement and
22 sometimes you can get an inaccurate measurement in
23 medicine. It's not a perfect science.

24 Q. I understand.

25 A. So this was a measurement which was very difficult to

1 interpret and then you have to use common sense to apply
2 other criteria.

3 THE CHAIRMAN: Sorry, you need to let him finish. I know
4 he's going ahead of where you want him to go, but you
5 need to let him finish because there's too much cutting
6 across on the record.

7 MS ANYADIKE-DANES: Sorry, Mr Chairman, I know that, but
8 I want to make sure that we get the answer to this
9 question before we proceed on to the other steps that
10 Mr Koffman's evidence will take us to.

11 So where I'm at is the fact that you are having
12 a more detailed discussion than you would normally have
13 with the anaesthetist about a number of things, but in
14 particular the management of the fluids. So my question
15 to you is: would you expect to know what he was actually
16 administering or proposing to administer?

17 A. No.

18 Q. Would it be relevant for you to know that because you
19 then went on to say something about the amount of fluids
20 he'd been administered? Would you expect to know that
21 that type of fluid over that rate, that volume, is part
22 of what's going to be administered if the two of you are
23 trying to, in a collaborative way, manage this
24 situation, including the fluid administration?

25 A. Sorry, but you are jumping well ahead because we're in

1 a situation where you've got, in this case, a central
2 venous pressure measurement which was high, but you
3 don't know whether it was an accurate measurement.

4 Q. You're being told in this situation by the anaesthetist
5 that it's not an accurate measurement.

6 A. So we have to totally disregard it, you mean?

7 Q. No. He didn't totally -- in his evidence, he said that
8 he used it as a marker for relative change. But if we
9 go back into what actually happened on the 27th, he
10 would have been telling you that because you're about to
11 start, at roughly 8 o'clock that he's got a CVP catheter
12 in, he thinks it's hard up against the vessel wall.
13 It's gone up the wrong way, for a start, and jammed up
14 against the vessel wall and it is not giving an accurate
15 absolute level, but he thinks he can use it for relative
16 change. That's what he would have told you.

17 The other thing though is, if you're saying that,
18 "Well, we can't get a CVP catheter in a better position,
19 so we'll just have to accept that, but we'll manage
20 things", what I was going to ask you is: in that
21 discussion about managing things, would you have wanted
22 to know how much fluid had already been infused because,
23 by 8 o'clock, quite a lot of fluid has already been
24 administered to Adam?

25 A. Well, I think it's all hypothetical, but given that

1 situation, I would have carried on and urged --
2 I wouldn't have actually asked what fluid he was giving,
3 whether it was fifth normal saline, half normal saline
4 or normal saline --

5 Q. Or volume?

6 A. -- or plasma expander. I wouldn't have asked that
7 because I would have assumed that that was his -- as an
8 experienced paediatric anaesthetist, that would be
9 a safe solution that he was giving. But I would have
10 urged caution in terms of volume because I can see no
11 reason to give a large volume of fluid that was
12 administered over a short period of time. There can be
13 no explanation for that, no logical explanation for
14 that.

15 Q. Would you have expected to know how much had already
16 been given?

17 A. Not necessarily, no.

18 Q. So when you say, "We would have had a discussion as to
19 managing his fluids", what actually would that have
20 entailed?

21 A. Well, if we have no central venous pressure to go on,
22 we have to go on other parameters such as blood pressure
23 and pulse and urine output. And the general overall
24 condition. So at that stage of the operation, the child
25 had been reasonably well hydrated overnight. There was

1 no evidence of dehydration. The blood pressure was
2 normal, the pulse rate was healthy and there was no
3 reason to give a large volume of fluid.

4 Q. I appreciate that, Mr Koffman. I'm trying to find out
5 whether you would have expected to know that.

6 I appreciate that is your critique of the situation now,
7 but if you are in that operating theatre and, in 1995,
8 you're being told there's no accurate CVP measurement,
9 you're having your discussion, "We'll have to manage
10 this, we'll look at this and look at that and we'll
11 manage his fluids", what I'm trying to find out is what
12 you would have expected to know about the fluids that
13 had already been infused and were proposed to, or don't
14 you get into that part of it?

15 A. It's a difficult thing to say, really. We don't usually
16 ask to know exactly how much fluid's been given and
17 there usually wouldn't be the rapid infusion of such
18 a high volume of fluid at the beginning of the
19 operation. I can't see any reason to do that. An
20 assessment of the state of the blood vessels and how
21 well-filled they are later on in the operation may lead
22 me to say, "I think the patient should have some more
23 fluid".

24 THE CHAIRMAN: Can I ask you it in this way? I understand
25 entirely why you do not normally ask anaesthetists how

1 much fluid has been given because that is his job, not
2 yours. If you are told that there is an issue about the
3 CVP line, which helps manage the fluid, and you then
4 have a discussion in which you urge some caution about
5 how much fluid should now be given, in effect you are
6 advising the anaesthetist that he should be giving less,
7 right? I understand this may not be something which has
8 happened in your experience before, but in that
9 scenario, do you not then discuss how much are you
10 giving and what might it be reduced to?

11 A. Yes. Sometimes I do.

12 THE CHAIRMAN: So there is some level of discussion about
13 what the volume is and what it goes down to. The
14 complication here is that there had been far too much
15 given in the first place.

16 A. The usual scenario, chairman, is that the anaesthetist
17 is given a CVP reading that's high, is very reluctant to
18 give more fluid, and the surgeon is usually saying, "Can
19 you give a bit more fluid? Because we want the patient
20 as full as possible to give the transplant the chance to
21 work". So it's usually, if anything, the other way
22 round. The anaesthetist is very reluctant to give
23 fluid.

24 But given even a questionable CVP reading that's
25 high, common sense would urge caution in the

1 administration of large volumes of fluid. If I had
2 a situation where the CVP was high and the anaesthetist
3 genuinely didn't know whether it was an accurate reading
4 or not, I would not be urging him to give large volumes
5 of fluid. I would assume that they would not be
6 administered. I don't think the surgeon was involved in
7 those discussions and did not know that large volumes of
8 fluid had been given.

9 MS ANYADIKE-DANES: You also said something about urine
10 output. How would you measure that?

11 A. And if you have a child or an adult that is passing
12 reasonably large volumes of urine and you have no other
13 way of measuring their vital parameters in terms of
14 filling, then it would be reasonable to have a catheter
15 in place and to measure the output.

16 Q. So sorry, just to be clear: is that something then you
17 might have done as a response to, "We've tried
18 everything, we can't get an accurate CVP measurement, no
19 matter where we put this line", "Let's put in a
20 catheter --

21 A. Yes.

22 Q. -- and then at least we'll be able to measure the urine
23 output as well as our other parameters."

24 A. But a catheter is a normal thing that everybody does in
25 a transplant. You nearly always pass a catheter into

1 the bladder if you can get one in.

2 Q. I wanted to ask you about that. In your report, you had
3 said that -- and I think this is in your
4 paragraph 3.8 -- sorry to skip you about a bit.
5 094-007-035. You said that:

6 "Urine output isn't normally recorded during the
7 transplant procedure."

8 And you go on to talk about how actually the
9 majority don't have that problem because they don't pass
10 a great deal of urine. Then you say:

11 "A minority of patients are polyuric and the bladder
12 may be left on free drainage in these patients."

13 Then what you go on to talk about is monitoring the
14 urine. So that we're clear, you are not saying that
15 a catheter isn't there; you're simply saying you don't
16 normally bother to monitor it?

17 A. We always put a catheter in --

18 Q. Yes, that's what I wanted to get to.

19 A. -- in every case. We don't manage it like this was
20 managed, putting a catheter in at the end.

21 Q. Why do you always put a catheter in?

22 A. Because we want to make sure that we can fill the
23 bladder up. So we connect the catheter to a bag of
24 saline and we can run the saline into the bladder to
25 distend it. Many of these people don't have much urine

1 output. So their bladders could be small and difficult
2 to find. So to facilitate the operation, we catheterise
3 and we run some fluid into the bladder. If I had
4 a situation where there was no CVP measurement or an
5 unreliable CVP measurement, I would make sure that the
6 catheter was on free drainage and we could measure the
7 urine output on a quarter hourly, half hourly basis
8 during the operation. It's just common sense.

9 Q. I understand that. The catheter that you're talking
10 about that you would have inserted right at the
11 outset -- and that's your normal practice -- that is
12 a urethral catheter?

13 A. Yes.

14 Q. Maybe we can pull up what Mr Keane said about that.

15 A. In his book, in his chapter?

16 Q. Well, not just in his chapter, but actually in his
17 testimony. That is his evidence -- I think it's
18 26 April -- and it's to be found at page -- let's start
19 at 190 to lead into it. I think these are questions
20 from his counsel, Mr Millar, starting at 21:

21 "You describe in your evidence how, in Adam's case,
22 you had inserted a suprapubic catheter and not
23 a urethral catheter. Was it your plan to insert
24 a suprapubic catheter?"

25 In other words, was it always what you were going

1 to put in. And the answer to that is:

2 "Answer: That was the whole point. Adam's urethra,
3 to a consultant urologist, was never capable of
4 accommodating a catheter fit for the task at hand.

5 "Question: What was that task?

6 "Answer: To do a transplant procedure."

7 Do you understand that as an objection to inserting
8 a urethral catheter?

9 A. Absolutely not. There's no evidence to support the fact
10 that he had an abnormal urethra.

11 Q. We know from the surgical procedures that Adam had
12 actually previously had urethral catheters inserted by
13 Mr Brown. But if there had been a difficulty in Adam's
14 urethra being capable of taking a urethral catheter,
15 is that something that you would have expected to find
16 in his notes somewhere?

17 A. Yes. There's no evidence to support that at all.

18 MR MILLAR: Well, there is evidence to the point, sir, and
19 the evidence is the opposite. Mr Keane's been quite
20 clear there was nothing strange or startling about the
21 urethra and there was no contraindication to inserting a
22 urethral catheter. Rather, he wished to allow the
23 bladder to distend naturally and he did not think
24 surgically it was necessary to have a catheter. That
25 was his evidence.

1 MS ANYADIKE-DANES: That is exactly correct, Mr Millar, and
2 he then went on to express himself in slightly different
3 terms, which is why I read that part out. His clear
4 evidence when you were asking him questions was that he
5 didn't think that his urethra was capable of
6 accommodating a catheter which would have served the
7 purpose of the transplant procedure.

8 A. I understand what --

9 THE CHAIRMAN: Just pause for a moment. Could we have
10 page 190 up beside page 191 just to see the lead-in to
11 this?

12 A. I could interpret that for you if you want.

13 MS ANYADIKE-DANES: Yes.

14 THE CHAIRMAN: Let's just pause for a moment and see the
15 lead-in to this questioning. This is Mr Millar, who
16 represents Mr Keane, asking him some questions. He
17 says, at the bottom of page 190:

18 "Question: You described how you had inserted
19 a suprapubic catheter and not a urethral catheter. Was
20 it your plan to insert a suprapubic catheter?

21 "Answer: That was the whole point. Adam's urethra,
22 to me, was never capable of accommodating a catheter fit
23 for the task at hand."

24 A. Should I try and interpret that for you?

25 THE CHAIRMAN: Yes.

1 A. He's not talking about the urethra being abnormal; he's
2 talking about the size of catheter that he thinks he
3 could get in. He's thinking because he's a small child
4 that he could only get a small catheter in and it may
5 not do the job of draining the urine after the
6 transplant.

7 MS ANYADIKE-DANES: That's exactly what he was saying.

8 A. I think that's what he was saying and he would rather
9 put in a suprapubic catheter -- presumably he used
10 a larger gauge catheter because you're just putting that
11 straight into the bladder coming out through the skin,
12 so there's no limit to the size of that catheter. But
13 that's not normal practice. It's normal practice to put
14 a small catheter into a small urethra and, in my
15 experience, it does the job fine. So it's a possible
16 theoretical question that he's raising and I'm not going
17 to say he was wrong about that. But it's not what is
18 normally done.

19 Q. Thank you. And not your practice?

20 A. Absolutely not our practice, no. Where we can get
21 a urethral catheter in, we do. There will be patients
22 where they cannot have a urethral catheter put in
23 because they have no urethra at all so they have to have
24 some sort of suprapubic catheter put in.

25 Q. Thank you. If we just go back to the CVP point. If

1 you've read Mr Keane's transcripts, which you say
2 you have, you will know that there was quite a bit of
3 evidence devoted to the communication that he says
4 happened -- or at least he thinks he recalls -- between
5 he and the anaesthetist about the CVP, what he would
6 have started off asking him to do, how many times he
7 would have asked him about it, how many times he would
8 have asked him what the number was, when it was
9 important to know what that figure was and, indeed, what
10 he would have done had he heard certain other figures,
11 if I can put it that way. You'll have read all of that,
12 so I'm certainly not going to take you through all of
13 that or the chairman, for that matter, because it's
14 quite an extensive amount of his evidence that was
15 devoted to that.

16 I wanted to ask you, in your experience, what, if
17 any, discussion do you have with the anaesthetist before
18 you actually commence the knife to skin surgery about
19 the CVP?

20 A. Virtually none.

21 Q. Virtually none?

22 A. Yes. Unless it were flagged up by the anaesthetist,
23 I would not interrogate the anaesthetist about the
24 central pressure at that stage because the operation --
25 the actual critical part of the transplant will come

1 about two hours later when we're doing the anastomosis.
2 And then I think I would have a discussion about how ...
3 I'm usually asking, like Mr Keane was saying in his
4 evidence, that -- I'm usually asking the anaesthetist as
5 we go along through the first couple of hours of the
6 operation how the patient is doing, what the CVP is,
7 what the blood pressure is.

8 Q. When you ask what the CVP is, do you ask because you
9 want to have a number, to use Mr Keane's expression?

10 A. Yes.

11 Q. Or do you ask because you generally want to know, "Are
12 you comfortable with where we are"?

13 A. I'm basically asking him, in a conversational way, about
14 the state of the patient and, particularly, the change
15 in the central venous pressure measurement because quite
16 often we do get spuriously high readings at the
17 beginning and they're difficult to interpret. So it's
18 really the change in the central venous pressure. So
19 for example, a child of that age that has been starved
20 overnight, a starting central venous pressure of 17, or
21 whatever it was, is hard to believe because the child
22 would be, quite frankly, quite overloaded with a central
23 venous pressure of 17. He clearly wasn't.

24 Q. Visibly overloaded?

25 A. Clinically overloaded, I think. So I think there was

1 significant doubt about the validity of that central
2 pressure reading and, therefore, I would have -- and
3 that has happened to me before. Basically, all I'm
4 saying is we would talk about the change in the central
5 venous pressure, how much fluid had been administered,
6 what the blood pressure was, et cetera, just to see how
7 we were going on during the operation. That's all.

8 Q. I understand that. Mr Keane's evidence, amongst other
9 things, was that he would have explained to Dr Taylor
10 the parameters within which he wanted that CVP
11 measurement to be at, and indicated that he would not
12 have been prepared to start if he had been told that it
13 was -- I think it was over 12, was his position. He
14 also explained roughly where he wanted the CVP
15 measurement to be before he was going to release the
16 clamps. If we take the first one, would you have
17 communicated to the anaesthetist where you wanted the
18 child's CVP measurement to be before you were prepared
19 to start the surgery?

20 A. No.

21 MR MILLAR: Sir, that wasn't Mr Keane's evidence.

22 MS ANYADIKE-DANES: We will pick it up.

23 A. I was really confused by Mr Keane's evidence because it
24 seemed to be giving -- there were several ... I mean,
25 the evidence seemed to change from the original

1 statement to the evidence he gave in this investigation.

2 THE CHAIRMAN: There was a lot of evidence he gave orally

3 which was entirely missing from his written statements.

4 A. Yes. So I don't really know whether this was

5 a retrospective view of what he would normally have said

6 under those circumstances or it was actually what he did

7 say under those circumstances. I don't know, but that's

8 just totally speculation on my part. All I can say is

9 I don't really routinely ask what the CVP is before

10 I start and I wouldn't stop the operation because the

11 CVP was rather high.

12 MS ANYADIKE-DANES: And do you explain or say what the range

13 is that you would like it to be maintained within?

14 A. It's understood. It's understood that we want the

15 central venous pressure round about 12 to 15.

16 THE CHAIRMAN: Can I ask you, when you say it's understood,

17 is that because you're lucky enough to work with

18 a number of paediatric anaesthetists who have

19 experience --

20 A. Yes.

21 THE CHAIRMAN: -- doing renal transplants?

22 A. Yes, and it might not be ...

23 THE CHAIRMAN: That's the point.

24 A. That's true.

25 THE CHAIRMAN: We may not be comparing like with like.

1 A. No.

2 THE CHAIRMAN: Because you have, for many years, through
3 your team work, worked with people who now know what
4 each other one is doing and what the other one expects.

5 A. If the anaesthetist asked me what central venous
6 pressure I would like, I would say, "I don't mind what
7 it is at the moment, but I would like it round about 15
8 at the time that we are doing the anastomosis."

9 THE CHAIRMAN: Yes.

10 A. Certainly, a figure up in the 20s or up to 30 would be
11 abnormally high. A starting CVP of 17 would be
12 abnormally high.

13 MS ANYADIKE-DANES: What would your response have been if
14 you'd been told that you, as I think it was, at roughly
15 10 o'clock, that it was about 30, there or thereabouts?

16 A. I'd be worried about that.

17 Q. What are the options available at that stage? As we
18 understand it, roughly 10 o'clock is about the time that
19 they were thinking of releasing the clamps or about the
20 time that they did, just to benchmark it.

21 A. Yes.

22 Q. So what would have been your response if you'd reached
23 that stage in the surgery and been told that the CVP was
24 at 30?

25 A. Well, stop transfusion, unless you had to give blood

1 urgently. Give a diuretic, if that were possible, to
2 get the child to produce more urine. Apart from that,
3 there's not much more you can do, having given a large
4 volume of fluid, apart from venesection.

5 Q. Okay. Apart from asking, periodically during the
6 transplant, the anaesthetist what the CVP is or how the
7 child is doing, do you ever look at the CVP yourself
8 at the monitor?

9 A. Not -- no, because if the anaesthetist tells me what the
10 value is, there's no point in me looking.

11 Q. I accept that, but do you have a look at the monitor
12 yourself?

13 A. I sometimes do, yes.

14 Q. If you do, are you able to understand what the monitor
15 is telling you?

16 A. At that stage of the operation, I never would look.

17 Q. Okay. You mean from the time when you're just about to
18 release the clamps?

19 A. I never would. If, after I've done the transplant and
20 the kidney doesn't look as though it's getting enough
21 blood to it, then I would -- getting a bit worried --
22 talk to the anaesthetist and say, "Are you sure the
23 central pressure is this? Are you sure you've given
24 enough fluid?". I may even have a look myself, but
25 there'd be no point in doing it before that really.

1 Q. If the child is overloaded in the way I think everybody
2 has accepted Adam was, is there anything that a surgeon
3 can detect about that?

4 A. No. The blood vessels would be full, but apart from
5 that, you can't tell that the child's grossly
6 overloaded. No, not during the operation, no. I'm
7 absolutely certain about that.

8 Q. Just on that point as to what a surgeon may or may not
9 be able to tell, the anaesthetist is obviously
10 administering the anaesthetic agents and the muscle
11 relaxants and so forth, and we have looked at the charts
12 that show exactly when those things were administered.

13 One particular muscle relaxant he was using was
14 atracurium. I'm not sure if you're familiar with that.
15 But in any event, he was administering them periodically
16 and then he didn't administer any further after 9.30.
17 His evidence and the evidence of the anaesthetist expert
18 for the inquiry, Mr Haynes, was that it has about 20 to
19 30 minutes' effect. The anaesthetist has provided
20 a statement to the inquiry when he was asked directly,
21 "Why didn't you administer any after 9.30?".
22 Essentially, his evidence was, "Well, it's a matter of
23 clinical judgment whether you think the child continues
24 to require that". And the experts have given their view
25 that you can tell to some extent whether the muscle

1 relaxant is ceasing to have its effect and therefore you
2 need to administer some more, and that's something the
3 evidence was that the surgeons are particularly keen to
4 know to make sure that that's not happening.

5 A. That's true.

6 Q. If that's happening, to what extent can you tell whether
7 you're reaching a situation where you're concerned about
8 that?

9 A. You just are purely talking about muscle relaxants?

10 Q. Yes.

11 A. Okay, that's a big jump from my area of expertise.

12 Q. Oh, if it --

13 A. Just from a surgical point of view, if a child or any
14 patient is not properly relaxed, then it is not uncommon
15 for their muscles to go into spasm while you're
16 operating. You may detect some muscle movement.

17 Q. Has that happened to you?

18 A. Oh yes, many times. You have to ask the anaesthetist to
19 give more muscle relaxant or a deeper anaesthetic, yes.
20 It's not uncommon.

21 Q. I understand.

22 A. But you're not saying this did happen in this particular
23 case?

24 Q. No idea. We simply asked his explanation for why he
25 didn't administer any more and, of course, it's a very

1 considerable time now that has elapsed. He has given
2 his best recollection as to why he didn't, and I'm --
3 A. There are tests an anaesthetist can do about the need
4 for muscle relaxation, I think. Maybe the child did not
5 need muscle relaxation because of what was going on
6 inside the brain swelling.
7 Q. That's one of the inferences.
8 A. I think it is and there are other parameters at the
9 time, such as a rise in blood pressure and pulse, that
10 would have fitted in with that condition being present
11 at about 10 o'clock.
12 Q. Yes. I think in ease of Mr Millar, because I'd said it
13 and I didn't want to mislead, I think we have
14 a reference for where Mr Keane might have said that,
15 at the start, anything over 12, alarm bells would ring.
16 Here we are.
17 MR MILLAR: I accept entirely that Mr Keane did say that,
18 but he did say that, had it been over 12, he would have
19 been interested in, for example, having a discussion
20 with Professor Savage about why it might be at that
21 level. The objection I was making, sir, was he did not
22 say that, prior to surgery, he discussed with Dr Taylor
23 what he wished the preoperative CVP to be or say to
24 Dr Taylor that, if it's 12 or over, that would be
25 an issue. There are two quite different points. What

1 he said was that, prior to the operation, he would have
2 indicated to Dr Taylor where he wished the patient to be
3 at clamp release. In other words, what the target CVP
4 was. There was no suggestion from him that he discussed
5 with Dr Taylor what he wanted the preoperative CVP to
6 be. But he did say that if it was, in fact, over 12 or
7 if he had been told that it was over 12, he would have
8 been concerned about that, he would have thought it was
9 rather high and he would have wanted to have a word with
10 the child's nephrologist about why that might be. That
11 was his evidence.

12 MS ANYADIKE-DANES: Now that you put it that way, maybe
13 I will pick that up with you after the luncheon break
14 because there was rather a bit of extended evidence as
15 to Mr Keane going over and standing up or sitting down
16 with Mr Taylor at the monitor and the discussions they
17 would have had and so on and so forth before they got
18 started. Maybe it's better that I put that after the
19 luncheon break and we can see where we are with that.
20 So I won't take it any further because I think we've
21 established the point that -- for him, anyway -- he
22 wouldn't be starting with anything over 12.

23 Can we go back to your report? We had gone a little
24 ahead to deal with urine output because you mention that
25 in the course of how you would have sought to address

1 the absence of accurate CVP. Dealing with the question
2 of how complex Adam's surgery might have been, not in
3 abstract, but for this particular unit. So this is
4 a unit which has a relatively small throughput of young
5 children's renal transplants. No dedicated
6 transplanter, although probably not too dissimilar from
7 many other units in that way. So bearing in mind that
8 and what you have been informed about this unit, what is
9 your view as to how complex or challenging Adam's
10 surgery might be? Because you don't know until you get
11 started, but might be.

12 A. I think it was quite a challenging operation for them,
13 for the team to undertake. He'd had many previous
14 operations, access to the iliac vessels would be
15 difficult. It was an adult kidney into a relatively
16 small child.

17 Q. Can I just pause you on that? You'll have seen in the
18 transcript there's been a bit of an issue, although not
19 from Mr Forsythe and Rigg, but certainly from Mr Keane
20 as to whether a 16-year-old's kidney can properly be
21 regarded as adult size or whether there's an adolescent
22 kidney and therefore slightly smaller?

23 A. It depends on the size of the donor. It was a male
24 donor, I think.

25 Q. It was a female donor.

1 A. Sorry. It depends on the size and weight of the kidney
2 and I don't know what those were, so it's just
3 speculation. It could have been an adult-sized organ.

4 Q. Yes. But in terms of the way that you were dealing with
5 that, what's your starting hypothesis when you're
6 discussing things with the mother, for example? Are you
7 dealing with that on the basis that effectively you have
8 an adult kidney or not?

9 A. Yes, effectively you have an adult kidney.

10 Q. Thank you. I might have interrupted you just so that we
11 have a clear view of what you consider were the likely
12 complexities in Adam's case.

13 THE CHAIRMAN: I think you had said the operation was
14 challenging because he had had many previous operations,
15 access to the iliac vessels would be difficult --

16 A. Yes.

17 THE CHAIRMAN: -- and it was going to be an adult kidney
18 going into a small child. Can you remember any other
19 complications or identify any other complications?

20 A. It's really reasons for saying it would be, you know,
21 anticipated to be a difficult case.

22 MS ANYADIKE-DANES: Yes.

23 A. No, I mean those are the main reasons. The other issue
24 was the long storage time of the kidney and the
25 likelihood that the kidney would not work straightaway.

1 There's a very high chance that that kidney would not
2 have worked. The child would have continued to need
3 dialysis post-transplantation for a number of days, if
4 not weeks because that length of storage time usually
5 means that the kidney will shut down and not work
6 straightaway. So that's an extra level of -- so yes,
7 it's a very challenging operation.

8 Q. Could Adam's age and weight have been relevant?

9 A. Yes.

10 Q. Does that add to --

11 A. Oh yes. I think that's what I said: a young child
12 having an adult kidney is a significant challenge.

13 Q. You have given your evidence of the fact that you have
14 had referrals of children from other centres. Is Adam
15 the kind of child that you might have had referred to
16 you?

17 A. Yes, I think so. I think any child under the age of 5
18 or 6 with weight of 20 kilograms or below represents
19 a major challenge for transplantation and should be
20 confined to major centres and there should probably only
21 be a handful of those centres in the UK. And that's
22 a debate that's still going on in children's
23 transplantation in the UK.

24 Q. I understand.

25 A. But at that time, several units were doing the same

1 thing with very small numbers and even smaller numbers
2 of small children and the difficulty in doing the
3 sufficient volume to feel confident about the surgical
4 management of these patients, I think, is a real issue.
5 That's not to imply blame at all; that's just the way it
6 was.

7 THE CHAIRMAN: And to be fair to the Royal in Belfast, its
8 success rate, we are told, is not below the national
9 average.

10 A. Yes.

11 THE CHAIRMAN: So there is a risk involved, but it's not
12 such an obvious risk that Adam's mum should have been
13 told, "No, we just can't deal with Adam here, he should
14 go elsewhere".

15 A. I don't know what the results showed at that time,
16 sorry, so I can't really comment on that.

17 THE CHAIRMAN: Okay.

18 MS ANYADIKE-DANES: That's an interesting question. How
19 difficult is it to get an appreciation of those factors
20 if some units are doing more complex surgery than
21 others? Presumably success means two things: firstly
22 the patient doesn't die; secondly, the graft is
23 successful.

24 A. Yes.

25 Q. Does it make any difference how much the centre is one

1 that naturally attracts more complex patients in terms
2 of those outcomes?

3 A. It's a very difficult question to answer.

4 Q. I understand.

5 A. You know, it's impossible to ...

6 THE CHAIRMAN: There are too many variables.

7 A. Too many variables, sorry.

8 MS ANYADIKE-DANES: Understood. Having just mentioned the
9 part about the survival of the graft, I wonder if
10 I could ask you a little bit about the infarction of the
11 kidney. You expressed your view that you think that
12 that kidney infarcted some time perhaps just after
13 closure or just after the operation; is that right?

14 A. Yes.

15 Q. Both pathologists have given their evidence -- and
16 I think that Professor Risdon, whose evidence you might
17 have seen, has moved a little bit to take into
18 consideration the kind of damage that might have been
19 done by the long cold ischaemic time and also the fact
20 that some of these kidneys do perk up or revive
21 themselves after a while. And I think, ultimately, his
22 view was that he thinks that either at the operation or
23 shortly thereafter he thinks that the amount of damage
24 indicates that the kidney died then, which may be not
25 very far away from where you are.

1 One of the factors that has militated against the
2 kidney dying before that, or not functioning properly
3 before that, is that Mr Keane has described it as
4 producing some urine. He's also, I think, said that he
5 could feel the pulsatile flow of the kidney and that
6 there had been various descriptions as to what colour
7 it is, whether it pinked up, when it did and how pink it
8 got.

9 What I wanted to ask you is -- Mr Keane is the only
10 person who has given evidence saying that he saw some
11 drops of urine. And the question I wanted to put to you
12 is: is it possible to be mistaken about that and the
13 process of handling it for some drops to be produced
14 that might be mistaken for the production of urine?

15 A. Well --

16 Q. From the recipient's bladder if I can put it that way?

17 A. Mr Keane is a urologist, so I think he knows what urine
18 looks like. But that's not what you're asking. I think
19 there clearly was some urine coming out of the ureter,
20 but whether that was produced before donation, before
21 the donation process and still hanging around in the
22 collecting system of the kidney --

23 Q. That's what I meant.

24 A. -- or whether there was new urine being produced,
25 I don't think we can say. But the production of small

1 amounts of urine doesn't mean that the kidney is
2 definitely going to work straightaway.

3 Q. No, no, I understand that. What I'm trying to -- you've
4 actually, I think, now answered it. It's not possible
5 to tell, even if it were urine, whether it's urine from
6 the recipient's bladder, if I can put it that way, or
7 urine from the donor's bladder?

8 A. Not the bladder because it is coming from the kidney.

9 Q. Sorry, from the kidney, yes. So it's not possible to
10 tell whose urine it is?

11 A. It's not if it's just a small amount. If it's a large
12 amount and it's shooting up into the air, then it's
13 likely to be made by the new kidney, the kidney in
14 response to being transplanted rather than being there
15 from before in the donor.

16 Q. Then can I ask you about the pulsatile flow? Is it
17 possible to be mistaken about that, to think that's what
18 you're feeling and in fact it's actually not that?

19 A. I think so. It can be misleading. If you can feel
20 a pulse in the artery to the kidney, then that's a good
21 thing. But it doesn't necessarily mean it's going into
22 the kidney, and I think Professor Forsythe --

23 Q. I was just taking you to that. He did.

24 A. That's true. So let's say, for example, there's
25 a blockage in the artery inside the kidney, but the

1 artery that you have joined on to the recipient, there's
2 a segment that is still patent before the blockage, you
3 would still feel a pulse in that artery because that's
4 not the bit that's blocked, but it's just not getting
5 through. If it were getting through into the kidney,
6 going round the kidney and coming out the vein, then
7 you'd feel a slightly different type of flow,
8 a different type of pulse, and you can recognise that.
9 It can be difficult. So just the fact that you are
10 feeling a pulse in a blood vessel that you have just
11 joined up is a good thing. It doesn't prove that the
12 kidney was in perfect health.

13 Q. Thank you. That leads us on to cold ischaemic time,
14 which I wanted to raise with you. I think you indicate,
15 at your paragraph 3.7, that 30 hours is a period where
16 you might expect some acute tubular necrosis --

17 A. Yes.

18 Q. And delayed graft function --

19 A. Yes.

20 Q. -- and that delayed graft function might ultimately lead
21 to failure?

22 A. The kidney is more likely to fail because of the
23 presence of delayed graft function, yes.

24 Q. Yes. Professor Forsythe and Mr Rigg have said that
25 they, taking all things in the round that were known

1 at the time, they wouldn't have accepted that kidney,
2 but I think you have a different view.

3 A. I do, yes.

4 Q. Is that because --

5 A. That's based on me doing lots of transplants.

6 Q. That's exactly the question I was going to ask you.

7 A. And from experience and the age of the donor being
8 a young donor, young kidneys can withstand ischaemia
9 much more than older kidneys. So if I was offered
10 a kidney for a child like Adam from a 50 year-old with
11 the same parameters of storage time, I wouldn't accept
12 it. But from this donor, I certainly would accept it.

13 Q. I think you started off by saying, "that's me with my
14 experience". If it's not you with your experience, if
15 you are in the position of Mr Keane, say, for example,
16 and the team that he had around him -- I'm not talking
17 about Professor Savage because he's not in the operating
18 theatre being part of the transplant team -- but the
19 team that he had and the extent of his experience of
20 paediatric renal transplants, is it a different view or
21 would you --

22 A. No, it's the same view. I've always had that view and
23 it's only reinforced by experience for this type of
24 donor. There is evidence that if you store a kidney for
25 more than 20 hours, then there's a higher chance of

1 delayed graft function. But it's not a sudden cut-off,
2 ie if you go 21 hours, all the kidneys fail. It's
3 a problem with storage. The longer you store a kidney,
4 the more likely there is that it will be damaged. Young
5 kidneys are very resilient to ischaemia and can recover
6 very well.

7 THE CHAIRMAN: Would you categorise a 16-year-old kidney as
8 young for those purposes?

9 A. Absolutely, yes. I would say up to the age of, say, 30,
10 30 to 40 being a young kidney. So this is a prime
11 kidney and I would be very enthusiastic about using
12 this. Just to underline the experience thing, I've
13 accepted kidneys from Russia with a 48-hour storage
14 time, from America regularly with a 90-hour storage
15 time. I've been involved in research showing that you
16 can store kidneys for up to seven days and still have
17 them work effectively. So I'm pretty confident that
18 a 16-year-old kidney with a storage time of 32 hours
19 would be okay to use. There's no doubt in my mind that
20 it's a reasonable thing to do.

21 MS ANYADIKE-DANES: Just so that people are clear about the
22 timescale of that, when you talk about you've had
23 kidneys from Russia and kidneys from America with quite
24 extended cold ischaemic times, are you talking about
25 1995?

1 A. I'm talking about, yes, 1995, yes, and before that.

2 Q. And would you have accepted a kidney like that for Adam?

3 A. No, absolutely not.

4 Q. Can you help with how you actually calculate two

5 things: one, the cold ischaemic time and, two, the warm

6 ischaemic time?

7 A. Okay. It's fairly simple. As soon as the kidney --

8 let's take the cold ischaemic or cold storage time.

9 Q. Cold storage time, yes.

10 A. That's when the kidney is taken out and cooled. So

11 immediately a kidney is -- well, when a kidney is taken

12 out, the whole donor is cooled. So it's really when

13 that cooling process is in place. That usually

14 coincides with the time of cardiac arrest of the donor.

15 If it's a living donor, obviously there isn't a cardiac

16 arrest, the kidney is taken out then cooled. So it's

17 when the kidney has been cooled. That is recorded and

18 that pertains until the kidney is taken out of ice to be

19 transplanted into the recipient.

20 Q. Mr Koffman, I'm going to pull up the transplant

21 information form to see if you can help us with what

22 these terms actually mean. 058-009-027. I'm sure

23 you're familiar with these, but the left-hand side is

24 the donor information. So that's taken out at 1.42

25 in the morning of the 26th.

1 A. Mm-hm.

2 Q. And then leaving aside the detail that it gives of its
3 anatomical features, if we go to the right-hand side we
4 see that it says:
5 "Kidney removed from ice at 8.30."
6 And that was on the 27th --

7 A. Okay.

8 Q. -- because it includes that underneath. So in terms of
9 what you have just been describing to us, what does
10 removing from ice at 8.30 connote to you on that form?

11 A. That means that a kidney would have been transferred in
12 a box of ice and that was the time that the kidney was
13 taken out of that box of ice and put into a bowl of ice
14 to be dissected out prior to starting the implantation.

15 Q. So this bench work that's been referred to?

16 A. So that's called bench work and that may take up to
17 an hour.

18 Q. But how relevant for purposes of anything to do with the
19 condition of the kidney and what may or may not happen
20 to it is the fact that you're told that it's taken from
21 ice at 8.30?

22 A. It's not relevant. If it's still in a bowl of ice while
23 it's being sorted out, dissected out and blood vessels
24 tied off and so on, then it's still being cooled, it's
25 still cold. So that should still be cold ischaemic

1 time.

2 Q. It might be warming up slightly though, mightn't it,
3 under --

4 A. It won't be warming up if it's in a bowl of ice.

5 Q. So the fact of the atmosphere and the lights in the
6 operating theatre have no effect?

7 A. No.

8 Q. So it is still being cooled, so when is the relevant
9 time then?

10 A. The relevant time comes when it's taken out of that bowl
11 where it's had the bench work done on it and it's
12 suspended either in a cold swab or however the surgeon
13 tries to do it. Then as soon as it's out and the
14 stitching begins, then the kidney can gradually warm up
15 over that next period of time. That is the more
16 critical period of time because the kidney isn't warm,
17 it's still at 6 degrees and it's still cold, but it will
18 gradually warm up over that period of time. It will not
19 achieve body temperature or anywhere near body
20 temperature, but it may warm up from 6 degrees to
21 10 degrees or 12 degrees during that period of
22 anastomosis. Why is it important to measure that?

23 Q. No, not that. Why is it relevant to know when the
24 kidney is removed from ice if, in fact, it's still going
25 to carry on being worked on and it's not actually

1 warming up at that stage?

2 A. That's probably an erroneous entry then.

3 Q. So "removal from ice" means, if you're completing this
4 or directing the form to be completed, means when you
5 took it up after the bench work had been done --

6 A. Yes.

7 Q. -- and you're about to anastomose it?

8 A. Yes. But this -- so this figure, I mean ... I don't
9 know whether this is an accurate measurement or not.
10 You're telling me that there was a period of time where
11 the bench work was done.

12 Q. Yes.

13 A. But I don't know whether this was taken into account in
14 filling that in or not. On the face of it, it could be
15 that there were two hours where the kidney was being
16 anastomosed. I think that's very unlikely.

17 Q. If it were, what is likely to be the effect of that?

18 A. Well, there would be significant warming of the organ,
19 the kidney could be warmed up during that time. The
20 average time taken for an anastomosis -- so that's
21 really the anastomosis time, it's not a warm ischaemic
22 time because the kidney isn't warm. So that's the
23 anastomosis time. The average time for the anastomosis
24 is about 30 to 45 minutes. Round about 45 minutes would
25 probably be the national average.

1 Q. I think it was thought to be longer than that. I think
2 it's about an hour or so, is Mr Keane's evidence, but
3 we'll check it.

4 MR MILLAR: I think that's not corrected that it started at
5 10 and finished at 10.30, is the evidence.

6 A. If Mr Keane started the anastomosis at 10 and finished
7 at 10.30, that would be quite a -- very acceptable
8 anastomosis time. And it can take an hour or more to do
9 the bench work for this kidney, to get it in because
10 when it's taken out from the donor it is not -- it has
11 not been ... The kidney generally has not been
12 carefully dissected out. It's taken out en bloc, so
13 it's taken out with a significant amount of surrounding
14 tissue and it's specifically done so because the donor
15 surgeon, wherever it is, doesn't want to damage the
16 kidney in any way. So they take out the kidney plus
17 a significant amount of surrounding tissue. So then
18 it's the job of the transplanting surgeon to do all that
19 bench work and I do that regularly and it often takes me
20 an hour to do that.

21 MS ANYADIKE-DANES: And that would involve doing whatever
22 you were going to do in terms of the two arteries and
23 the one that was tied off and addressing all of that as
24 well as trimming the fat and so forth?

25 A. So in this particular case, there were two arteries and

1 they were on what we call a patch of aorta and it was
2 a very long patch, and that would be very difficult to
3 use in a small child. So I think Mr Keane shortened
4 that patch. So he chopped a bit out, joined the patch
5 together and made it more suitable. That takes quite
6 a long time to do that. So I don't do it the same way
7 as this because that means he's doing all that bench
8 work while Adam is under anaesthetic. So you could do
9 all that bench work before you start the operation and
10 that's what I do. So you don't -- you get the kidney,
11 which was available from the night before, and you could
12 start the bench work before the transplant starts while
13 the anaesthetist is doing his job.

14 Q. I think the evidence from Mr Keane is that he came into
15 the hospital at, I think, about 6 o'clock.

16 A. Well, I'm not saying every surgeon does this, but
17 logically it's better to do this bench work before the
18 operation starts because you're saving time on the
19 general anaesthetic and it's better for the child and
20 you know what the kidney is like --

21 Q. Yes.

22 A. -- before you start.

23 Q. I suppose it's always possible that you have
24 anaesthetised a child and when you look at the kidney --

25 A. You can't use it, and that has happened in certain

1 centres. So it's good to have a look at the kidney and
2 do the bench work before you start, but not mandatory to
3 do that. It's the choice of the surgeon.

4 Q. I understand. Well, just as we're going through that
5 form and you were explaining things --

6 A. So you're asking me about warm ischaemia as well.

7 Q. Yes.

8 A. Warm ischaemia is quite a damaging thing for a kidney.
9 The average kidney could only tolerate one hour of warm
10 ischaemia before it is irreversibly damaged.

11 Q. And what is warm ischaemia?

12 A. Warm ischaemia is when the kidney is at normal body
13 temperature and has no blood going into it.

14 Q. What stage does that happen at?

15 A. Let's say for example -- that's usually -- well, it
16 could happen. Let's say Mr Keane had decided that the
17 kidney wasn't very well perfused after he'd done the
18 operation, although it looked as though it was good
19 immediately afterwards and then it wasn't so good.
20 Let's say he decided he had to explore the artery again,
21 the renal artery of the anastomosis, so he would have
22 had to cut off the blood supply to the kidney and
23 re-explore it while it was cold. Sorry, it had already
24 been warmed up, so while it was warm, he had to spend
25 more time re-operating on it, doing the anastomosis

1 again. That would be warm ischaemia. So the kidney
2 would be warm. The problem with warm ischaemia is that
3 the kidney has normal metabolism, normal requirements
4 for oxygen, but there's no blood going through it. The
5 whole point of cooling a kidney down is to make its
6 metabolism slow right down so it doesn't matter that it
7 has no blood supply for a period of time.

8 THE CHAIRMAN: Just to help my understanding, let's suppose
9 you have the bench work done and the trimming done
10 before, as it happened, Mr Keane did it here, and then
11 you have prepared Adam for the -- you have done knife to
12 skin, you've prepared him for the transplant. That's
13 the point then at which you finally take the kidney,
14 remove it out of ice?

15 A. No, just put it back into ice.

16 THE CHAIRMAN: You put it back into ice after you have done
17 the bench work; right?

18 A. Yes.

19 THE CHAIRMAN: And then when you have Adam finally prepared
20 to receive the kidney, is that the point you remove the
21 kidney from the ice?

22 A. When you have done all the preparatory work on Adam and
23 you have all the blood vessels ready knowing what the
24 kidney is like, so you can tailor his blood vessels,
25 then you take it out of ice and then you are doing the

1 anastomosis while the kidney is still cold, but slowly
2 warming up. So that's not really warm ischaemic time,
3 that's anastomosis time.

4 THE CHAIRMAN: In that scenario, is there any such thing as
5 warm ischaemic time?

6 A. In that scenario, there may be no warm ischaemic time at
7 all. It may be zero because there may be none at the
8 donor end and none at the recipient end. But in certain
9 scenarios, certain types of donors, there is a
10 significant warm ischaemic time. These are usually the
11 unstable donors where the donor dies and then there's
12 a period of time before they're taken to theatre and
13 their organs removed. That's warm ischaemic time. But
14 that was not the case with this donor. This donor did
15 not have significant warm ischaemic time.

16 MS ANYADIKE-DANES: In fairness to Mr Keane, he has
17 explained how he interprets that and you can find that
18 in his evidence on 26 April, page 54. Just as a bit of
19 lead into it, starting at line 4, it's exploring the
20 time of the vascular anastomosis. Then he explains
21 about the kidney wrapped in the ice-soaked swabs and so
22 forth and the true ischaemia time, when the renal vein
23 clamp is removed to removal of the arterial clamp, "was
24 seconds as there was no need to reapply them".

25 "Question: So you say, for this donor kidney, the

1 warm ischaemic time was seconds; is that your view?

2 "Answer: As I defined -- and most urologists, but
3 perhaps not all modern transplant surgeons -- most
4 urologists, and as I practised in transplantation, warm
5 ischaemia time defined blood in the kidney, not, you
6 see, up to the point I released the clamp."

7 A. Yes.

8 Q. What does that mean to you?

9 A. Well, he's saying about no need -- first of all, he's
10 saying no need to reapply the clamps, and that's the
11 scenario I was saying: if everything didn't look fine,
12 you have to put the clamps back on and redo something
13 when the kidney is warm, but didn't have to do that.
14 No, what he's getting at is the definition of
15 anastomosis time, really, whether that is cold time or
16 warm time.

17 Q. Okay.

18 A. It's in-between time, I'm saying. I'm trying to help
19 you think about it in the right way. It is not warm
20 time because the kidney is not fully warmed up.

21 Q. Yes.

22 A. In fact, it's still at the cold end of the spectrum.
23 But it's not pure cold time either because the kidney is
24 gradually warming up. So if you take an inordinately
25 long time to do the anastomosis, that's not good because

1 the kidney will be warming up and damage will be done to
2 it.

3 Q. You said something else, which I wondered if you could
4 expand on too. That is that if, as was the case in this
5 operation, the kidney appeared to be, at least certainly
6 to Mr Keane, to have been reasonably well perfused
7 at the outset. There are different views about that,
8 but if we stick with Mr Keane. From his point of view,
9 it was well perfused at the beginning and then it became
10 less so towards the end. I think you were just starting
11 to address what you might do if that was the case. What
12 does a surgeon do if you find that to be the case? What
13 looked as if it was a fairly good situation seems to be
14 less encouraging. What do you do then?

15 A. You're right, this is a surgical -- this is the
16 nightmare scenario, really, and this happens not
17 uncommonly. You have a kidney that looks good to start
18 with and then is less good. I get very anxious at that
19 stage. I will not close a patient up when I'm not happy
20 about the perfusion of the kidney. So unless I can
21 convince myself that the artery and vein anastomoses are
22 okay, then I won't close up. I will re-explore them.

23 Q. Sorry, what does that mean?

24 A. Re-explore them means put the clamps back on and either
25 take the kidney out again, cool it again and redo the

1 whole thing or just redo the artery if the artery is the
2 problem. So I try to get to the stage where the kidney
3 has good perfusion and convince myself that I've done
4 everything I can. I have no reason to suspect that
5 Mr Keane didn't agonise over this. It sounds as though
6 he did, about why the perfusion was good to start with
7 and not so good afterwards. Therefore, I can't answer
8 that. I wasn't there. All I can tell you is what most
9 surgeons would feel. They would feel really anxious
10 about this and they would be worried that there was some
11 technical issue that they could correct.

12 Q. If I may help in this way, Mr Koffman: I don't ask you
13 what Mr Keane was thinking or why he was thinking. You
14 can't possibly know that. What I ask --

15 A. I can know that because I've done it so many times.

16 Q. You can't know what he was -- what I asked you was in
17 his circumstances, what would you do or how do you
18 interpret the things that he did do, not why he thought
19 any given thing. So I'm never going to ask you that
20 question because you can't possibly know and nor can I
21 know why he thought or did anything.

22 My question to you is: if you're in that situation
23 where you find that the kidney that was looking
24 reasonably well perfused is not -- then I was asking you
25 what you would do, and I think you have answered that.

1 A. I was trying to -- I know -- I'm not saying I understand
2 exactly what was going through his mind. I'm trying to
3 give you some insight into what it's like being
4 a surgeon, doing a difficult case, finding that the
5 kidney doesn't look as well perfused as it could do and
6 it may not be a technical issue. I've reopened blood
7 vessels when there's been nothing wrong with them and
8 it's just the fact that either there's not enough fluid
9 in the patient or the kidney has some damage from
10 storage and it takes time to recover. There's a whole
11 variety of other reasons. But the mindset is you have
12 to try to convince yourself that you've done everything
13 you possibly can to make sure that those blood vessels
14 are as healthy as possible.

15 Q. Yes. Before we leave the issues in relation to that
16 form, you were taking us through and explaining what
17 those terms meant or how they might be interpreted. In
18 your report, you deal with the information that you
19 think might have been recorded, whether or not on that
20 form or in the medical notes and records. I wonder if
21 you can expand on that. It is a rather brief note of
22 the operation. I wonder if you can expand and say what
23 you would have expected to find recorded and why.

24 A. It's a fairly standard transplant operation note,
25 I think. It's fairly bare bones. I always draw

1 a diagram to illustrate what I have done and always have
2 done and encourage all my colleagues to do that and they
3 do now. A very careful note of the cold and warm
4 ischaemic time and anastomosis time. So that's what's
5 lacking in this: we don't exactly know what the storage
6 times -- well, we know the storage time, I think. It's
7 over 30 hours, but we don't know what the accurate
8 anastomosis time is in this case. That would be useful
9 retrospectively, but I don't think there's any glaring
10 omissions.

11 Q. We're given a time when it is said that it was -- in
12 fact, if we can perhaps bring that form back up again.
13 I think it was 058-009-027. There we are. Of course,
14 this isn't the only place where information can be
15 recorded, but what we know from here is we know when,
16 apparently, it was taken out of ice. We know,
17 apparently, when it was perfused with the recipient's
18 blood. We have those two times. What are the other
19 times that you say ought to be recorded somewhere?

20 A. Well, the anastomosis time -- the implication of this
21 is that there were two hours taken to do the
22 anastomosis. So conventionally, a kidney removed from
23 ice, it means when you're starting to do the
24 anastomosis. But I don't think that's right. I don't
25 think it did start at 8.30 -- I don't think he did take

1 it out at --

2 Q. I appreciate --

3 A. I think he took it out at 8.30 to do the bench work,

4 which was in ice.

5 Q. This is a question that I'm being asked to put to you.

6 Let's say it was taken out of ice at 8.30. So what's on

7 that form is accurate, so it's not lying around on ice

8 when further bench work was being done --

9 A. This is hypothetical again, yes?

10 Q. I'm afraid quite a bit of it has to be.

11 A. Okay.

12 Q. That's what that form says and let's assume that it is

13 accurate. Let's then take the fact that the anastomosis

14 might have started at 10 o'clock. That's roughly when

15 the immunosuppressants were being administered. That's

16 when it is thought that that might have been the start

17 of it.

18 A. Sorry, what time were the --

19 Q. Sorry, the clamps are taken off at 10, let us say.

20 Immunosuppressants are administered 10.

21 A. Is that right? Were they given at 10?

22 Q. I believe so.

23 A. Usually we give the immunosuppressants well before that.

24 Q. Oh.

25 A. Before the operation or the first part of the operation.

1 Anyway, it's not particularly relevant when you give the
2 immunosuppression.

3 Q. Our understanding was that the immunosuppressants were
4 given just before the clamps were taken off or -- they
5 certainly weren't going to be given after.

6 THE CHAIRMAN: Sorry, does that matter?

7 A. Not really.

8 THE CHAIRMAN: They're normally given earlier in your
9 operations, but it doesn't really matter?

10 A. As long as they're given before the anastomosis is
11 opened up, yes, it's okay, I think.

12 MS ANYADIKE-DANES: Let's say that the clamps are taken off
13 at 10 o'clock. So you have 8.30, clamps taken off at
14 10 o'clock --

15 A. Sorry, can I just go back to the chairman? If you're
16 giving a drug that takes time to work and you give it
17 half an hour before you put the organ in, then it's not
18 going to be working. So I think there is something to
19 be said for giving it before you just let the clamps
20 off.

21 MR MILLAR: On the timings, since we're on the point,
22 I think the best evidence we had on that was probably
23 the marginal note, sir, from the operation note where it
24 was recorded, "Vascular anastomosis", then a wavy line,
25 which I think probably means "approximately", "10.30".

1 I think that was Dr O'Connor's note and she gave some
2 evidence of having been in there about 10 to check on
3 the immunosuppression. My sense of it, sir -- and it
4 might be wrong -- was that she was in a bit earlier than
5 that and that therefore it is likely that the drugs were
6 administered before the clamps came off and the evidence
7 about that seemed to be -- I'm not saying it's entirely
8 satisfactory or accurate, but the best estimate, sir,
9 seemed to be that that note recording 10.30 was when the
10 clamps were coming off.

11 A. [Inaudible: no microphone] it just gives you one figure,
12 it just says 10.30. So it doesn't actually give you the
13 length of time it took to do the anastomosis.

14 MR MILLAR: We're not suggesting that it's a great note or
15 it's a substitute for the type of note you are referring
16 to, but it is some evidence of a point in time that the
17 anastomosis was completed. It's probably the best that
18 we have.

19 A. I agree. It's a question of when it started. That's
20 the problem.

21 MS ANYADIKE-DANES: Sorry, we're just trying to put up the
22 anaesthetic --

23 A. I'd like to ask who filled this form in, you see.
24 Because if the surgeon ...

25 THE CHAIRMAN: It wasn't filled in by the surgeon, it was

1 filled in by the transplant coordinator.

2 A. The transplant coordinator wasn't in theatre. She has
3 very little idea of what the timings were, so this is
4 meaningless, I'm afraid. This is meaningless data.
5 Mr Keane was the only person who knew what time he
6 started the anastomosis and he didn't record it.
7 That is why I said it's an important thing to put in the
8 operation note because that tells the coordinator what
9 the timings are.

10 THE CHAIRMAN: So on your approach, the anastomosis time
11 starts at box 3, "kidney removed from ice", and is
12 completed at box 4, "kidney perfused with blood"?

13 A. That's why those figures are there. That's what it's
14 meant to imply. As I said to you, you could have taken
15 the kidney out of ice before the operation started, put
16 it in a bowl of ice, done the bench work, put it back
17 in the ice and taken it out later during the operation.

18 THE CHAIRMAN: If you did that, you wouldn't record that at
19 box 3 at all because that's not "kidney removed from
20 ice" --

21 A. It's not been removed from ice.

22 THE CHAIRMAN: Okay. So boxes 3 and 4 are only supposed for
23 anastomosis?

24 A. That's the implication of that. But you know, let's say
25 there was somebody in theatre recording when Mr Keane

1 took the kidney out of the box of ice in the belief that
2 that was something that was an important time, but then
3 he put it into ice on the bench and started doing the
4 work. That timing could have been recorded in theatre
5 and the coordinator could have got the figure from
6 somebody else in theatre. She certainly didn't get it
7 from Mr Keane's operation note because it wasn't in
8 there, the anastomosis time. So it may be a spurious
9 reading, that, so I wouldn't attach too much importance
10 to that "kidney removed from ice" time.

11 MS ANYADIKE-DANES: Well, without knowing where she got it
12 from, I suppose --

13 A. We don't know where it came from. The only place you
14 get it from is the operation note.

15 Q. I suppose she could have been told that. It doesn't
16 have to be in a note to convey the information.

17 A. But she'd be filling this form in days later.

18 THE CHAIRMAN: Anyway --

19 MS ANYADIKE-DANES: We'll move on because I'm not sure
20 that's correct. It doesn't matter for the matters I was
21 raising with you. What I wanted to address was
22 something that Mr Millar had been addressing with you,
23 which was to try and get some best view, if I can put it
24 that way, as to this length of anastomosis time.
25 I think that the thought was that the administration of

1 the immunosuppressants might have been a way of doing
2 that because you certainly wouldn't be administering the
3 immunosuppressants after you had released the clamps,
4 I understand.

5 A. Mm-hm.

6 Q. That was one way of addressing and, and your answer is:
7 yes, but you would have wanted to administer the
8 immunosuppressants a little time beforehand to give them
9 some time to be in the system, if I can put it that way,
10 and working, so there's no point in administering and
11 immediately doing something; is that your view of it?

12 A. I think that's most people's view. You don't wait until
13 just before the clamps are released before you give the
14 drugs. That's not normal practice.

15 Q. Yes. We'll have a look -- not at this minute -- at the
16 anaesthetic record and see what time we can get for the
17 immunosuppressants.

18 A. Have a look at the protocol that Professor Savage had in
19 existence at the time. That will tell you when the
20 immunosuppression drugs were supposed to be given,
21 I think.

22 Q. I'm not sure it gives a time, but we will certainly look
23 at that and we can come back to that point. If we pull
24 up 058-003-005, I'm trying to see the
25 immunosuppressant ... I'm not sure we can or I can

1 readily tell --

2 A. The azathioprine. That's the fourth one on the list.

3 Q. Yes. Which seems to have been given around 10 o'clock;

4 is that right?

5 A. Yes. That's not the only immunosuppression that would

6 have been given. Prednisolone would have been.

7 Q. Methylprednisolone was given, yes.

8 A. Does it have a time for that?

9 Q. I can't see it on this.

10 A. It's probably given at the beginning of the operation,

11 I would have thought. That's when we normally give it,

12 at induction.

13 Q. Right. In any event, your evidence is whenever you knew

14 the time, it's not going to help you other than to say

15 that the release of clamps or the anastomosis would have

16 started some time after that. It can't be more helpful

17 than that.

18 A. We're just speculating. There's not much point in it.

19 It's going to be before the clamps were released.

20 Q. Exactly.

21 A. But you don't know at what stage it was given, at what

22 point before, or during or whatever.

23 Q. That's the point I'm making. All you can learn, if you

24 knew the time, is that the clamps would have been

25 released some time after that. That doesn't help you

1 with getting this bracket of time for the anastomosis.

2 A. So I think where you can get an idea about the timing is

3 if you know the exact time of the start of the

4 operation, which is -- is it about 8 o'clock or 8.15?

5 Q. 8.15, 8.30.

6 A. I've seen it in the testimonies, but I can't remember

7 the exact time.

8 Q. I think --

9 A. So that's 8.30. I would normally say an hour to do the

10 dissection, get the blood vessels sorted out. That

11 takes you to 9.30. Then you have to do the bench work,

12 which may take half an hour. But we know that the

13 kidney was taken out at 8.30, so I'm not sure -- you

14 see, that's the problem. The operation didn't start

15 until 8.30, approximately. How could the kidney have

16 been taken out of ice at 8.30?

17 Q. Well, that's, I think, the -- that was the views that

18 some people reached, that there was something that

19 didn't quite add up.

20 A. So I think clearly that timing is spurious, that

21 number 3 box, kidney out of ice, has to be wrong. It's

22 much more likely that it was a bit later and that there

23 was some bench work, so we're just speculating about the

24 timing. That's why it's important to accurately record

25 the anastomosis time in the operation notes.

1 Q. How significant a failure is it of the recording of the
2 operation that we don't know these details?

3 A. Not very significant a failing because lots of surgeons
4 are, I think, mistaken about how long it takes them to
5 do the anastomosis. Some people put 30 minutes when
6 it's 45 minutes.

7 Q. Yes, but you just said that that was an important
8 detail.

9 A. Well, in the context of an analysis about whether this
10 operation went -- how easy it was to do and the quality
11 of the kidney and so on ... In this particular case,
12 it's important, but all I'm saying is normal practice --
13 there is no very accurate way of recording this. It's
14 left to the surgeon to write in what he remembers is the
15 time.

16 Q. Do you record those details?

17 A. Yes, I do, and I try to be objective and I probably make
18 mistakes as well. It's ideal to get someone to record
19 it and write it down for you on the board in theatres
20 when you start the anastomosis, when you let the clamps
21 off, rather than just -- I mean, we always ask for the
22 time and try and remember when it was, but it's easy to
23 make mistakes.

24 Q. I understand.

25 THE CHAIRMAN: The effect of that, as I understand it,

1 is that the timings may not be absolutely accurate, but
2 you give the best timings you can?

3 A. Yes.

4 THE CHAIRMAN: And what's missing here --

5 A. Is any time and we don't have any corroborative evidence
6 to tell you when it was so we can't answer that.

7 THE CHAIRMAN: Thank you. Let's break until 2 o'clock.

8 Thank you very much.

9 (1.07 pm)

10 (The Short Adjournment)

11 (2.00 pm)

12 (Delay in proceedings)

13 (2.13 pm)

14 MR MILLAR: Very briefly, Mr Chairman. This morning, when
15 we were debating the issue of the anastomosis time,
16 I made an interjection just to say that I had the
17 understanding that the anastomosis had started at 10 and
18 finished at 10.30, and I certainly said that because
19 that was what was firmly in my mind. On further
20 reflection, I can't put my finger on where it was that
21 I got the 10 o'clock from and I was probably more
22 dogmatic than I should have been. I do still have it in
23 my mind, but I shouldn't have put it in quite such clear
24 terms.

25 THE CHAIRMAN: Thank you very much.

1 MS ANYADIKE-DANES: Just while we're on the things that are
2 on our respective minds, there was an issue about the
3 CVP and whether or not Mr Keane had said to Dr Taylor
4 what he wanted that figure to be. I can deal with that
5 very, very quickly and, since it's been mentioned,
6 I probably ought to. Can we pull up the transcript for
7 23 April, starting at page 113? I apologise, this is
8 something I meant to discuss with you over lunchtime,
9 but I had to address some other matters.

10 I think it really starts at round about line 13:

11 "Question: So then does that mean, in this
12 discussion that you're having with Dr Taylor, that you
13 would have been explaining to him roughly where you
14 wanted Adam to be to start and roughly where you didn't
15 want him to exceed as matters went on and to alert you
16 if he was doing that?"

17 Then he says:

18 "Answer: Well, at the start, close to it.

19 "Question: Yes, at the start."

20 And then, after he said he would have gone through
21 the plan at some stage, over the page -- it's not always
22 entirely clear -- but at line 5 he says:

23 "Question: Both in starting and not getting any
24 higher than or to alert you to if you did. That's what
25 I'm trying to extract."

1 "Answer: Sorry, I would have said to Dr Taylor that
2 I wanted the CVP within a physiological range."
3 Then he goes on:
4 "Anything between --"
5 And he has 3 to 7 millimetres of mercury as
6 acceptable:
7 "I wouldn't have said anything above a CVP of 10. I
8 accept the implication of it."
9 Then I ask him:
10 "Question: Let's just keep with what you thought
11 you would have told him.
12 "Answer: I'm clear now that I've told him that
13 I want to see --
14 "Question: Does he accept, in his expert opinion
15 that, whatever the trace there is, that Adam has a CVP
16 of within a range and tell me what that is, what is his
17 CVP in other words?"
18 And I think if we go on to 115, I think he goes on
19 ultimately to say:
20 "I thought that his range was between --"
21 Nothing higher than 12. I can't see it right there.
22 In any event, his evidence is that he is having
23 a discussion with Dr Taylor at the outset as to what he
24 wants the range to be. That was simply the point that
25 I was making: that he did have that discussion with him.

1 In fact, maybe it's back at 114 he says it where he
2 says:

3 "I wouldn't have said anything above a CVP of 10."

4 So that's what he thinks he's having. Whether this
5 is his ex post facto, whether it actually is what he
6 remembers, but in any event something in there about
7 a discussion with Dr Taylor, nothing above 10. It's
8 pretty difficult to work out, but he certainly seems to
9 be acknowledging a discussion of that sort. So that's
10 that point.

11 The other thing I wanted to return to is -- in fact
12 you were there, Mr Millar, to try and work out what is
13 the chronology of some of these things. You,
14 Mr Koffman, have been trying to help with certain
15 things. There's a little bit more information that
16 we can provide you with to try and see if we can get a
17 sense of how long all this was taking and exactly
18 what was going on.

19 Mr Keane's evidence is that he arrived in the
20 hospital at 6 o'clock. Then if one goes to the 26 April
21 transcript at page 45, line 17, this is his bench work.
22 He says he is doing that at roughly -- if we go over the
23 page at 45, he says he's doing it at 6.30 to, say, 7.30.
24 So his evidence was that he did two bits of bench work,
25 if I can put it that way. This was the rough work --

1 trimming the fat and all that sort of thing -- and then
2 he told the chairman that he refined that later on. So
3 at this point in time, he is doing what appears to be
4 perhaps a significant amount of work. It's some work
5 taking him up to between 6.30 and 7.30.

6 Then if one looks at another document, which is
7 011-026-127 --

8 A. Did he actually do that or is he saying what he would
9 have normally do?

10 Q. I think he was saying that he did that.

11 A. I don't think he was.

12 Q. We can go back to it.

13 A. And I don't think he was having a conversation with the
14 anaesthetist about a CVP of 3 to 7 when it was 17. It
15 was 17 at the beginning.

16 Q. No, he was telling the anaesthetist -- he said he would
17 have had a conversation as to what he would have --

18 A. But it was 17. It was actually 17 and the operation
19 proceeded. So how could there be a conversation of
20 between 3 and 7?

21 Q. Well, those are matters in the round and all the
22 evidence that the chairman will have ultimately to
23 determine. But in terms of was he saying that he was
24 carrying out his first lot of bench work, he certainly
25 is saying that. He is saying that because it starts off

1 actually -- if we go to page 43, how this starts is at
2 line 5. In his witness statement, 006/2, page 5, he
3 gives the order in which he would do things. We had
4 actually asked him to put times to those things. He
5 said he couldn't do that, but he could certainly say the
6 stages of things. His order is, first, incision,
7 identification and exposure of the vessels. Then his
8 second one is isolation of the vessels. His third one
9 is cleaning and preparation of the donor kidney. His
10 fourth is vascular and ureteric anastomosis. His fifth
11 is wound closure. Then when I'm asking him about that
12 because I'm trying to find out how we can get times for
13 those things, at line 16 he said:

14 "I would now change bullet point 3 if you asked me
15 if this was specific to Adam."

16 So over the page at 44, he is explaining to
17 the chairman what he was doing. He talks about the
18 patch and "I would have done the actual sizing". That's
19 at line 5, precise sizing of the patch. And then the
20 chairman asked him:

21 "Question: Sorry, does that mean you start to clean
22 and prepare the kidney before the operation starts and
23 you finalise that during the operation?"

24 "Answer: It's like fine-tuned, yes."

25 And then he goes on to explain what that means at

1 line 20:

2 "I would take a look at the kidney and take off the
3 gross fat well before the operation ever commenced."

4 And then I am trying to understand a similar thing
5 as to whether that's what he's actually saying. Over
6 the page, 45:

7 "When and where was that happening?"

8 And then he says what he would normally do in
9 a sterile environment and then:

10 "Roughly, when would you have been doing that?" His
11 answer at 18 is:

12 "I would have been doing that any time between half
13 six and half seven."

14 And that is referable to this operation because
15 half 6 and half 7 isn't a general time that you're doing
16 bench work. It's all depends on when your operation is
17 starting. That's what he says about that.

18 MR MILLAR: Just to assist, while we're on page 46, I think
19 the chairman then asks later on:

20 "How long does this take? Just a few minutes or
21 longer?"

22 That's line 7. He says:

23 "In my technique of doing this, just a few minutes."

24 This was just the trimming of the gross fat.

25 MS ANYADIKE-DANES: I accept that.

1 MR MILLAR: So just a few minutes within that one-hour
2 slot.

3 MS ANYADIKE-DANES: Within that one-hour slot. I accept
4 that.

5 Then the document I was asked to have pulled up was
6 011-026-127. This is the document which, Mr Chairman,
7 you have seen before. It formed the basis of his
8 deposition for the inquest. If you see the date that he
9 writes it, it's 11 December 1995. It's almost exactly
10 two weeks after the operation. So it is the most
11 contemporaneous account we have from Mr Keane of what
12 he was doing. He's asked to put his recollection of
13 what happened and he says in that paragraph:

14 "The operation started at 7.30."

15 Then just --

16 THE CHAIRMAN: Sorry, the trouble about going through all
17 these times is there's utter inconsistency from Mr Keane
18 because when he was asked about that on Thursday
19 26 April, he said -- and you asked him. He said:

20 "I didn't have a watch on me in surgery. I'm using
21 approximate memory. The time is an unimportant detail
22 as long as the patient is safely asleep."

23 And you had already asked him about his third
24 witness statement to the inquiry, page 12, question 22,
25 in which he said knife to skin was at 7.15. He said:

1 "I now see it was 8 o'clock from seeing the first
2 CVP record in 2011 for the first time."

3 We can go through all these times and records and we
4 will find no consistency whatsoever in what Mr Keane
5 tells us.

6 MS ANYADIKE-DANES: I appreciate that. I would like to pull
7 up one other document, though, and this is the blood
8 loss count, which I think is 058-007-021.

9 A. Just before you do that, were you bringing up the issue
10 of bench work --

11 Q. Yes.

12 A. -- expecting me to comment on that? What was the point
13 in bringing that up?

14 Q. What I'm trying to get is a sequence of things and if
15 you can help me as to actual timings that seem
16 consistent with you. There's a second amount of bench
17 work that he does and the only reason for putting this
18 to you is that you were beginning to form certain views
19 as to when other things might have been happening.
20 That's the only reason.

21 A. I think I can explain.

22 Q. If I just put these things to you, I think it will work
23 a little better this way. This document, unfortunately,
24 doesn't have any time to it. But what we do have is
25 we have -- see that line, 20.1 and 160.7? If we go

1 across there? That is the first entry by Staff
2 Nurse Mathewson. She claims her entries started at
3 8 am.

4 THE CHAIRMAN: Because that is when her shift started, so
5 she wasn't in there before 8 o'clock.

6 MS ANYADIKE-DANES: Yes.

7 THE CHAIRMAN: So therefore there's blood loss before
8 8 o'clock, hence the operation, on this analysis, starts
9 before 8 o'clock.

10 MS ANYADIKE-DANES: This is the issue. If you can see right
11 from the beginning -- I have no way of estimating how
12 significant these things are, but they all seem to be
13 much of a muchness until you get to 67, which everybody
14 has -- and it's a matter for you to give your evidence
15 on it, but all the others have considered that to be
16 a significant bleed at that stage.

17 It's quite difficult to able to interpret what might
18 have caused that kind of bleed, but in your experience,
19 that would appear to be relatively early on. What could
20 cause that kind of bleed?

21 MR MILLAR: I hesitate to interrupt, I think, sir, but
22 certainly Mr Rigg, the other surgeon, said that that
23 could be explained by a variety of things. It could
24 have been bigger swab. He was suggesting that it could
25 have been left longer in situ so it had become heavier

1 than the others. So I don't think everybody did say
2 that it pointed clearly to a major or more significant
3 bleed. Certainly that wasn't the evidence of Mr Rigg.
4 He had various theories about it and didn't seem to
5 attach much significance to it.

6 MS ANYADIKE-DANES: Mr Brown, who was the other surgeon
7 there, did. Leaving that aside --

8 THE CHAIRMAN: Let's ask Mr Koffman. We don't need to go
9 through it. It's proving increasingly fruitless to go
10 back over what everybody else said in order to ask
11 Mr Koffman for what his view is, particularly when
12 there's no consistency to what other people said.

13 A. I totally concur with that. I don't think this is
14 related to the fact that there were two periods of bench
15 surgery as well. So that needs to be discussed,
16 I guess, if that's seen to be relevant. So far as this
17 is concerned, it's impossible to say, but the most
18 likely thing is that it was mobilising the blood
19 vessels.

20 Q. What does that mean exactly?

21 A. It means a preparation of the iliac artery and vein in
22 order to transplant on to those vessels to do the
23 anastomoses. That's the most likely time that you're
24 going to get bleeding. What time is that?

25 THE CHAIRMAN: It's before 8 o'clock because the entry on

1 the middle column of 20.1 is the first entry in the
2 handwriting of Nurse Mathewson, who didn't come on duty
3 until 8 o'clock.

4 A. Right. So it's purely speculation on my part, but it's
5 possible that that was either opening the wound up or
6 trying to mobilise the blood vessels. It's impossible
7 for us to say without any prima facie evidence.

8 MS ANYADIKE-DANES: I understand that. There's some
9 evidence from Mr Keane that might help. I think it's
10 26 April and page 67. Yes, it is. If you go see at
11 line 16, so he says:

12 "At 08.30 hours, we are nowhere near ready to do the
13 final bit, so I took it out [that's the kidney] to size
14 it so I would know when I had dissected these arteries
15 or vessels where, within a space of 3 to 4 centimetres,
16 I needed to release the tissues around the arteries to
17 perform the function. What you are using there is your
18 experience and vision of what's going to happen.
19 Unfortunately, in Adam's case because of the fibrosis
20 and adhesions of his previous surgery, this was going to
21 take much longer than normal -- that part of the
22 operation."

23 And then he says why he's doing it and then he says
24 it would be ridiculous to do the procedure and find you
25 couldn't actually place the kidney. So at line 8, he

1 says:

2 "When I have done that, I pop the kidney back into
3 the ice and, if you like, then the real work of this up
4 and down -- because of the technical difficulty of
5 rupturing a vein or something, began."

6 And then he says:

7 "I can't -- after 8.30 ..."

8 Anyway, those two references I wonder if you might
9 help with. Firstly, the fibrosis and adhesions of his
10 previous surgery making things take rather longer and,
11 secondly, the reference to the difficulty of rupturing
12 a vein. Can you explain, technically, what he's talking
13 about?

14 A. Yes, I did already refer to that in terms of the
15 difficulty of the operation. Because of the previous
16 surgery, there would be a lot of adhesions around the
17 blood vessels.

18 Q. Is that --

19 A. And that's common and to be expected. It can
20 exponentially increase the difficulty of the surgery.

21 Q. Can it cause more blood loss?

22 A. Oh yes, definitely.

23 Q. And at what time are you starting to sort of move your
24 way through those adhesions, if I can put it that way?

25 A. Quite soon, within -- well, the opening the abdomen

1 process would normally take about 20 minutes and then
2 you're straight on to mobilising the blood vessels,
3 which can take anything from 20 minutes to an hour and
4 20 minutes, depending on the difficulty. So it can make
5 it much more difficult to do the operation and I believe
6 this is what the situation was here. We still haven't
7 finalised the discussion about why you would look at the
8 kidney beforehand, before you even start, and then why
9 you may then do the procedure again in the middle of the
10 operation.

11 So before you start the operation, you want to be
12 sure that the kidney is a normal kidney and doesn't have
13 any abnormalities such as a tumour on it or multiple
14 cysts on it or is damaged in any significant way which
15 would stop you from doing the operation.

16 Q. Yes.

17 A. So it's perfectly in order just to have a look at the
18 kidney without doing very much to it, apart from
19 removing a bit of fat, which is what he says he did.

20 Q. Yes.

21 A. Because just removing a bit of fat won't prepare it to
22 be transplanted. It will just let you see the kidney to
23 make sure that you think it's okay --

24 Q. Okay.

25 A. -- to use. So if he did do that, then that's not an

1 unreasonable thing to do. It's a good thing to do.

2 THE CHAIRMAN: And that fits in with your earlier
3 description that you do all of that benching at the
4 start and the advantage of doing it is because if you
5 find some fatal problem, then you don't proceed with the
6 transplant at all.

7 A. That's right. So I would go a bit further. I would do
8 the rest of the bench surgery beforehand as well. It
9 doesn't seem logical to have a look and then put it back
10 and do the bench surgery. But it's not a major issue.
11 He's done the safe thing, he's looked at it beforehand
12 and done the bench surgery later, like I said, to make
13 sure that you have enough of the child's arteries and
14 veins mobilised so that you can put the transplant on to
15 it. You have to see what you're dealing with to know
16 where you're going to put it.

17 MS ANYADIKE-DANES: I think you had already given your
18 evidence that you would have done all of yours
19 beforehand. His evidence is that he would have done it
20 in two parts. But you're not --

21 A. I have perfectly accepted that, yes.

22 Q. Just following on the blood loss point, you have given
23 evidence as to the fact that those adhesions and so
24 forth may not only have made it more complicated, but
25 may have increased the amount of blood loss. In this

1 place over the page at page 68, when he talks about the
2 technical difficulty of rupturing a vein or something,
3 how does that arise? What's the context in which he's
4 describing that?

5 A. I don't really know.

6 Q. Why would there be a technical difficulty of rupturing
7 a vein?

8 A. By struggling to have space to put the kidney into.
9 You have small child and quite a large kidney and if
10 you're trying to do a bit of delicate stitching with
11 very small blood vessels, it's easy to damage the vein
12 because it's a very thin structure.

13 Q. Would that cause blood loss?

14 A. It's not uncommon to rupture -- I'm talking about the
15 donor vein. So when you join the blood vessels
16 together, it will leak blood. That would only be once
17 you had completed the anastomosis. So this obviously
18 wasn't the case at that time because he hadn't done the
19 anastomosis by then, I don't think.

20 Q. So far, in the passage of the transplant, what could
21 have happened in the early stage to cause blood loss
22 would have been some issue to do with the adhesions?

23 A. Yes, and you could damage the artery or the vein trying
24 to release those adhesions so that you had the blood
25 vessels available. See, it's difficult for me to

1 explain to you and you are asking a lot of questions
2 which I think, as much as I explain, it's very hard to
3 understand unless you actually have seen one of these
4 operations. I'm not being patronising, but to do the
5 transplant you need a finite segment of artery and vein
6 that you have actually mobilised so you can get clamps
7 on, above and below, to stop any bleeding and you can
8 make a hole in the artery and vein and then you can
9 stitch on the blood vessel. So you have to have
10 a reasonable length of artery and vein that you've
11 actually dissected out.

12 Now, that process is normally fairly
13 straightforward, but if there has been previous surgery
14 it could become very difficult to do. I suspect it was
15 in this case. So that's the most likely time when blood
16 could be lost. It usually is when I'm doing the
17 operation, anyway.

18 MS WOODS: Sir, just a small point while we're dealing with
19 blood loss. In response to Mr Millar's interjection
20 just a few moments ago when he was pointing out that not
21 everyone agreed that the 67 represented a significant
22 bleed, my learned friend said Mr Brown, who was the
23 other surgeon there, did. Just so we're clear on
24 Mr Brown's evidence, Mr Brown accepted that that would
25 be a significant bleed if it was all at one moment. And

1 that's really the nub of the matter and certainly what
2 Mr Rigg was talking about.

3 THE CHAIRMAN: That the swab might have been left in longer
4 than the previous swabs and so on?

5 MS WOODS: Absolutely, and indeed Mr Brown also did say that
6 whenever you can talking about those swabs, the weights
7 that you're getting really, all it does is indicate
8 swabs being weighed at a particular point in time.

9 MS ANYADIKE-DANES: Yes. The other factor, maybe, is the
10 haemoglobin fell from 10.5 at 7 o'clock to 6.1 at about
11 9.30. In fact, Dr Taylor says it was that that he
12 wanted to check with his blood gas analysis.

13 A. Mm-hm.

14 Q. What could, in your experience, cause a drop like that?

15 A. Two things. One is dilution, which there definitely
16 was. One is bleeding. Most likely it was dilution or
17 a combination of the two because if you just lose blood
18 during an operation, your haematocrit doesn't change
19 that much until it has been replaced. So it's probably
20 a function of dilution rather than acute blood loss.

21 Q. Or a combination?

22 A. Or a combination of some blood loss and a lot of
23 dilution.

24 Q. Yes.

25 A. But I think we have enough to explain that. I don't

1 know the -- I don't understand the line of questioning,
2 but --

3 Q. The line of questioning --

4 A. We can explain it by a severe dilutional effect.

5 Q. He was administered five lots of HPPF --

6 A. Mm-hm.

7 Q. -- each of 200 ml. The first was at 8.15. Then the
8 second was at 8.30. Why would that be being required at
9 that early stage?

10 A. I don't know.

11 Q. What's it for?

12 A. To expand plasma volume.

13 Q. Why would you want to do that then?

14 A. Well, it's for the same reason you'd want to give
15 one-and-a-half-litres of fifth normal saline, I suppose,
16 to expand the circulating volume.

17 Q. Is the anaesthetist was going to do that, do you think
18 that would be a discussion between the anaesthetist and
19 the surgeon?

20 A. I would have thought so, yes. That's pure speculation,
21 so I have no evidence for that at all. I don't know why
22 it was given and I don't know whether there was
23 a discussion.

24 Q. Just while we're on things that were being
25 administered -- and you might be able to help --

1 Dr Taylor's evidence was a fairly low dose of dopamine
2 was given at the start and then there were two small
3 boluses of dopamine given at 10 am. In your experience,
4 why would you be doing that?

5 A. Well, in my experience we always give infusion of
6 dopamine. I don't ever give a bolus, so I don't know.
7 I can't answer that.

8 Q. You have never given a bolus?

9 A. No, never. Always an infusion. We can increase the
10 rate of the infusion or decrease it, but -- and it's
11 not -- I'm not ... I'm not saying it's not acceptable
12 to give a bolus of dopamine, but the reason ... So
13 I don't know because I'm just speculating about it. But
14 the reason to give a bolus of dopamine might have been
15 because the blood pressure had gone down.

16 Q. What would cause that?

17 A. A variety of things, but bleeding would be one of them.

18 Q. Are you able to express a view as to how much blood loss
19 there was from the documentation that you have seen?

20 A. I read the analyses about blood loss. I think the
21 measured blood loss is probably -- or the estimated
22 blood loss is probably an exaggeration of the amount of
23 blood that actually was lost because I think Mr Keane
24 says it was a mixture of urine, melted ice around the
25 kidney and blood. Let's remember that Adam's bladder

1 was not drained for the first hour or two of the
2 operation. It's not clear exactly when, but probably at
3 least the first two-and-a-half hours. And it would have
4 been gradually filling up and would have been quite
5 distended. Then because there was no catheter to drain
6 it -- and then once the anastomosis had been done, the
7 bladder would have then been incised and urine of
8 whatever volume would leak out around the wound and
9 would be aspirated or collected in swabs and there could
10 easily have been several hundred millilitres in that
11 bladder.

12 Q. Do you have any experience of whether kidneys at this
13 stage of vulnerability -- that's towards end-stage
14 failure -- can actually shut down and not produce any
15 urine at all during an operation?

16 A. I think they can.

17 Q. That's Dr Coulthard's evidence, who's --

18 A. I don't think it was his evidence. I think he thought
19 that was a possibility. He didn't have any idea of how
20 much urine was in the bladder at the time and neither do
21 I. So we're both speculating. But we know that Adam
22 was capable of passing 1,500 ml of urine at least a day.
23 We know that he was given a lot of fluid and he may well
24 have been able to produce more urine under that drive of
25 more fluid and dopamine. I have seen end-stage kidneys

1 produce many litres of urine when normally they do not
2 produce that. So I would disagree with Dr Coulthard
3 about that. I think it's quite possible there were
4 several hundred millilitres of urine in the bladder, but
5 it's pure speculation.

6 Q. Understood.

7 A. So we're given a figure of 49 ml.

8 Q. Yes.

9 A. But that is likely to be totally erroneous because a lot
10 of the urine will have leaked out into the abdomen, I'm
11 quite certain about that. So whatever was drained after
12 that, which is the 49 ml, is probably only a very small
13 proportion of it. I see these operations day in and day
14 out and I know that a lot of the urine, when you open
15 the bladder, leaks out into the wound. So I'm sure
16 that's what happened. The bladder was described as
17 being distended. To get a bladder distended, a chap of
18 Adam's size -- there could easily have been 100 or 200
19 ml in that bladder.

20 Q. I think the bladder may have been described as being
21 large. I'm not sure it was described as being distended
22 with urine at that time, just the thought was that
23 he had a large bladder. I think that was Dr O'Connor's
24 evidence.

25 A. I don't think we should get fixated on a figure of

1 49 ml.

2 Q. I didn't mention the figure myself.

3 A. But it's mentioned a lot, certainly by Dr Coulthard, in
4 his discussion about how much urine was being produced.
5 If this child did produce 1,500 ml at least a day, then
6 -- you know, he was anaesthetised for quite a long
7 proportion of that time. There's no indication that his
8 kidneys would have shut down in that time. That's not
9 a normal thing in an operation to do a transplant. It
10 could happen, but it's not normal. Then he's likely to
11 have produced maybe a third of that normal volume,
12 a quarter of that daily volume in that period of time,
13 so --

14 Q. How much do you think he might have produced an hour
15 then?

16 A. Well, he could have produced -- I think they estimated
17 he was producing 60 to 75 ml an hour, and if the
18 operation was 3 or 4 hours he could easily have been
19 four times 75, 200 to 300. That's what I believe was in
20 the bladder. That's the likeliest thing that was in the
21 bladder. But it is speculation, so all I'm saying is
22 we're not sure exactly how much blood was lost.

23 Q. Yes. That's where we started. I was actually trying to
24 see if you could help us with your view as to how much
25 you thought was lost, but I think --

1 A. I hope I have helped you.

2 Q. You have helped us in the sense that you think it's
3 actually quite difficult to measure because there's
4 likely to have been any number of these other fluids
5 involved.

6 A. That may be helpful to you.

7 Q. Yes. I wonder if we could deal with closing the wound.
8 How important a process is that?

9 A. It's important because otherwise the bowels will fall
10 out. So it is obviously an important process to do,
11 just like opening up the patient. It's important to do
12 any part of the operation in a skilful manner. But what
13 you're really asking me is: is it important for the lead
14 surgeon to close the abdominal wound? And the answer
15 is: no, it isn't.

16 Q. No, I wasn't asking you that. I will ask you the
17 question that I am asking you.

18 A. Okay.

19 Q. Which is: you have described earlier this afternoon
20 about it being a large kidney going into a relatively
21 small space. You have also said there are occasions
22 when the perfusion isn't as good as it is previously and
23 that, in those circumstances, you have previously lifted
24 the kidney out to see if you could improve things.

25 A. Mm.

1 Q. And what I want to ask you is: is it possible, whenever
2 a large kidney is put into a small child, to have, in
3 some way, compressed or kinked any of the vessels so to
4 have affected the blood supply?

5 A. Yes, it is. So what's important is -- and this is
6 a real source of complications. So before closing up,
7 you need to put the kidney in the position that it is
8 going lie in --

9 Q. Mm-hm.

10 A. -- when you close up.

11 Q. Yes.

12 A. Because that will be a different position from the one
13 that you've had the kidney in to stitch it in.

14 Q. Yes.

15 A. Because that'd be sticking up out of the wound. After
16 you've finished, you have to place the kidney in the
17 position you would like it to lie and then you have to
18 close the abdominal wound. Just the closure of the
19 abdominal wound can change the position of the kidney.
20 It could compress the kidney and we've seen, as I say,
21 in my statement -- we have introduced a system of
22 scanning the kidney immediately after we've finished
23 because a surgeon can see a healthy kidney, put it in
24 a good position, stitch the abdominal wound up and then
25 the scan ten minutes later, after the operation's

1 finished, will show no blood flow in that kidney.
2 That's presumably because of a change of position.
3 Q. When did you introduce scans?
4 A. About five or six years ago. It wasn't in operation at
5 this time.
6 Q. What would you have done, if indeed there was anything
7 you could do, in 1995?
8 A. Nothing, because you finish the operation. You have no
9 way of knowing, unless you decide to do a scan, whether
10 the kidney is healthy or not. If it's producing large
11 amounts of urine, then it's obviously okay, but if it's
12 not, you would expect this kidney not to function
13 immediately anyway for the reasons we've said. So
14 you have no real way of knowing whether it has a blood
15 supply or not unless you scan it. That's why we
16 introduced the post-operative scanning.
17 Q. Does that mean you have to be all the more careful to
18 ensure, so far as you can, that before you start the
19 process of sewing up, that it's in its best position,
20 the anastomosis is looking as healthy as you can get it?
21 A. Yes, but a surgeon who's just devoted hours and hours to
22 an operation will do everything they can to make sure
23 that the kidney's in the right position.
24 Q. So if --
25 THE CHAIRMAN: Sorry, there are two stages to this, aren't

1 there? The stage you described before lunch was what
2 you said was the nightmare time is when the kidney looks
3 good to start with and then is less good.

4 A. Yes.

5 THE CHAIRMAN: And you said you would not close if you are
6 not happy with the perfusion, you'll re-open the
7 vessels. That might turn out to be unnecessary, but if
8 it turns out to be necessary, there's nothing lost. So
9 we're past that stage.

10 A. Yes.

11 THE CHAIRMAN: You're content with perfusion.

12 A. Yes.

13 THE CHAIRMAN: It's at that stage then when the wound is
14 being closed that it might go wrong because of the
15 closure of the wound, on its own, might compress --

16 A. It might do, or --

17 THE CHAIRMAN: How soon would you know that?

18 A. How soon would you know that? You wouldn't really find
19 out in time to save the kidney. I'm not bringing this
20 up as a very frequent cause of problem. We looked at
21 about a hundred of these that we did in children and
22 adults, and we had to take two back to theatre because
23 of poor scans and were able to rescue the kidney. So
24 it's not like it's occurring very frequently, but it's
25 frequently enough to justify or worry about it. Anyway,

1 that wasn't our practice in 1995.

2 THE CHAIRMAN: Okay.

3 A. We would have -- we didn't scan them afterwards and we
4 did lose some kidneys because, by the time we realised
5 the kidney wasn't functioning and did a scan, maybe
6 12 hours later, the kidney had no blood supply.

7 THE CHAIRMAN: Okay. To lose the kidney, you don't lose the
8 patient?

9 A. No, exactly.

10 MS ANYADIKE-DANES: The fact that the act of closing may
11 affect the position or compress vessels or something of
12 that kind, is that something that you have learned with
13 experience is an incidence of the transplant process?

14 A. I think most surgeons would say that that can happen.

15 Q. But if you have no experience whatsoever of transplants
16 of any sort, is it something that you might not
17 appreciate?

18 A. But I ... If you have no knowledge of transplants
19 whatsoever, then it's an irrelevant --

20 Q. Well, it's not --

21 A. -- discussion in my view and I don't want to give an
22 opinion about it. But we're not talking about anybody
23 who would have no knowledge of transplants; we're
24 talking about Mr Keane who had a lot of experience of
25 transplants.

1 Q. Sorry, Mr Brown is the surgeon who closed and he had no
2 knowledge of transplants. That's why I asked the
3 question.

4 A. No, I think you're misunderstanding me. Mr Keane was
5 there and saw the positioning of the kidney and was
6 happy with the positioning of the kidney. Mr Brown was
7 happy with the perfusion of the kidney and they both
8 were and then Mr Brown closed the wound. That's
9 perfectly okay in my view.

10 THE CHAIRMAN: Yes, and I understand that, and that's --
11 we've had that evidence from a number of witnesses,
12 which is that that is okay. But if when closing the
13 wound, that causes a compression of the kidney, that
14 makes the closing of the wound a bit more sensitive and
15 delicate than it might be in other cases.

16 A. I think it doesn't matter who does it. It's done in
17 a very standard way and Mr Brown was an experienced
18 paediatric surgeon who would have been very competent at
19 closing a wound, I would have thought, rather than
20 a trainee who'd never done it before. I'm sure Mr Brown
21 had done a closure of wounds many, many times.

22 MS ANYADIKE-DANES: Sorry, it's not whether he was competent
23 to close a wound, what I was trying to address with you
24 is whether, if you hadn't been involved in closing
25 a wound for any transplant surgery at all, let alone

1 a kidney where you have a large kidney in a small
2 cavity, whether he might not have appreciated that this
3 was a possibility and whether that is something that
4 Mr Keane and Mr Brown could have discussed.

5 A. No, I don't think that's at all the case.

6 Q. Okay.

7 A. I think that the actual appearance of the kidney at the
8 time just before closure and the positioning of it, if
9 that's okay, if that looks okay, then I think it's
10 perfectly reasonable for Mr Brown to have closed that
11 wound.

12 Q. Then it's just a normal risk that could happen with
13 anybody --

14 A. Yes.

15 Q. -- if that happens? So it doesn't matter whether you're
16 an experienced transplant surgeon or not, that's just
17 one of those things that can happen when you close?

18 A. Absolutely. As long as you know how to close a wound,
19 it doesn't matter whether it's a transplant wound or any
20 other wound.

21 MS WOODS: Just a small point. The question is being put
22 whether he, being Mr Brown, might not have appreciated
23 that, in closing the wound, compressing the kidney was
24 a possibility. We actually do have evidence on this
25 from Mr Brown and his evidence was that he said closing

1 the first layer is the critical one because if you're
2 going to get pressure, you're going to get it from the
3 first layer. So we have evidence that, in fact, he was
4 very aware of that risk.

5 THE CHAIRMAN: Thank you.

6 MS ANYADIKE-DANES: Okay. I just would like to ask you now,
7 having read all that you have read, what is your view as
8 to how this surgery was carried out?

9 A. Well, given the reason that we're having this inquiry is
10 hyponatraemic-related death, this clearly was
11 a hyponatraemic-related death and it was not a death due
12 to --

13 Q. Sorry, that's a different point.

14 A. -- surgical competence or not. The conduct of the whole
15 operation relates to the teamwork, the whole team
16 approach. So clearly, the operation was a disaster
17 because the child died. A child died because of
18 overinfusion of dilute fluid. He did not die because of
19 the success or failure of the actual transplant
20 operation.

21 Q. Right.

22 A. Even if the transplant operation had been done perfectly
23 and the kidney had worked immediately, the outcome would
24 likely have been the same because the problem was the
25 early stage of the operation.

1 Q. Yes.

2 A. So it's important to bear that in mind. But as far as
3 the operation was concerned, there were many aspects of
4 it that would worry me.

5 Q. What are they?

6 A. Well, we've discussed virtually all of those in quite
7 a forensic way. If I were to summarise them, it would
8 start at the beginning by the failure to see the patient
9 or the relative. It would start with the issue of the
10 central line and a policy to deal with that, which would
11 be likely to have been to restrict the amount of fluid
12 rather than to give a large amount of fluid with a CVP
13 that's already elevated, whether that's erroneous or
14 not. The conduct of the transplant. I would have done
15 it a different way. I would have gone to a more major
16 blood vessel and I would have used a catheter in situ at
17 the beginning and possibly monitored the urine output
18 because of the problem with the CVP. I probably would
19 have asked the assistant to close the wound with me in
20 the operating theatre writing the operation notes at the
21 time, including the anastomosis time, carefully
22 transcribed, but I'd be quite happy to let one of my
23 colleagues close the wound and we would have done a scan
24 afterwards. And given the terrible circumstances of
25 this case, the like of which I have never seen before,

1 during a transplant operation --

2 Q. Sorry, what do you mean by that?

3 A. What I mean by that is a hyponatraemic death due to

4 cerebral oedema. I have never seen a case like that

5 occur so rapidly in the operating room and immediately

6 afterwards. Given that horrendous outcome, I would have

7 made it my business to talk to the family.

8 Q. And over and above talking to the family, would you have

9 wanted to have any discussion, debriefing, review as to

10 how this actually happened?

11 A. Absolutely.

12 Q. When I think back over your CV, you were clinical

13 director at some stage, so you may have some experience

14 of how you conduct those.

15 A. Now I am.

16 Q. What would you have done in relation to --

17 A. You don't need to be a clinical director to do that.

18 I mean, this is such a terribly adverse outcome that it

19 should immediately have triggered a review of this

20 particular case and a plan for future management of

21 these children. This should have come -- I don't know,

22 it may well have done -- internally and would have been

23 a multidisciplinary meeting. So that would have been to

24 inform the family about what went wrong and to inform

25 them what we've learned from it and what steps. This is

1 taking place now, but it's 15 years later.

2 Q. Yes. Could you go back to 1995? Because in 1995, it
3 might have been a different environment for how those
4 things would have been done. Given that this did happen
5 in 1995, what would you have expected by way of review
6 and investigation into what had happened and how it had
7 happened?

8 A. Given that the death happened, you mean?

9 Q. Yes.

10 A. So I would have stopped the transplant programme
11 instantaneously and I would have had an urgent review
12 with an external person reviewing it because, like
13 I say, in 20 or 30 years of clinical practice, this is
14 such an unusual event. It would have had to be sorted
15 out before you could safely plan another transplant.
16 That's what I would have done. And the very least you
17 would need to have done would have been to carry out
18 a rigorous review of the actual operation, how it was
19 conducted and find a cause of death. I think it would
20 have been fairly straightforward to do that because
21 there's clinical evidence and pathological evidence of
22 brain swelling and brain death. There was a link,
23 a clear link to the volume of hypotonic solution used in
24 the operation and I think that practice could have been
25 changed straightaway or very quickly.

1 I think the wider issue that you've been addressing
2 over the last few hours -- and is well worth
3 addressing -- is the constitution of the team to take
4 the transplant programme forward in small children. So
5 I think that would have triggered a review of how
6 that is handled. I don't know. All these things may
7 have taken place, so far as I know, but that's what
8 I would have done.

9 THE CHAIRMAN: The problem is they didn't or many of them
10 didn't. In particular, Mr Keane, who at that time,
11 I think you know, worked for a different trust which was
12 a short distance away in different premises.

13 A. Yes.

14 THE CHAIRMAN: In essence, his position was he expected
15 there to be an urgent review, but that he went back to
16 his hospital and, in terms, waited for the phone to ring
17 and it never did. Now, if the phone doesn't ring from
18 the Royal to the City asking Mr Keane, it's not beyond
19 him to lift the phone. Sure it isn't.

20 A. I agree with you. That's disappointing. Could I just
21 tell you about one case? The only other case where I've
22 seen anything like this was a case we did at Great
23 Ormond Street. I won't give great details, I'll be very
24 quick. This was a 10 year-old child. I did the
25 transplant. It was a living donor transplant from his

1 mum. Everything went fine, the operation was fine. The
2 kidney was working, the child woke up afterwards, was
3 passing very large volumes of urine in the order of 500
4 to 900 ml an hour and had fluid replacement with half
5 normal saline, which was the recommended fluid for
6 replacement -- not fifth normal, half normal, which is
7 the right stuff.

8 He developed brain swelling and died about 1 o'clock
9 in the morning, so about six hours after the end of the
10 operation. Having regained consciousness, he then lost
11 consciousness because of hyponatraemia because of the
12 rapidity of the change. He was losing a lot of sodium
13 and we weren't giving him enough sodium even though that
14 was our protocol. So that's the only other case that
15 I've seen that's remotely like this.

16 MS ANYADIKE-DANES: Tell me if you can't say because it
17 might identify the child, but can you tell us what year
18 that happened?

19 A. It was about 2005, something like that.

20 THE CHAIRMAN: I think you said five or six years ago.

21 A. Yes, about five or six years ago. The reason I'm
22 bringing that up is because what we did immediately is
23 to have a review of what happened. We got an external
24 specialist to come and look at what we did and we made
25 changes in the protocol based on that. We've never seen

1 a case since, but it made me review the literature and
2 I discovered that hyponatraemia was quite a common
3 problem in many areas of -- as you probably know from
4 this inquiry, chairman, there are other cases that are
5 not related to transplantation. So this isn't really
6 about transplantation, this is about hyponatraemia and
7 how easy it is to induce that in a child, even a child
8 with normal kidney function. It's amazingly common.

9 MS ANYADIKE-DANES: Can I ask you: just on that point,
10 I think what you had been struck by was the speed with
11 which it happened --

12 A. Yes.

13 Q. We're not entirely sure what Adam's serum sodium level
14 was when he went in, but it had been 139 at about 9.30
15 the previous evening. I think it was about 133 at about
16 11 pm, so nobody's entirely sure, but whatever it was,
17 given all his other vital signs, it doesn't seem from
18 the evidence it would have been too far out of normal
19 range. Yet by the time you get to 9.30 am, it's 123 and
20 even if that isn't entirely accurate, roughly, by the
21 time you get to his blood at 11.30 am, it's 119 from the
22 laboratory tests.

23 A. Yes.

24 Q. So my understanding of what you're saying is that the
25 speed with which all that happened did surprise you.

1 And what I want to ask you is: if that had happened in
2 your unit and that rapidity of development of acute
3 cerebral oedema had occurred, to what extent would you
4 have wanted to consider the issue of hyponatraemia
5 generally or simply looked at it in terms solely of
6 a surgical problem, if I can put it that way?

7 A. Well, if it was in the context of a transplant
8 operation, then we would really need to look at the
9 protocols and how we managed the intraoperative fluid
10 balance in the child because most of the protocols,
11 including ours, don't lay down clearly what is given
12 during the operation. That's flexible.

13 Q. Mm-hm.

14 A. So I would have said, "We need to carefully look at that
15 and make strong recommendations for a protocol that
16 governs what fluids are allowed to be given during the
17 operation and what are absolutely forbidden". So fifth
18 normal saline would be totally forbidden. And it is now
19 and everybody's -- a great majority of people around the
20 world are aware of the dangers of giving dilute
21 solutions to patients.

22 Q. In fairness to Professor Savage, it did actually cause
23 him to revise his protocol and he and the newly
24 appointed consultant paediatric nephrologist,
25 Dr O'Connor, actually revised the protocol and as far as

1 it appears from their evidence, to all intents and
2 purposes ceased using the original protocol, although
3 they didn't publish the revised version until 1996. And
4 you'd have seen both those protocols.

5 A. Yes.

6 Q. But I think what you're suggesting is that that was
7 a good thing, but it didn't address what you, as
8 a surgeon, would have been concerned with, which is
9 sufficiently [sic] the perioperative fluids, if I can
10 put it that way?

11 A. Mm.

12 Q. Is that --

13 A. Yes. Because I don't think the protocol did govern that
14 intraoperative management.

15 Q. Can I ask you something else that Professor Gross, who's
16 another expert for the inquiry, had said? He wondered
17 whether, had the kidney transplant been successful --
18 it would appear at some point, I'm not entirely sure
19 when, that Professor Berry and Professor Risdon feel
20 that the kidney failed and they have that quite close to
21 the end of the operation. Professor Gross postulated
22 that if that hadn't happened and it was working and if
23 it was capable of and, indeed, doing so, producing
24 urine, to what extent that coupled with the other steps
25 that were being taken to effectively encourage the

1 production of urine -- whether that would have been
2 a factor. Do you have any views on that?

3 A. It's interesting to speculate as to whether, if the
4 kidney had worked immediately, if it would have been in
5 time to offload all the fluid that he had. But
6 I suspect not.

7 THE CHAIRMAN: There was an awful lot to offload, wasn't
8 there?

9 A. I suspect not for two reasons. It was too late, the
10 damage had already been done to the brain and it was
11 swelling. Secondly, because the kidney will lose quite
12 a lot of sodium as well, so it may not help the
13 situation. It may actually have made it worse because
14 it's difficult to say exactly how much sodium would have
15 been lost in the newly functioning kidney because they
16 don't function normally, as Dr Coulthard's pointed out
17 many times.

18 MS ANYADIKE-DANES: Yes. Mr Chairman, we're approaching
19 3.15. I have virtually finished, but I do have some
20 questions that were given to me by others and I wondered
21 if I might take a few minutes to recap that and then see
22 to what extent --

23 THE CHAIRMAN: Okay. We'll break in one moment. I need to
24 ask you one other thing, Mr Koffman. Trying the best
25 you can to put yourself back to 1995, one of the

1 concerns that I have is about Dr Taylor. Let's assume
2 for a moment that Dr Taylor is a perfectly good
3 anaesthetist who had a terrible day. Okay? We know
4 that there was an inquest in 1996, the finding of which
5 he rejected. How comfortable would you be continuing to
6 operate with Dr Taylor, who seemed unwilling or unable
7 to recognise what he'd done wrong? Because we know from
8 the evidence that he did continue to work and, in fact,
9 he did more paediatric renal transplants. Do you have
10 any observation on that?

11 A. Well, I just wonder what fluid regime he would have used
12 in subsequent transplants, because --

13 THE CHAIRMAN: I should say, in fairness to him, there's no
14 evidence that anything went wrong in subsequent
15 transplants. But what do you do if you have an
16 anaesthetist, whose input is clearly central, who
17 doesn't or won't recognise what he did wrong?

18 A. Well, there's -- I mean, you said he wouldn't accept the
19 coroner's verdict; is that right?

20 THE CHAIRMAN: Yes.

21 A. The coroner's verdict obviously has to be taken
22 enormously seriously and it has to be addressed and
23 there has to be a medical inquiry into that. I'm not
24 sure exactly who gave testimony to the coroner's
25 inquiry, but if there was a lot of medical input into

1 that -- presumably there was to make that diagnosis --
2 then that's a diagnosis one would have to accept and
3 it's the right diagnosis in retrospect as well. So the
4 corollary of that would be that the anaesthetist would
5 have to accept that and learn from it before he would be
6 allowed to practice in my view. I would not support his
7 continuing to do transplants without accepting that
8 verdict and without saying, "I realise that the use of
9 large volumes of dilute fluid is not the right way to
10 approach transplants", and, "We'll agree a better
11 protocol".

12 THE CHAIRMAN: You see, the evidence given by Dr Haynes was
13 this might work at three levels. One is that somebody,
14 perhaps a clinical director, needed to speak to him
15 informally and immediately --

16 A. Yes.

17 THE CHAIRMAN: -- to explore what went wrong. But if he
18 didn't accept what went wrong, that informal discussion
19 would need to be formalised --

20 A. Yes.

21 THE CHAIRMAN: -- through the hospital hierarchy.

22 A. Absolutely.

23 THE CHAIRMAN: His third level was that, ultimately, if
24 there was still a refusal to recognise what went wrong,
25 that should lead to the hospital referring him to the

1 GMC. The objection to that from Mr Fortune on behalf of
2 Professor Savage was that that was not the culture in
3 1995 for doctors to report each other or for employers
4 not to report consultants to the GMC.

5 MR FORTUNE: I made a distinction between doctors and, in
6 fact, the medical director representing the hospital.
7 There is a difference and, in our submission, there was
8 a difference then. It's more common these days for
9 doctors to report other doctors.

10 THE CHAIRMAN: Well, sorry, that's helpful because that
11 means you're not suggesting that there wasn't a culture
12 for the trust to report a doctor to the GMC?

13 MR FORTUNE: That did happen, but not individual doctors.

14 THE CHAIRMAN: We know in this case, therefore, that there
15 was no culture at the time. Sorry, based on what
16 you are saying, there was no culture at the time that
17 prevented the Royal from reporting Dr Taylor.

18 MR FORTUNE: No.

19 A. I think it's fairly simple. If the coroner's verdict
20 was that this was an avoidable hyponatraemic death, it
21 has to be accepted by the team. If you don't accept
22 that, you cannot be part of that team. So I would
23 immediately say he could no do transplant work. But the
24 problem with hyponatraemic illness is that it could
25 relate to any operation; it's not just specific to

1 transplantation. So that is why there is a wider
2 connotation. That is why a clinician not accepting
3 a coroner's verdict would not be acceptable.

4 THE CHAIRMAN: In fact, we know from this inquiry, it
5 doesn't need surgery at all.

6 A. Exactly. It can just be a medical illness that needs
7 fluid replacement. Absolutely. Many of them are with
8 tonsillitis and diarrhoea and so on.

9 THE CHAIRMAN: I want to pause there for a few minutes. The
10 system is that questions are put to Ms Anyadike-Danes to
11 see if they can all be put through her. We will take a
12 break for ten or 15 minutes and hopefully your evidence
13 will be complete very soon after that. Thank you.

14 MS ANYADIKE-DANES: Just one quick question before you rise,
15 Mr Chairman: you said the coroner presumably had medical
16 expertise. He did; he had Ted Sumner as the consultant
17 paediatric anaesthetist who was advising him on those
18 issues.

19 A. Yes, sure.

20 THE CHAIRMAN: That just adds weight to the coroner's
21 verdict.

22 A. So it was a very sound verdict, absolutely correct, and
23 one which should have been acted upon.

24 MS ANYADIKE-DANES: Thank you very much.

25 (3.16 pm)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(A short break)

(3.31 pm)

MS ANYADIKE-DANES: There aren't any questions, but I have just been asked to, if you like, make this point, which is that there have been observations or statements in relation to what Dr Taylor did and didn't accept. There are others who, I think, may be feeling that perhaps there is an implication that maybe they knew or they didn't know what Dr Taylor's position was.

I think they would refer for those matters to be dealt with during governance and I think that's probably, properly, where we are going to deal with them. So the extent to which the other clinicians involved did or didn't know or should or should have known what Dr Taylor's position was in relation to the verdict and what they should or could or have done about that, that's a matter Mr Chairman, which I know that you will appreciate we're going to explore during the governance hearing. I think they just wanted to feel that because they weren't standing up and making that observation, it didn't mean that it wasn't a live issue to be explored later on.

THE CHAIRMAN: Yes. But we have evidence from Professor Savage and Mr Keane on what they knew about him not accepting the verdict.

1 MS ANYADIKE-DANES: Well, I think what they're wanting --
2 well, we can have it now if you like, but I'm not sure
3 anybody thought this particular witness could assist
4 with their position and I think it was felt a fuller
5 exploration of that whole issue would occur during the
6 governance issue.

7 THE CHAIRMAN: Sorry? We are going to come back to it
8 in the governance hearing, but this witness was being
9 asked about the various concerns which he had.

10 MS ANYADIKE-DANES: Of course, yes.

11 THE CHAIRMAN: And he then said: given the horrendous
12 outcome, I would have made it my business to talk to the
13 family and I would want a debrief to work out what went
14 wrong and so on.

15 MS ANYADIKE-DANES: I don't think there's any difficulty
16 about that, Mr Chairman. I, for one, am very happy to
17 have Mr Koffman's evidence about that and I rather hope
18 he would give it with the benefit of his experience.
19 That's not the issue. The issue is, if one goes on and
20 considers whether any other clinician should or should
21 not have done anything in relation to Dr Taylor's
22 position, I think it's hoped that we will address those
23 matters in greater detail -- which we will -- in the
24 governance hearings.

25 THE CHAIRMAN: Yes. Okay. Does that bring an end to

1 Mr Koffman's evidence?

2 MS ANYADIKE-DANES: It does.

3 THE CHAIRMAN: You are free to leave, Mr Koffman.

4 (The witness withdrew)

5 Ladies and gentlemen, unless there's anything that
6 needs to be raised now, we will adjourn until 10 o'clock
7 tomorrow morning. We have Dr Campbell by video link and
8 Mr Peter Shaw. That's tomorrow's evidence. Thank you.

9 (3.35 pm)

10 (The hearing adjourned until 10.00 am the following day)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

MR GEOFF KOFFMAN (called)1
 Questions from MS ANYADIKE-DANES1

