

Tuesday, 3 September 2013

1
2 (10.00 am)
3 (Delay in proceedings)
4 (10.08 am)
5 THE CHAIRMAN: Good morning. Mr Stewart?
6 MR STEWART: I call Dr Geoffrey Nesbitt, please.
7 DR GEOFFREY NESBITT (called)
8 Questions from MR STEWART
9 MR STEWART: Good morning. You've been good enough to
10 furnish us with a number of witness statements, being
11 WS035/1, of 20 June 2005; WS035/2, which, although, is
12 dated 28 June 2008, I think is probably 28 June 2013.
13 Would that be correct?
14 A. The second statement, it is, yes.
15 Q. WS035/3 of 8 May 2013, and most recently and last week,
16 WS035/4, of 26 August. Are you content that they should
17 be adopted by the inquiry as part of your formal
18 evidence?
19 A. Subject to a couple of corrections, one of which you've
20 just spotted. I can tell them you now if you like.
21 Q. If you would, thank you.
22 A. Some of them are factual corrections and others are just
23 clarification. First is that the statement to the
24 inquiry in 2005, I have recorded on page 5 that Saturday
25 was 8 June, it should be 9 June. That error is repeated

1

1 I have used dextrose and glucose interchangeably. This
2 is a clarification for the inquiry. There's actually no
3 meaningful difference between glucose and dextrose at
4 a molecular level. One is the mirror image of the
5 others. So I think the correct nomenclature now is
6 glucose, but very often us older doctors refer to
7 dextrose, but there's no difference.
8 And one final factual thing was in answer to
9 question 21, I referenced my letter to Dr Fulton, and
10 the reference is 021-055-134.
11 Q. Let's just go to the page if we may. That's at WS-035/2,
12 page 18. Which line are you referring to?
13 A. I'm referring to the reference to the letter to
14 Dr Fulton, and I've referred to it as 021-055-134, but
15 in fact that is a letter that Dr Fulton wrote to
16 Mrs Burnside, and it's on exactly the same subject, but
17 what I was referring to was the letter that he was
18 referring to, which is the one I sent to him, and I've
19 since sent that to the Inquiry and you have a copy of
20 that. But the one I've referred to in question 21 is
21 actually Dr Fulton's letter to Mrs Burnside.
22 Q. Thank you.
23 A. Other than that, I think I'm happy.
24 Q. I'm grateful for that. You've also provided us with
25 a copy of your CV amongst the attachments you enclosed.

3

1 in the police statement. My police statement was
2 actually a repeat of the same statement. That's what
3 they did. They added a few things but in the main it
4 was the same statement as the inquiry, so the repetition
5 of the error there.
6 In my police statement they record that I was the
7 clinical director, whereas in fact I was medical
8 director by that time. So that's an error, which I only
9 spotted recently as well.
10 In my second statement to the inquiry, on page 30,
11 in an answer to question 39(a), I have described No. 18
12 Solution as fifth normal saline in 2.5 per cent glucose,
13 which has I can't explain because everybody knows it's
14 4 per cent glucose.
15 THE CHAIRMAN: Page 30?
16 A. Page 30, it's the answer to question 39(a).
17 THE CHAIRMAN: Let's just bring it up. Witness statement
18 035/2, page 30 at 39(a).
19 A. Yes.
20 THE CHAIRMAN: Yes.
21 MR STEWART: It's the second of the blue lines.
22 A. Yes. So I've got fifth normal saline in 2.5 per cent
23 glucose, No. 18 Solution. That's incorrect, it should
24 be 4 per cent glucose.
25 Then just related to that, throughout my statements

2

1 That appears at 035/2, page 337. It's the first page.
2 Can we look at page 339 where we find in the middle
3 of the page a matter relevant to this inquiry, and
4 that is the paragraph starting:
5 "I have a special interest in paediatric anaesthesia
6 and spent six months training in the
7 Children's Hospital."
8 When was that training period you spent in Belfast?
9 A. It was as a registrar and then as a senior registrar,
10 and in my CV they're actually outlined. I haven't quite
11 got that in front of me, but on the CV it says which
12 years I was in the Royal Victoria Hospital and the
13 Children's Hospital.
14 Q. Yes.
15 A. So I had two episodes. Most junior doctors' training
16 in the Children's Hospital is three months, but because
17 I was there as a registrar and a senior registrar, I got
18 the six months accreditation.
19 This was something that came out of a working party
20 in 1999, where you had to have someone that had at least
21 six months in the Children's Hospital to be the
22 anaesthetist with a lead interest. That doesn't mean
23 that they're the anaesthetist who gives all paediatric
24 anaesthesia, but just they have -- there's someone
25 in the department who has at least six months'

4

1 experience, and I met that criteria and was the only one
2 in the department that did. So that was the reason that
3 I adopted that role.
4 Q. Was that something that you were able to carry through
5 into your teaching responsibilities at Altnagelvin?
6 A. Yes, and I would have gone to updates in Great Ormond
7 Street and brought that back to the department and given
8 a presentation on recent updates on paediatric
9 anaesthesia, and the latest one that was relevant to
10 this time would have been in 2000. I had just come back
11 from Great Ormond Street and gave a presentation to the
12 department on the latest thinking on paediatric
13 anaesthesia, and that was for things like pain relief,
14 resuscitation. There was nothing on fluids, before you
15 ask that question. That's the sort of thing that I did.
16 Q. As part of --
17 THE CHAIRMAN: Just for the record, we don't need to bring
18 it up, doctor, but the periods when you worked as
19 a registrar and senior registrar are on page 341,
20 you have set out the months and the years. Thank you.
21 MR STEWART: As part of a programme of continuing medical
22 education, did you attempt to spread your learning
23 through local groups of anaesthetists?
24 A. Um ...
25 Q. I'm referring particularly to -- go back to page 337 of

5

1 questioning him for a moment. If he says he did that,
2 then he did do that.
3 I looked at the -- all I have is a record that says
4 there was the meeting. There's no record of who
5 attended or what the meeting was about, just the title,
6 a flyer for the meeting. So I can confirm -- I remember
7 being at the meeting, but I don't remember anything
8 specifically about the danger of No. 18 Solution or the
9 Arieff paper actually being mentioned.
10 I'm not questioning it, but it wasn't a headline
11 issue certainly. There wasn't a takeaway message from
12 it. I remember just the meeting. That's all.
13 Q. That's perfectly fair. Can we, for the sake of
14 completeness, just see what Dr Chisakuta said about it.
15 It appears at WS283/3, page 2.
16 He describes the meeting on 30 September 1998 at the
17 top of the second paragraph:
18 "The lecture I delivered was on recent advances in
19 paediatric anaesthesia and on a review of the notes
20 I had used to prepare this lecture, under item 5, (d),
21 fluid therapy, the second topic I discussed was the
22 problem of post-operative hyponatraemic encephalopathy
23 discussed in an editorial by Allen I Arieff published in
24 Paediatric Anaesthesia in 1998?
25 A. As I said, I'm not questioning that. I think

7

1 your CV, membership of learned societies. You note
2 the Association of Anaesthetists of Great Britain and
3 Northern Ireland, Northern Ireland Society of
4 Anaesthetists and, more locally for you in Derry, the
5 Western Area Association of Anaesthetists.
6 A. Yes. I've gone to meetings with all those associations.
7 Q. Were you a founder member of the Western Area
8 Association of Anaesthetists?
9 A. Yes, and I was at the inaugural lecture by
10 Tony Chisakuta in 1998.
11 Q. That was when he presented a paper which referenced,
12 amongst other things, the Arieff paper and the problem
13 of post-operative hyponatraemic encephalopathy?
14 A. Well, I looked at the records. I was in the audience
15 when Dr Chisakuta gave his evidence, and he said that he
16 had given that talk, and I can confirm that that is the
17 case, he did give a talk and it was called "An update on
18 paediatric anaesthesia", rather similar to what I've
19 just described coming from Great Ormond Street. And he
20 said that he didn't have the copy of the slides but he
21 talked about the notes that he had made prior to the
22 thing and these were the points he'd raised.
23 He said that in one of them he talked about
24 hydro-encephalopathy associated with hyponatraemia.
25 I have no record of that. I've looked at -- I'm not

6

1 possibly -- it was quite a long presentation, that's
2 possibly a very small part of it.
3 Q. Yes. I wonder, can I ask you to describe so we may
4 better understand the organisational structures within
5 which you worked in Altnagelvin in 2001, can I ask that
6 a page from the annual report be shown, which is
7 321-004gj-017.
8 This, as you can see, is from the 1999/2000 annual
9 report, and this is the surgery and critical care
10 directorate within which you worked at that time. You
11 can see at the top there are three clinical directors,
12 Mr Paul Bateson in surgery and neurology, Mr Sharma in
13 specialist surgery, and yourself as clinical director in
14 critical care with responsibility for anaesthetics,
15 theatres and the intensive care unit.
16 Within that directorate, how did it work with three
17 clinical directors?
18 A. Well, Mr Paul Bateson was the lead clinical director, if
19 you like. He was the top man -- I suppose you would
20 call it that -- in the surgical directorate. Within
21 that, the sub-directorates were the specialist surgery
22 one.
23 THE CHAIRMAN: I think in order to avoid trouble down the
24 line, could you slow down a little bit because the
25 stenographer's going to have to keep up. I'm not

8

1 complaining about you moving through the evidence
2 briskly, but the stenographer has to keep up. Okay?
3 A. There is a directorate structure, and so you have
4 a surgical directorate, medical directorate and then
5 you would have directorates of things like pathology and
6 radiology and so on, service directorates, and
7 anaesthesia is a little bit like one of those service
8 directorates, so anaesthesia and critical care would be
9 like radiology, like pathology in that it serves --
10 provides a service to surgeons and to my other
11 colleagues.

12 So within the surgical directorate, you would have
13 a general surgeon, who looks after general surgery, and
14 he's the lead clinician and the specialist surgeons are
15 things like ENT, orthopaedics, ophthalmology, urology,
16 there's lots of ologies, and they're all related to
17 surgery and they're all within the directorate, but
18 because they each have a special interest they're
19 represented by a lead clinician. It sounds a wee bit
20 difficult, but it's not.

21 MR STEWART: So the lead clinical director here is

22 Mr Bateson. He would report to the board, he would
23 report to the medical director?

24 A. Yes.

25 Q. And would you report to him?

9

1 Because I was called in, I obviously had to come to
2 the clinical incident meeting, and that made sense. If
3 I hadn't been the on-call -- if I hadn't been the
4 anaesthetist called in and I was the clinical director,
5 I would have wanted to have come to the clinical
6 incident meeting.

7 Q. Yes.

8 A. So from the question you're asking is, why was the
9 surgical clinical director not called, and I suppose
10 looking back on it, that would have been a good idea to
11 do that.

12 Q. Did you make any report to Mr Bateson of the critical
13 incident review and its conclusions?

14 A. Not a written report, but I obviously engaged with him
15 because, as I say, we worked together in theatres. So
16 the news of what had happened spread very quickly by
17 word of mouth, and then all the subsequent
18 correspondence that I had with Mr Bateson, so he knew
19 about it, but I didn't formally write to him and say,
20 "Here's what's happened".

21 Q. And did he ask for any formal briefings or notes from
22 you in writing?

23 A. No, he didn't. It wasn't that he wasn't interested in
24 it, but he didn't actually ask me for those particular
25 things.

11

1 A. Yes, but it's not just as hierarchical as that. I mean,
2 there's a little bit of common sense involved. If the
3 thing involves intensive care, I don't necessarily have
4 to go through him, I could go straight to the
5 chief executive or straight to the service manager,
6 whatever the thing was that I was trying to get changed.
7 But I would obviously inform Mr Bateson. We all worked
8 together in theatres, so it's not like there were silos.
9 We all worked together, we knew each other, we were very
10 friendly, actually.

11 Q. Yes. In Raychel's case, there was obvious surgical and
12 anaesthetic involvement. Why wasn't Mr Bateson involved
13 in the critical incident review as the lead clinical
14 director?

15 A. I don't know the answer to that. I was asked to come to
16 the clinical incident review and did so. The role that
17 I came in was because I was directly involved with the
18 care. I wasn't the consultant on call, but I was called
19 in because the hospital was extremely busy that night,
20 and I think the reason that I was called by the
21 registrar was because I happened to be the clinical
22 director, so she must have gone "Well, who will I call?
23 I'll call the clinical director", and so I was the first
24 person she called and I was able to come in, and so
25 I did so.

10

1 THE CHAIRMAN: If he had wanted to become involved in the
2 critical incident review or the fallout from that, then
3 he certainly had the right to become involved if he
4 wanted to?

5 A. He'd be most welcome. In fact, he was involved because
6 I wrote to him, I engaged with him and all because of
7 changes that I wanted to make in surgery, so I had to go
8 to the head man, and that was Paul Bateson. But it
9 wasn't so much in writing, it was a verbal
10 communication, it was stopping him in the corridor, it
11 was a daily thing that we did.

12 MR STEWART: In a sense I'm trying to pursue the structural
13 lines of communication and accountability. In this
14 case, the nurses had an issue with surgical staff
15 attending upon paediatric patients. The nurses didn't
16 seem to have a medical clinical director to whom they
17 could take such an issue because it seems as though
18 Dr Martin, who was dealing with women and children's
19 care directorate, didn't really engage very much with
20 the paediatric department.

21 A. I think the answer to that is that the clinical services
22 manager played a very important role, so not only
23 do you have a medical -- medically qualified clinical
24 director, but you had a clinical services manager,
25 usually who was a nurse, who worked in conjunction very

12

1 closely with the person. So working with Mr Bateson you
2 would have had Joan Hutchinson; she was an ex-nurse.
3 She was a nurse. So I would deal with her. If the
4 nurses had an issue, they would go to Mrs Hutchinson.
5 Q. The point is that Mr Bateson was a surgeon and he was
6 heading up the surgery directorate and, therefore, there
7 was a direct line for medical matters to come through
8 the nurses to him to go up to the medical director.
9 Whereas in women and children's care any nursing issue
10 went to Mrs Doherty, who was a nurse and reported to
11 Ms Duddy, and it didn't get through the structural
12 conduits communication to the medical director.
13 A. The only answer I can give you is that at least the
14 clinical director of theatres and intensive care -- or
15 anaesthesia, theatres and intensive care was there, and
16 the nurses can go through me as well as they can through
17 Paul Bateson. But I fully appreciate that Paul Bateson
18 would have been a perfectly legitimate choice to have
19 come to the clinical incident meeting.
20 There's a danger that the meeting becomes too big.
21 I'm guessing, I just was asked to come to it and I did
22 so, and I wasn't -- I was unaware of who was going to be
23 at that meeting other than the medical director. So had
24 when I into the meeting I just came as I was.
25 Q. Is there a danger for a review to become too big?

13

1 there. Sister Millar certainly was there and
2 Nurse Noble was there. Maybe another nurse.
3 So I can remember the room, but I wasn't struck
4 particularly by the fact that the surgeons weren't there
5 because, for me, the issue was the resuscitation and the
6 care that she got following the collapse and the
7 surgery, in my mind, had gone uneventfully and then
8 there had been a collapse, and what you needed there was
9 a consultant paediatrician, which we had, and
10 a consultant anaesthetist, which we had, albeit that
11 I wasn't the on-call consultant anaesthetist, but I was
12 nevertheless a consultant anaesthetist.
13 So we had the expertise there to look after Raychel
14 after the collapse, and that was, for me, the big issue
15 for the meeting. I appreciate there's issues about
16 surgery, looking on down the line. I've listened to
17 what you've been talking about over the last few days so
18 I'm aware of that.
19 Q. Amongst the anaesthetists, did you have morbidity or
20 mortality meetings in the anaesthetic group?
21 A. Yes.
22 Q. Would Raychel's case have featured within such
23 a meeting?
24 A. Yes.
25 Q. And did it?

15

1 A. I'm just saying in the first instance while you're fact
2 gathering, I think the group that we had certainly
3 fitted the bill. The fact that Mr Bateson wasn't there
4 I don't think materially contributed to the actions that
5 we took afterwards. I'm agreeing with you that he could
6 have come to the meeting and perhaps should have been
7 at the meeting, but it wasn't for me to decide who would
8 be at the meeting. I was asked to come to it and did
9 so.
10 Q. Were you struck when you looked around that meeting at
11 the absence of the surgical doctors who had attended
12 upon Raychel?
13 A. Not particularly. I went into the meeting just having
14 come from the weekend with the tragedy having unfolded
15 before me, and my recollection of the meeting is the
16 things that we discussed and the actual people that were
17 sitting around the meeting I'm not so sure about.
18 I know what was in my mind, I know what I was very
19 concerned about, and I know what I talked about, and
20 I know the issues that came out of it. So I know
21 Mr Gilliland was there, I know Dr McCord was there.
22 I think Dr Trainor might have been there.
23 Q. I don't think so. Dr Makar was there.
24 A. I'm making things up then. So there's some people that
25 I know were there and I know some of the nurses were

14

1 A. Well, I gave -- I gave my presentation at such
2 a meeting. I gave that presentation to everybody,
3 anybody I met.
4 Q. Yes.
5 A. I mean, it was all I did.
6 Q. Yes.
7 A. So when I -- everybody in the department was told very
8 clearly what had happened to Raychel, and then
9 I formulated a presentation and would have presented
10 that throughout the hospital and elsewhere.
11 Q. Was this anaesthetic mortality meeting, morbidity
12 meeting, part of a clinical audit committee meeting or
13 how was it organised?
14 A. It's within the department, each month you would have
15 a meeting that was a mixture of audits that you would do
16 within the department and morbidity/mortality where you
17 would discuss cases where there was learning from things
18 that had happened. It was not always about mortality.
19 Q. When you say department, do you mean just anaesthesia or
20 do you mean surgery and critical care?
21 A. That was anaesthesia and -- critical care is intensive
22 care, theatres and the anaesthetic department.
23 Q. Was this meeting minuted?
24 A. Very possibly. I don't have minutes of it.
25 Q. Where would the minutes be?

16

1 A. Minutes like that are usually held within the
2 anaesthetic department. I've looked for minutes, it's
3 just it's too long ago. They go back years, but they're
4 not kept for that length of time. That was the problem.
5 So I thought that would be useful to look at, to
6 demonstrate that I had talked about it.
7 Q. How long are they kept for?
8 A. I think we went back to 2004. I'm not sure about that
9 date, but --
10 Q. So you say before 2004 they're missing?
11 A. Yes. They've probably been shredded or -- it's a space
12 issue in the anaesthetic department.
13 Q. When might they have been shredded?
14 A. Well, I don't want to be led into a corner here.
15 I don't know the answer to that. I'm thinking that
16 there must be some way of keeping a space in the
17 anaesthetic department and old documents must be
18 destroyed. I'm guessing. That's pure guesswork.
19 Q. Would there be any electronic copies of these documents?
20 A. I don't know the answer to that. I did ask.
21 THE CHAIRMAN: But, doctor, they wouldn't have been shredded
22 by 2004, would they?
23 A. No --
24 THE CHAIRMAN: If Raychel died in June 2001, the documents
25 would not have been shredded by November 2004 when the

17

1 9 June 2001."
2 That's following the second scan, I take it?
3 A. Yes. There were two scans. I can't recall when it was
4 in relation to the scans.
5 Q. The second scan was at 8.30 am.
6 A. Well, it was after the second scan, then.
7 Q. "I think this was around 10 am on Saturday morning,
8 9 June. I explained that Raychel's condition was
9 extremely serious and we were unsure as to the reason
10 for her brain swelling, which this scan had revealed.
11 I told her there was possibility that there could have
12 been a bleed into her brain, subarachnoid haemorrhage,
13 and that we had contacted the neurosurgeons in Belfast
14 and were treating as requested. I explained it would be
15 necessary to take Raychel to the Royal Belfast Hospital
16 for Sick Children so the experts in treating her
17 condition could take over her care. I tried to give
18 whatever comfort I could but had to emphasise the
19 situation was extremely serious."
20 The issue that I want to come to is whether or not
21 at that time, when you spoke to the Fergusons, to
22 Mrs Ferguson, whether you knew that nothing more could
23 be done really for Raychel, whether in Altnagelvin or
24 Belfast, there was no hope for surgery and that you
25 weren't really telling them the full picture?

19

1 Permanent Secretary required Altnagelvin to keep all
2 records which related to Raychel.
3 A. That possibly is true.
4 THE CHAIRMAN: So if they were shredded in 2007 or 2008,
5 that doesn't mean that they didn't exist at the time
6 when the call went out from the most senior civil
7 servant in the Department of Health to Altnagelvin to
8 retain everything.
9 A. That's a very fair point. I have looked for those
10 minutes and can't find them, and what I'm saying is that
11 the earliest ones I can find are 2004.
12 THE CHAIRMAN: Thank you.
13 A. That's to my best recollection. I did look for them.
14 MR STEWART: Is there a shredding machine in the hospital?
15 A. Yes, there is.
16 Q. I wonder, can we discuss the issue of Raychel's transfer
17 from Altnagelvin to Belfast. I know you've already
18 described some part of this in your earlier evidence to
19 the inquiry.
20 A few issues require a bit of clarification.
21 I wonder, could we see WS035/1, page 5. This is your
22 first witness statement, and you describe at the top how
23 you spoke to Raychel's mother in the intensive care unit
24 at Altnagelvin Hospital following the CT scan:
25 "I think around 10 am on Saturday morning,

18

1 A. I hear what you're saying and I know that that is the
2 line that the Ferguson family have taken from that. All
3 I can say is that I spoke to Mrs Ferguson, who was
4 obviously distraught, and told her, just as you've read
5 there, that the situation was serious. There was brain
6 swelling, we didn't know why it was, there was
7 a possibility of a bleed. Those were things that I knew
8 from certainly the first scan.
9 The second scan was to rule out the possibility of
10 an empyema. An empyema is a collection of pus, so an
11 abscess, if you like, and an abscess is something that
12 you would obviously envisage surgery for. So I believe
13 that the second scan ruled out the possibility of the
14 abscess, but the issue of the bleed was still there, and
15 that had not been ruled out because the report actually
16 was not until the next day, I think maybe the 11th, on
17 the Monday. So as far as I knew, there was a bleed.
18 Now, I didn't discuss surgery at all, I never did
19 with the Ferguson family. But there is an issue that
20 you can -- there are surgical interventions that you can
21 do in a subarachnoid haemorrhage, so it is possible in
22 a subarachnoid haemorrhage to do surgical interventions.
23 One of them is to put in a subarachnoid drain, where you
24 relieve the pressure in the brain, and you can do that
25 through an epidural catheter or a cranial bolt, and

20

1 those are things that neurosurgeons can do, and you need
2 an intensive care unit and a neurosurgical unit.

3 So those are possibilities that were always there,
4 but all I said was it was very serious, the brain
5 swelling we were unsure of the cause, it was possibly
6 a subarachnoid haemorrhage and that we needed to get her
7 to Belfast where the expert care was, and that we had
8 been discussing her care with the neurosurgeons and they
9 were in agreement with what we were doing.

10 And what we were doing was hyperventilation.
11 Hyperventilation is where you reduce the carbon dioxide
12 levels in the blood and you need to measure those
13 levels, and by that doing that you can shrink the size
14 of the brain, which is exactly what you want to do if
15 the pressure is rising. So that's an interim measure,
16 if you like, as to how you lower pressure, and then you
17 transfer the patient to the neurosurgical unit.

18 So that's what I was saying to Mr and Mrs Ferguson.
19 I think, listening to Mrs Ferguson's evidence, it's
20 clear that she remembers some of the things that I said
21 to her and doesn't remember some of the other things,
22 and unfortunately, in my experience, this is something
23 that is not uncommon, where you're telling somebody
24 who's in a really bad situation some news and they're
25 not taking on board everything that you say.

21

1 A. Yes, I did, because they wanted to speak to somebody who
2 would have some experience with intensive care, and
3 I suppose that was the reason. It was a brief
4 conversation with the neurosurgeon.

5 I have said neurosurgeons, and all I mean there is
6 that the neurosurgeons is like a group of people, but
7 I actually spoke probably to the senior registrar on
8 call, I would imagine. I don't know who it was. I know
9 I've been asked that by the inquiry and I cannot recall
10 who it was, nor can I recall clearly the conversation.
11 But I outlined the history to him, as far as I knew it,
12 given that I'd come in quite late to the event, and
13 explained what we were doing with the hyperventilation
14 and the fluid restriction and all that type of thing.

15 Q. Yes. You explained it to us at WS035/1, page 2. There
16 we are.

17 That second main paragraph concludes with the two
18 sentences:

19 "I spoke with the neurosurgeons in Belfast who were
20 able to view the results concurrently due to image
21 linking. Following this conversation and at the
22 neurosurgeon's request, it was clear that Raychel would
23 need to be transferred ..."

24 So you contacted the intensive care unit, explained
25 the situation, requested that a bed be organised so that

23

1 So as a medical professional I have seen it before
2 and I have broken bad news before, and I have been in
3 serious situations before with parents, and very often
4 you find that the first blush, if you like, of it is
5 that they haven't taken on board everything and you need
6 to meet them again. And I remember that that was one of
7 the things that was concerning me at the meeting that we
8 held, the clinical incident meeting, that we wanted to
9 speak to the parents. That was one of the things that
10 was missing in this scenario because, having had
11 a disaster, you want to meet them again, often the next
12 day, when they've got more questions and so on.

13 I think the difficulty was that Raychel had been
14 transferred to the Royal, another jurisdiction, if you
15 like, and we didn't see the parents afterwards. So for
16 me, that was something that was missing. And we were
17 keen -- from the very beginning, we were keen to meet
18 with the family to answer their questions and to help
19 them in whatever way we could.

20 Q. Let's just go through some of this step-by-step. When
21 the first CT scan was taken at about 6.00 in the
22 morning, Dr Morrison, the radiologist, shared the
23 imaging with the neurosurgeons in Belfast, the Royal
24 Victoria Hospital, and you were there with him and you
25 spoke with the surgeons in Belfast, didn't you?

22

1 you could stabilise Raychel.

2 Then Raychel was taken to the intensive care unit:

3 "Following discussion of the CT findings with the
4 neurosurgeons in Belfast, a second CT scan enhanced
5 using contrast was performed prior to transfer to the
6 Royal Belfast Hospital for Sick Children. I accompanied
7 Raychel to the CT suite for this second investigation
8 and monitored her condition to ensure her stability.
9 We were all extremely concerned as to the cause of
10 Raychel's brain swelling. One diagnosis suggested by
11 the neurosurgeons had been that possibly a subdural
12 empyema (an area infection) had developed and we hoped
13 that surgical intervention might be possible."

14 So you were present for the second scan as well.

15 Did you speak then with the neurosurgeons after the
16 second scan?

17 A. I don't believe that I did. They requested the second
18 scan and I facilitated it by taking Raychel back to the
19 CT room and looked after her again while that scan was
20 done.

21 One of the things I did want to point out was that
22 the paraphernalia that comes with a case like Raychel
23 coming down to the CT room is very, very difficult to
24 manage, and my sole responsibility is to look after the
25 patient. So from the anaesthetist's point of view, it's

24

1 the care of the patient and particularly airway, and you
2 need to see the CT scan room to understand it, but
3 no one else goes into the CT room because there's
4 radiology, and we stand behind a screen and the patient
5 is remote from you, and there's a long piece of tubing
6 from the ventilator to the patient, and as the patient
7 goes into the CT scanner, there's a real danger that
8 you're going to lose the airway. So from the
9 anaesthetic point of view, you're concentrating
10 100 per cent on the patient and not on the scan.
11 Q. Well, you were with her at the CT scan for the second
12 CT scan. You were extremely concerned about what it
13 might show. You had spoken to the neurosurgeons after
14 the earlier CT scan.
15 Did you not hear what the neurosurgeons said over
16 the link?
17 A. I believe that I understood there was no empyema, and
18 the empyema was a second thing that we were concerned
19 about.
20 The first thing we were concerned about was the
21 subarachnoid haemorrhage, and that had not been ruled
22 out, that was still a possibility, and for me that was
23 the thing in my mind that -- I mean, the whole thing
24 about the empyema came because the neurosurgeons wanted
25 an enhanced scan, and actually it showed nothing

25

1 Q. I wonder if we can bring up Dr Bhalla's evidence to this
2 inquiry. The transcript of 14 March 2013, pages 45 and
3 46, if they can be shown together.
4 On page 45, line 20, question to Dr Bhalla:
5 "Were you aware of the fact that there was a second
6 enhanced CT scan carried out?
7 "Answer: Of course, yes, I was there along -- and
8 we got the report that the second CT scan confirmed that
9 it was cerebral oedema and there was no haematoma
10 there."
11 He was there and he seems clear that the report came
12 back there was no haematoma.
13 A. Well, I don't know what report he's talking about
14 because the report was not written until the 11th. If
15 he's talking about a verbal report --
16 Q. Yes.
17 A. -- I didn't hear that. I can't comment on his
18 expertise. If he was there and he says all those
19 things, I'm not saying he's wrong, but I'm telling you
20 that I did not hear that. I was there. My concern was
21 this was a subarachnoid haemorrhage or that was one of
22 the possibilities.
23 Q. Look at page 46, line 15.
24 "Question: Was there any discussion, once it could
25 be seen on the CT scan, about what they would do, what

27

1 compared -- nothing new from the first scan, but it
2 ruled out the fact that it was an empyema, so we knew
3 that that wasn't the case. But we didn't know anything
4 about the subarachnoid haemorrhage not being there.
5 That was actually confirmed on the 11th with
6 Dr McKinstry when he talked to Dr Morrison, and the
7 report was written then and he said that the area of
8 high contrast, or whatever it was, high reflectivity,
9 was just the cerebral oedema.
10 But at the time, in my mind, having been there for
11 the first scan and hearing what it was, and there was
12 the talk of the subarachnoid haemorrhage, in my mind
13 that's what it was. It was a possibility. I mean,
14 I have already said we didn't know why she had the brain
15 swelling, but certainly a subarachnoid bleed can cause
16 that.
17 Q. The neurosurgeons in Belfast were being asked
18 specifically to comment on the subarachnoid haemorrhage,
19 weren't they?
20 A. Not by me.
21 Q. Do you remember Dr Bhalla being in the room?
22 A. No. I'm not saying he wasn't in the room, don't get me
23 wrong. For me, the concentration was on Raychel.
24 I remember Dr McCord, and Dr Bhalla may well have been
25 there, I don't remember him.

26

1 the further treatment for Raychel would be and what her
2 prognosis was?
3 "Answer: Of course. From the examination as well
4 as the investigation results, it was quite clear that
5 she has a very bad prognosis with dilated fixed pupils.
6 "Question: What did that mean to you, a very bad
7 prognosis? What does that mean?
8 "Answer: That means she will not survive."
9 There was a discussion in that room. Do you
10 remember a discussion?
11 A. No, I don't.
12 Q. So you were in the room, you were very concerned, you
13 don't remember haematoma being mentioned by the
14 neurosurgeons, you don't remember what Dr Bhalla does,
15 and you don't remember a discussion.
16 A. That's correct. I think that it's easy, looking back,
17 knowing what you know, to have that guide your memory.
18 I'm not suggesting Dr Bhalla has done that, but he's
19 been wise after the event here, saying, "Of course we
20 knew, of course we knew". We didn't. I was there,
21 I was a senior consultant and was heavily involved with
22 the treatment. The surgeons were, in my view, in the
23 background there.
24 THE CHAIRMAN: Sorry, just to get it right. Without
25 confronting Dr Bhalla's evidence or trying to suggest

28

1 anything sinister about it, do you think, when he comes
2 to give us his memory about what happened, he's
3 influenced by what happened afterwards?
4 A. Yes.
5 THE CHAIRMAN: And as things do happen, perfectly innocently
6 sometimes, people's memories of different events merge
7 or memories are simply wrong.
8 A. It's a danger. A real danger. I can see it myself when
9 you listen to other people's evidence. It almost
10 affects what you remember yourself, and I have examples
11 of that where I almost changed what I was thinking, but
12 realised that, no, I was right all along.
13 THE CHAIRMAN: Yes.
14 A. I can give you that example later on, if you would like.
15 But I do worry that people remember knowing what finally
16 happened. I mean, when we met with the family -- I know
17 we'll be coming to that -- we did say, "Look, looking
18 back on it, in retrospect, you were right, the death
19 most likely occurred in Altnagelvin", and that was an
20 irretrievable situation. But at that time, we had not
21 done brainstem testing, there was no question that it
22 was irretrievable, and we were doing everything in our
23 power to make sure -- so it's easy for someone to say,
24 "Well, of course I knew", when you know what the final
25 result is.

29

1 the surgery you would do for an empyema.
2 So with his surgical hat on, he's thinking "Well,
3 there's no surgery to be done here", but that is not the
4 case because a subarachnoid haemorrhage can have
5 a surgical intervention as well, and I've done that,
6 I've been in theatre when that's been done.
7 Q. Was there any further discussion with the doctors in
8 Belfast? Was there discussion with surgeons in Belfast
9 at that time?
10 A. No, there wasn't.
11 Q. What was the advice coming back from Belfast at that
12 time as to what you should do with Raychel?
13 A. Well, the advice that I got personally over the phone
14 from the neurosurgeon was to get her to Belfast as soon
15 as possible.
16 Q. Was that after the first or the second CT scan?
17 A. I believe the conversation was after the first scan.
18 Q. What advice were you getting from Belfast after the
19 second scan?
20 A. I don't recall any advice, but Belfast would have been
21 highly unlikely to have said, "Well, it's not an empyema
22 so don't bring her here". They would not have said
23 that, because the only regional unit in Northern Ireland
24 is the Royal Belfast Hospital for Sick Children
25 intensive care unit. That's the only place a child can

31

1 MR STEWART: He's doing something a bit different, he's
2 remembering a discussion, which is a slightly different
3 thing.
4 He goes on at page 48 of the transcript, and could
5 we see page 48?
6 Line 10:
7 "Question: Is that something that was shared? Did
8 other clinicians agree that there really was nothing
9 that could be done surgically?
10 "Answer: Yes, I think so. As far as I recollect,
11 all of them said she needs intensive care, conservative
12 management."
13 Was there a discussion about what should be done
14 with her?
15 A. I think if there was a discussion, it was about the fact
16 that it wasn't an empyema, and the empyema is where
17 I said that you would imagine you'd have direct surgical
18 intervention with -- you know, you'd imagine the scene.
19 The intracranial bleed can also have a surgical
20 intervention, but it's not the sort of surgery a surgeon
21 would think of. It's the surgery where you are putting
22 a drain in to measure pressure, something like that. So
23 I've talked about that earlier on, so I don't want to
24 repeat that. But there are things you can do surgically
25 for a subarachnoid haemorrhage that are different from

30

1 go, and to go there, you have to have an admitting
2 surgeon. So the admitting surgeon would be the
3 neurosurgeon, and the neurosurgeon would still have to
4 take charge of that case even though they might have the
5 view that they've got no surgical expertise to offer.
6 But it's still their patient.
7 So intensive care doesn't have patients -- the
8 anaesthetists in intensive care don't have patients of
9 their own, it's a shared care. So you never would
10 transfer to another hospital without a surgeon or
11 a physician taking over the overall responsibility for
12 the child, and then the care is shared with the
13 intensivist in that hospital.
14 If it's the Children's Hospital, it's the only place
15 she can go.
16 Q. Just so that I'm clear, you were the transferring
17 consultant, taking the decision to transfer her to
18 Belfast, and you don't recall a conversation with
19 Belfast after the second scan as to what they were
20 suggesting you do?
21 A. No, I don't. I mean, the -- what they said was to
22 hyperventilate the child, and you would do that
23 irrespective of whether it was an empyema or whether it
24 was a subarachnoid haemorrhage, the treatment is the
25 same. So they weren't going to say to me "Well, you

32

1 need to alter the treatment here", because the treatment
2 that we were doing was exactly what they wanted.
3 THE CHAIRMAN: Can I get it clear, doctor? If the advice
4 after the first scan was to transfer Raychel, then was
5 it the Royal who said, "But before you transfer Raychel,
6 we would like to try to see if there is better imaging
7 we can get*"?
8 A. Yes. It was going to -- it was an enhanced scan and it
9 would help their diagnosis. That was all. So they were
10 saying "Well, look, before you leave", I'm putting that
11 in parentheses.
12 THE CHAIRMAN: I understand.
13 A. The concept, in terms, if you like was "Before you
14 leave, could you do another scan because that will help
15 us to see if it's an empyema or not".
16 If it was an empyema, I don't know if I'd be any
17 happier. I wouldn't be happy because I have had
18 experience of that before and the outcome was the same.
19 So a child with an empyema transferred with fixed
20 dilated pupils from the Ulster Hospital to the
21 Children's, I've done that before, and it was a bad
22 outcome, and that was with surgical intervention. So
23 irrespective of what they were saying, it wasn't --
24 we weren't thinking "Oh, there's great hope here".
25 I wasn't.

33

1 surgical seen on the scan. Not for to [crossed out] but
2 for transfer to RBHSC when bed available."
3 What does that mean, "nothing surgical seen on the
4 scan"?
5 A. Well, we're just repeating ourselves. I mean, what it
6 showed was there was no empyema, and again, that's
7 surgical speak because they're saying there's no
8 surgical intervention.
9 The point I'm making is that just because it's not
10 an empyema doesn't mean you don't transfer, and just
11 because it's not an empyema doesn't mean you can't have
12 a surgical intervention in what I've been talking about,
13 about the drains and so on.
14 That person who wrote that note is not saying that.
15 What they're saying is the second scan has showed that
16 no surgical intervention is possible.
17 Q. Could it mean no subarachnoid haemorrhage, nothing
18 surgical?
19 A. I don't see where it says that.
20 Q. It simply says, "nothing surgical".
21 A. That's correct. A lot of people who have subarachnoid
22 haemorrhage, you don't put a drain in. I'm saying it's
23 a possibility to do that, you don't have to do that.
24 You sometimes ventilate them until they stabilise, and
25 then after ten days they go back to theatre and have

35

1 THE CHAIRMAN: But we've had a number of witnesses in
2 different cases saying this, but the fact that you had
3 a bad outcome previously doesn't mean that you say,
4 "Well, then, we're not going to transfer a child with
5 the same condition" --
6 A. No.
7 THE CHAIRMAN: ?Because at this point you're clutching at
8 any chance.
9 A. No, I wasn't --
10 THE CHAIRMAN: I'm just clarifying that. Even if the
11 prospects look very, very poor, you don't give up;
12 is that right?
13 A. No, and all I'm trying to say there was just because it
14 wasn't an empyema didn't raise my heart in any way,
15 I still knew that she was very seriously ill, and that's
16 really what I tried to convey to Mrs Ferguson in the
17 intensive care unit.
18 THE CHAIRMAN: Okay.
19 MR STEWART: Just one or two further matters on this. Can
20 we look, please, at 020-023-049, which is part of the
21 clinical record.
22 You'll see this is the noting of the CT scan and,
23 from the second line there, you'll see:
24 "Taken back to the CT scan for the contrast CT scan.
25 No new findings. Neurosurgeons contacted. Nothing

34

1 a definitive operation to do that clipping of the artery
2 that you might have heard about in subarachnoid
3 haemorrhages.
4 Q. Looking back now, do you think that there's anything
5 perhaps more you could have said to Mrs Ferguson at that
6 time to save her perhaps the agony of hope?
7 A. I believe that I was honest and open and truthful with
8 Mrs Ferguson, and it has shocked and saddened me when
9 I read her transcript and listened to her evidence that
10 that's what she took from it. All I can do is reiterate
11 that I said the things that I said to her. I was as
12 sympathetic as possible, but I said it was a very
13 serious situation, and a lot of that goes over the head.
14 It's not the fault of Mrs Ferguson, and it's not my
15 fault either, because you say the thing, and I think you
16 need to say it again, and that opportunity didn't
17 actually come to us when they got the questions and so
18 on afterwards.
19 Q. Well, after Raychel died, you must have had a number of
20 questions, and you telephoned the hospital in Belfast
21 again, the RBHSC, later that evening or the next day.
22 A. Yes, I did.
23 Q. And you spoke to Dr Peter Crean.
24 A. Yes.
25 Q. Did you know Dr Crean, was he a colleague or friend of

36

1 yours?

2 A. Yes, I've worked with Dr Crean. My six months in the
3 Children's Hospital, they were all with Dr Crean, and
4 I know him from meetings.

5 Q. Yes. It's a small, tight-knit community.

6 A. We're on first name terms, if that's what you're asking.

7 Q. And did you discuss the case generally?

8 A. Well, when I rang up on the Sunday, I was enquiring as
9 to what had happened, was there any surgical
10 intervention, was there -- you know, how was Raychel?
11 And the consultant that I spoke to was Dr Crean on that
12 day. Whereas on the previous day it had been, I think,
13 Dr Chisakuta.

14 When I had transferred Raychel to the
15 Children's Hospital, it was Dr Chisakuta. So when
16 I rang on the Sunday I was half expecting to speak to
17 Dr Chisakuta but, of course, it was a different day and
18 it was Peter Crean.

19 So I said, "Hello, Peter, I'm enquiring about
20 Raychel", and he told me what we know. And I was
21 completely shocked. Not, you know -- I was surprised
22 because it was so soon that they had confirmed brain
23 death so soon, and I thought, "Well, look, it's a bad
24 prognosis", there's no doubt that was in my mind, that
25 it looked very bad for Raychel, but I was surprised when

37

1 cerebral oedema is being treated by hyperventilation and
2 the low sodium was being treated by fluid restriction
3 and administration of saline. The fixed dilated pupils,
4 as I've said in my evidence, can be due to a lot of
5 things. There are things that can caused fixed dilated
6 pupils and you don't say because you see fixed dilated
7 pupils, contrary to what Dr Bhalla might think, that,
8 well, that person is dead. That is not the case,
9 because I have got personal experience of people with
10 fixed dilated pupils making a full recovery or a partial
11 recovery.

12 Q. We know that Dr Crean subsequently expressed misgivings
13 about the management of Raychel. In fact, he's quoted
14 by the coroner as having said there was mismanagement of
15 her case.

16 A. Yes, I've seen that evidence.

17 Q. When you telephoned him on the day or the day after
18 Raychel's death, did he express that view to you?

19 A. No, no, he didn't. He told me the facts and it was
20 quite a short call, I was shocked by what I'd heard, and
21 I said I was really sorry to hear that, you know, the
22 usual things that you would say. There was nothing --
23 he didn't say, "Look, Geoff, there's been a serious
24 problem here because ..." So that conversation didn't
25 happen.

39

1 he said that. I did not anticipate that he would say
2 that. So when I say in my statement I was shocked by
3 that, I was genuinely taken aback by what he told me and
4 it was upsetting.

5 THE CHAIRMAN: I'm not quite clear, were you shocked by
6 learning that Raychel was dead or were you shocked by
7 learning that it had all come to an end so quickly?

8 A. Both, because in my mind I -- I must say, I hang my hat
9 on the subarachnoid haemorrhage. That was what
10 I thought it was. I thought she had a subarachnoid
11 haemorrhage.

12 And my experience of those is that you ventilate the
13 person, you may put in that dural drain I'm talking
14 about. There are things that you can do. And then
15 a period of time goes by and then there's surgical
16 intervention perhaps, or -- other people do die with
17 subarachnoid haemorrhages. Now, I know that. I'm not
18 completely naive. I know that people die. I wasn't
19 anticipating that Raychel would. And again, I know that
20 the family have the view that I knew from day one, hour
21 one, that there was no hope, and that is not the case.

22 MR STEWART: You knew that she had a sodium level of 118,
23 that she had fixed and dilated pupils and that she had
24 a cerebral oedema?

25 A. Yes, and all those things were being treated, so the

38

1 Q. Was there any part of the conversation that was critical
2 of the care and treatment Raychel received at
3 Altnagelvin?

4 A. No, not at that time.

5 Q. Because Mr Gilliland has given evidence in his witness
6 statements that in fact there were discussions, some
7 discussions, he couldn't positively identify them,
8 between medical staff at Altnagelvin and the RBHSC, in
9 which there was some criticism, some critical comment,
10 I think.

11 A. This is the rumour?

12 Q. It's not quite the rumour. There were several different
13 rumours going back with nurses or being picked up by the
14 family.

15 This was Mr Gilliland and he said it at WS044/4,
16 page 11. At (q):

17 "My recollection is that at the time of the critical
18 incident meeting [which, of course, is the Tuesday]
19 we were aware that there had been discussion between our
20 own medical staff and the doctors in the RBHSC about the
21 probable cause of Raychel's death and that some of that
22 discussion had been critical."

23 A. That is under the heading of the rumour, so he is
24 talking about the rumour, and I believe that he's just
25 misinformed there. I think the rumour, if there was --

40

1 I know about the rumour, and the rumour said that
2 a nurse from the intensive care unit in the
3 Children's Hospital told a nurse from the children's
4 ward, who had also phoned up to find out what had gone
5 on, that we had used the wrong fluid. So there was an
6 implied criticism there.

7 I don't recall any information about medical staff
8 having conversations. I certainly had no conversation
9 with Dr Crean along those lines, and I know that at that
10 stage Mr Gilliland wouldn't have had those conversations
11 either. So he may be relying on his junior staff there,
12 and I'm unaware of any interactions that his junior
13 staff had with the Children's Hospital.

14 They may have had, and again, when I'm talking about
15 differences of recollection, I think we've discussed
16 this before in the inquiry, it's not a criticism and I'm
17 not saying it didn't happen, and I'm not questioning
18 anybody's integrity. So if someone says there was
19 a discussion with medical staff, I'm unaware of it, but
20 I do know of the rumour he was talking about there, and
21 that was one that came from, I believe, the nursing
22 staff.

23 I did follow up on this and asked Dr Chisakuta could
24 he shed any light. So there was a discussion between me
25 and Dr Chisakuta, and perhaps that's what Mr Gilliland

41

1 Altnagelvin that you could reasonably have expected that
2 he would have said to you, either on the Sunday or very
3 soon afterwards "Look, Geoff, you need to sort out what
4 you're doing in Altnagelvin because this just wasn't
5 good enough"?

6 A. All I can say is that didn't happen and maybe my concept
7 of first name terms isn't as good as I thought, but
8 I mean, all I'm saying is I know Peter.

9 THE CHAIRMAN: Let's put the first name terms aside. Let's
10 suppose you had never met Dr Crean before. If you
11 transfer a child like Raychel or any other child to the
12 Royal and that child is seriously affected or dies as
13 a result of what the Royal sees to be inadequate
14 treatment, do you expect -- sorry, would you have
15 expected in 2001 that the Royal would be, however they
16 phrased it, quite clear with you that there were
17 mistakes which had been made and that Altnagelvin needed
18 to sort this out?

19 A. I think, looking back on it, I'm a little surprised that
20 that didn't happen, because I know that in the meeting
21 on 12 June, the clinical incident meeting, where we were
22 aware of the rumour, only that, the feeling in the room
23 was that we were going to be criticised for having done
24 something, used the wrong fluid. And, of course, I had
25 done the research over the weekend from the Sunday and

43

1 is thinking about. But I asked Dr Chisakuta when I rang
2 him on the 13th, although he has no recollection of the
3 call, when I spoke to him I said, "What's this story
4 about No. 18 Solution and the rumour?" and he was unable
5 to shed any light on the rumour.

6 Q. Mr Ferguson remembered Dr Crean taking a particular
7 interest in Raychel's vomiting and using an expression
8 along the lines of "What are Altnagelvin trying to do,
9 pass the buck?" When you spoke to Dr Crean, was there
10 any discussion about the necessity to transfer her or
11 any part of the Altnagelvin care?

12 A. No, absolutely not. He didn't -- he just told me the
13 factual information that they'd done brainstem testing
14 and that that had been confirmed. A second test had
15 actually been done. By the time I rang the second test
16 had been done, so it was confirmed. There was a brief
17 conversation and I wasn't fit for much more anyway. But
18 he certainly didn't raise any issues with me at that
19 stage.

20 THE CHAIRMAN: Did Dr Crean ever raise issues with you?

21 A. No.

22 THE CHAIRMAN: Well, since you're on first name terms with
23 him, as you've just indicated, you've known him for some
24 years, do you think that if he was going to the coroner
25 and being critical to the coroner about mismanagement in

42

1 had read about No. 18 Solution, had read about the
2 Arieff paper, had obviously put two and two together and
3 realised that the risk associated with No. 18 Solution
4 was key to the whole thing.

5 So putting that together with the rumour that we'd
6 used the wrong fluid, was attracting the idea certainly
7 that we would be criticised by the Royal. I mean, that
8 was the feeling in the room. We felt "Gosh, what have
9 we done wrong?"

10 THE CHAIRMAN: But if you are going to be criticised by the
11 Royal, in a sense the Royal should be ahead, shouldn't
12 they, because it's the specialist centre? So the Royal
13 should be -- no matter how hard and you your colleagues
14 try to keep up with the Royal, they should have
15 a greater range of experience and they've maybe easier
16 access to other sources. So they should be ahead and
17 that's why you transfer children to the regional centre.

18 A. I think any feelings that you might have had like that
19 would have been after the clinical incident review
20 meeting. The only reason I am saying this is because
21 I noticed that during Nurse Noble's evidence, it was put
22 to Nurse Noble that there was some finger pointing
23 in that meeting by the Royal, and we were saying at that
24 meeting "The Royal should have told us. The Royal's the
25 teaching hospital, they should have known better". But

44

1 that cannot be the case because I did not find out until
2 the next day and I rang Dr Chisakuta, that there was
3 an issue about No. 18 Solution.

4 Now, I had already done some research over the
5 weekend, but he confirmed that when I rang him. But
6 prior to the meeting on the 12th we had no
7 correspondence from the Royal, no communication from the
8 Royal, saying, other than the rumour, that we had done
9 the wrong thing, and specifically nothing about No. 18
10 Solution. So at that meeting, we certainly weren't
11 saying, "But the Royal should have told us".

12 Mr Chairman, what you're suggesting is that
13 afterwards we might have thought that, and I think
14 that's -- no doubt that's true, in our minds we were
15 thinking "Well, if this was known elsewhere why did we
16 not know?"

17 THE CHAIRMAN: So you're saying the critical incident review
18 is on Tuesday the 12th, you speak to Dr Chisakuta the
19 next day and he tells you that there have been issues
20 in the Royal, or there has been a change of practice
21 in the Royal about Solution No. 18?

22 A. The reason this came about was at the meeting on 12 June
23 I decided that I would call my colleagues -- we all
24 decided it would be a good idea to call my colleagues in
25 other hospitals where children were being anaesthetised

45

1 lucky because look what's happened to us".

2 And on the strength of that I then rang the Royal
3 because, if you look at it logically, there would be no
4 reason for me to ring the Royal to tell them of the
5 death of a child in Altnagelvin because the death had
6 already occurred in the Royal. So I transferred her to
7 the Royal, so they knew about Raychel. So I wasn't
8 going to ring them and say, "Look, we've had a death in
9 Altnagelvin".

10 What I did do when I rang the Royal was I said,
11 "What's this about No. 18 Solution?" So my question was
12 directly about the use of this solution, and it was
13 triggered by the remark from another anaesthetist who
14 said, "But we've stopped using it because the Royal ..."

15 Now, I don't know why she knew that, she might have
16 transferred a child there, she just might have --
17 I don't know how she picked that up.

18 MR STEWART: Can I just take you back, please, to the period
19 between Raychel's death and the critical incident
20 review. At that stage you were aware of the rumour from
21 the Royal that perhaps the wrong fluids had been used.

22 A. Yes, I think I got that rumour on the Sunday. I think
23 that's when it --

24 Q. You started some research looking into Solution No. 18.
25 Presumably you'd gone to the BMJ and found the article

47

1 to warn them about what had happened in Altnagelvin and
2 to say this was something that had happened to us and it
3 could happen to them.

4 So the reason for me calling my colleagues on the
5 13th was twofold. It was to simply tell them of what
6 had happened but, secondly, it was to ascertain the use
7 of No. 18 Solution. But that wasn't the primary reason
8 for the call. The primary reason for the call was to
9 tell them about what had happened in Altnagelvin because
10 I knew my colleagues in other hospitals would be doing
11 exactly the same thing as we were doing.

12 I've worked in all hospitals in Northern Ireland in
13 my long career and I know what fluids are used in
14 children, and I thought this is going to be exactly the
15 same everywhere else.

16 When I spoke to Dr Anand -- in part of this, I spoke
17 to Dr Anand in the Tyrone County Hospital, and that's
18 another -- there was a mention, I think the other day,
19 it was the South Tyrone Hospital, it wasn't, it was the
20 Tyrone County Hospital. South Tyrone is Dungannon.
21 This is Omagh Hospital, I sometimes just call it Omagh.
22 When I spoke to her, she said -- and I know she's no
23 recollection of this -- but she said, "We're not using
24 No. 18 Solution because the Royal aren't using it", and
25 I said no more to her other than, "Well, you're very

46

1 by Arieff and the article by Halberthal.

2 A. Yes.

3 Q. When you spoke to Dr Crean, he may not have mentioned
4 any critical comment. Did he mention Lucy's case?

5 A. No.

6 Q. Did he mention the fact that the Royal Belfast Hospital
7 for Sick Children had abandoned the use of
8 Solution No. 18?

9 A. The only conversation I had with Dr Crean was he
10 conveyed the message to me that Raychel had effectively
11 died and that was the end of that conversation. There
12 was no more discussion about any subject.

13 Mr Chairman, if I could go back to what I was saying
14 though, because the point about Dr Chisakuta was that
15 what he said to me was that, "Yes, we have stopped using
16 No. 18 Solution". And then he went on to talk about
17 "There have been deaths associated with No. 18
18 Solution". And the only reason I'm clarifying this, and
19 I think I do clarify it in my witness statement,
20 number 2, is that as part of the evidence it appeared
21 that Dr Chisakuta had said to me that there had been
22 deaths in the Children's Hospital, and I want to make it
23 clear that he did not say that. What he said was "There
24 have been deaths associated with No. 18 Solution". In
25 other words, there's problems with it, there's deaths

48

1 with it, and in retrospect I'm saying he was talking
2 about the Arieff paper.
3 Q. Why do you say that?
4 A. Because in his evidence he said he had talked about the
5 Arieff paper before, it was part of his presentation, so
6 he must know about the Arieff paper, and that's what
7 he was alluding to. I'm only guessing -- I'm
8 second-guessing there, I don't know that for a fact.
9 Q. How do you know he wasn't referring to Lucy Crawford's
10 case, which he knew about?
11 A. I don't know that. What I'm saying is he did not say
12 the deaths were in the Children's Hospital. And what it
13 looked like from my evidence was you could have read
14 that into my sentence. And what I'm trying to do is
15 clarify that the sentence could have been written
16 perhaps more clearly to Dr Fulton that the deaths
17 were -- that was exactly what he said.
18 Q. Yes, but the point remains that you didn't know
19 he wasn't referring to deaths?
20 A. No, no. No, no. What you take out of it is up to
21 interpretation. That's true --
22 Q. Yes.
23 A. -- but what he did not say was the deaths were in the
24 Royal Victoria -- Royal Children's Hospital.
25 Q. I take that point. Let's just go back, then, to look

49

1 bridge the gap because of a disaster that had happened
2 in the hospital.
3 I wasn't -- as I said, I wasn't on call. So I came
4 in, and at 9 o'clock, actually, what I should have done
5 was go home because at 9 o'clock the consultant for the
6 day would have come on. So the consultant -- the
7 disaster of the night before, whatever was going on that
8 was causing the hospital to be so busy had obviously
9 petered out and a new consultant had come on to take
10 over his duty for the weekend, and what I should have
11 done was say, "Look, Raychel's here, she's stable. I'm
12 going home now". But I didn't do that.
13 What I'd said was, like, "This is my case", so
14 I continued on and transferred to the Royal at midday,
15 whatever time it was, and didn't get back until, I'm
16 sure, 4 o'clock, something like that. So it was a very
17 long day.
18 Q. Would you have expected anything in the way of
19 a discharge summary from Belfast to come back to
20 Altnagelvin or a summary of the diagnosis and the
21 treatment she received in Belfast?
22 A. Yes, I think that would have been a good thing. The
23 fact that we didn't get it didn't generate anything from
24 me. Maybe that was remiss of me as clinical director.
25 I didn't follow up with the Royal. But I was very

51

1 at the critical incident review itself in an attempt to
2 go through these events chronologically so as to make
3 better sense of them.
4 This was obviously a very rare event. Had you much
5 experience of critical incident reviews of this type of
6 critical incident?
7 A. No, it was a new experience for me.
8 Q. And I assume that you had, like everybody else in the
9 hospital, copies of the policies on incident reporting
10 and so forth?
11 A. Well, I wouldn't assume that. I possibly did have, but
12 as clinical director in critical care I don't know that
13 it was high on the agenda at that stage. That is
14 a thing that has evolved. But I'm sure there was
15 a policy. I don't think I ever saw that prior to that
16 meeting.
17 Q. Because it's very striking how little in the way of
18 documentation the review generated. Did you as the
19 referring consultant to the Royal think it was
20 appropriate for you to fill out a form or to generate
21 documentation?
22 A. I didn't at the time realise I was the referring
23 consultant. Of course, looking back on it, it obviously
24 makes sense, you have to have a consultant's name.
25 I just saw myself as the person who was called in to

50

1 caught up with how do we fix this in Altnagelvin.
2 I mean, rather than looking for recriminations or
3 anything like that, I was saying, "Look, we need to
4 change the system here", and so all my time and efforts
5 were caught up with moving on from the clinical incident
6 meeting.
7 I appreciate that there are things that we could be
8 criticised for that we haven't followed up with the
9 Royal. We haven't talked about where's the discharge
10 summary. There's lots of stuff that's missing. But
11 what I take out of this and what I -- well, what I think
12 we did right was that we put a system in place very
13 quickly to stop this happening again, and for me that
14 was the most important thing. There are niceties around
15 it that we have not done and we can be criticised for
16 that, but I don't think we can be criticised for moving
17 the thing on as quickly as we did.
18 Q. I don't seek, and please be assured that much of
19 what was done was highly commendable --
20 THE CHAIRMAN: I have said it a number of times before,
21 doctor, and I think you have probably heard me say that
22 a number of times before, I accept that.
23 A. I appreciate that.
24 THE CHAIRMAN: I accept there was a lot done in Altnagelvin
25 immediately after Raychel's death to start putting

52

1 things right. And in fact, I doubt very much whether
2 we would have hyponatraemia guidelines but for some of
3 the steps that were taken by Altnagelvin immediately
4 after Raychel's death. So as long as you understand
5 that I've taken that point for some time. I've accepted
6 that point for some time. But you will also understand
7 that there are other issues which need to be explored.
8 Okay?

9 A. Yes.

10 MR STEWART: Could thought have been given to in some way
11 involving the RBHSC in the critical incident review,
12 given that it was a shared case?

13 A. Yes. Thought could have been given to that. Thought
14 wasn't given to that. I think we were just caught up,
15 as I said, in the moment of what had happened in
16 Altnagelvin and the desperate need to change it.

17 I think that what you're talking about is a -- would
18 have been later on somewhere down the line, getting
19 together and so on. But by that time we'd started the
20 ball rolling in Altnagelvin, and it very quickly brought
21 other hospitals in. So the need for that probably
22 wasn't as important. Do you follow what I'm saying?

23 I mean that because it went to the Chief Medical
24 Officer at the time that it did and it started the whole
25 review in Belfast, and Peter Crean was part of that and

53

1 failure. Now, I appreciate that we've been talking
2 about junior doctors and their experience and all that
3 type of thing, and could someone be at fault. And there
4 is -- of course, there's that part of it, but really
5 what we're trying to do is change a system. And
6 Dr Sumner actually agreed with that. At the end of his
7 report to the PSNI, he said very clearly "This was
8 a systems failure rather than individual fault".

9 Q. Yes.

10 A. And so that in a way endorsed what we were doing because
11 what we did was we put a system in place that meant it
12 could not happen again, no matter what doctor. You
13 could fix Dr Devlin or you could fix Dr Curran, or you
14 could address issues, and you could get caught up with
15 that. But I believe what we did was we put a system in
16 place so that no matter what doctor comes along, they
17 cannot prescribe fluid because, number 1, I have stopped
18 it being used, but, number 2, we've got a system in
19 place where they've got to have a U&E, they've got to
20 have all those things.

21 So I think the system fix was more important. But
22 I appreciate that had there been a report, you could
23 have looked in the round, if you like, in the long term
24 there would have been other issues. And I think that's
25 been accepted that that possibly should have been done.

55

1 Bob Taylor was part of that, so I was happy that all the
2 hospitals in Northern Ireland were being represented
3 in the changes that were coming forward. It wasn't just
4 all about Altnagelvin, we wanted the changes to be
5 everywhere, and that's why I rang all my colleagues.

6 So, yes, we could have had another meeting, brought
7 the Royal in and so on, but I think we had circumvented
8 that by the actions that we took and had all the
9 hospitals involved, and we're talking about Daisy Hill,
10 Craigavon, Antrim, Omagh. You name it, they were all in
11 on what had happened, and I think that was a good thing.

12 Q. Quite a lot of what happened later, whether it was
13 meeting with Mrs Ferguson on 3 September or whether it
14 was going to inquest, or whether it was engaging with
15 this inquiry, would all that have been assisted if
16 a more systematic review had been undertaken and report
17 produced?

18 A. I think that the value of a report, there's no question.
19 I have listened to evidence just in recent days and it's
20 clear that there would have been value to a report
21 because there had been other issues that would have been
22 explored. And looking back on it, there were maybe more
23 issues than just the No. 18 Solution. I appreciate
24 that.

25 But the main thing for me was that it was a systems

54

1 Q. Because many different systems failures were identified.
2 It was a classic multi-factorial and systematic failure,
3 and that is exactly where an overview report should be
4 produced in order that clarity for recommendations can
5 be achieved.

6 Tell me this, there has been talk that junior
7 doctors were asked not to go to Ward 6 in the aftermath
8 of this. When did that change take place?

9 A. I'm not quite sure. It was relatively quickly after
10 that, but it was perhaps not directly involved with that
11 case because there was a feeling that from the
12 postgraduate medical training board that jobs like that
13 weren't suitable for junior doctors, JHOs and
14 provisionally registered PRHOs. So the SHO grade was
15 much more suitable for training in children's wards and
16 things like that.

17 So it happened -- I think it coincided with
18 Raychel's case. It certainly happened after Raychel's
19 case, but not immediately after, but it was one of the
20 things that changed. But I think that was in the wind
21 anyway, it was one of the things that was going to
22 happen.

23 Q. So it wasn't a consequence, it was simply coincidental?

24 A. That's my belief. I know that the two are related but
25 I think that one was not following on from the other.

56

1 It was going to happen anyway.
2 Q. Did you feel at the time that there was a necessity, any
3 necessity, to reconvene the review group in, I would
4 say, two weeks later or a month afterwards, to look
5 again in the light of reflection and in the light of
6 what may have been done?

7 A. We could have reconvened the group, but -- I mean, all
8 I can say is I met regularly with Dr McCord, who was key
9 to changing the system in the ward. I went up to the
10 ward regularly to meet with Sister Millar, who was key
11 to changing the issues related to the recording of urine
12 and vomit, all the things that we talked about, the
13 action plan.

14 So I don't know that a review sitting with the same
15 people in the room would have contributed anything more
16 to actually what happened. I think what I'm trying to
17 say is we changed it very quickly and we ensured that it
18 was in place, and we monitored that on an unofficial --
19 we could have had everybody in the room saying, "Look,
20 where are we with this?" and, of course, that did happen
21 later on, that happened in April in the next year.

22 THE CHAIRMAN: Before you go on, when you say that
23 Dr McCord, who was key to changing the system in the
24 ward -- now, which change of the system are you
25 referring to? It's separate from Sister Millar and

57

1 on the ward a clear notice to say what fluids to be used
2 in surgical children. The inquiry have all the copies
3 of those.

4 MR STEWART: I can show you that. It's at 021-056-136.

5 A. Yes. And he also developed an easy guide so that you
6 could read the weight of the child and the rate of
7 fluid.

8 One of the things that I know, and Dr McCord knows,
9 is that if you have an old-fashioned clinician who uses
10 the pound rather than kilos, you're in trouble, because
11 20lb is 10 kilos and you meant 20 kilos. Do you know
12 what I mean? So you have to be very clear that you're
13 measuring in kilos and you have to be very clear that
14 the rate you're prescribing is commensurate with that
15 weight.

16 So he had a chart he developed for that, and that
17 was put up in children's as well. That was an aid, if
18 you like. The system was in place but this was an extra
19 thing that you would check to make sure that the fluid
20 you were giving was in the right ballpark, if you
21 follow.

22 Q. Just before we finish perhaps this section, you probably
23 read the transcripts and seen that I've been referring
24 to 1999 NCEPOD recommendations, which are at
25 220-002-023. And you've probably read a previous

59

1 changes to the recording of vomit and urine?

2 A. Yes, the change was to the fluid that they were using.

3 THE CHAIRMAN: Right.

4 A. The debate with the -- there's a slight confusion
5 because we decided right there, right then, on the
6 14th -- and I wrote to Dr Fulton -- we decided that
7 we would no longer use No. 18 Solution in surgical
8 children. But at the meeting on the 12th, two days
9 prior to that, the discussion was that it would be --
10 that wouldn't apply to medical children. So in the
11 children's ward you've got medical children and you have
12 surgical children. The paediatricians look after the
13 medical side and the surgeons look after the surgical
14 side.

15 The problem seemed to be in surgery. When you look
16 at the papers, it's all to do with antidiuretic hormone
17 production, or too much of that production, and that's
18 the risk in surgery, and it's not so much so in medicine
19 at all. So there was quite a debate on the day that
20 that did not need to change.

21 So when you see the bit where it says, "No change to
22 No. 18 Solution", that refers to the children on the
23 medical side, but the decision was very clearly that on
24 the surgical side No. 18 Solution would not be used.

25 So Brian McCord's input into this was that he put up

58

1 reference being made to peer review.

2 This is the third and the fourth bullet points here:

3 "The death of any child occurring within 30 days of
4 an anaesthetic or surgical procedure should be subject
5 to peer review irrespective of the place of death. The
6 events surrounding the perioperative death of any child
7 should be reviewed in the context of a multidisciplinary
8 clinical carried."

9 That seemingly wasn't adopted by Altnagelvin at the
10 time. Why was that?

11 A. Specifically the 30 days? I think that there was a peer
12 review. Certainly I would contest that -- there
13 definitely was a peer review because -- in fact, it was
14 multi-professional review of the case, and that was
15 discussed at the drugs and therapeutics committee and
16 also at the hospital management team.

17 The point about those things is that they're not
18 within the 30 days. I agree that within 30 days it
19 didn't happen. But there certainly was a look from
20 a multi-professional point of view at what happened,
21 what should we do next.

22 Q. Can I stop you there. You say there was a peer review
23 of this case in the drugs and therapeutic committee.
24 Were any minutes taken of that?

25 A. Yes, and you have those minutes, and you have the --

60

1 Q. There's a discussion of the need for a multidisciplinary
2 peer review, I think, rather than such a review.
3 A. Well, at the drugs and therapeutics committee, those are
4 peers, and in that I gave a review of the case. Now,
5 this may be semantics, if you like, but the -- in fact,
6 I gave the presentation that I give to everybody.
7 Q. That's a PowerPoint presentation?
8 A. Yes. So they had the joy of sitting through one hour of
9 me telling them all the things that I talk about--
10 Q. That's not making the case subject to peer review, with
11 respect.
12 A. And following that, there was a discussion, and then
13 following that they said that we needed
14 a multidisciplinary look at this. And then, if you look
15 at the consensus statement, you will see that that is
16 exactly what that was.
17 So there was a meeting, which I have no minutes of.
18 I can't find any minutes of it. But we had a meeting
19 with all the clinicians involved, looking at this case,
20 and how we would change the fluids, what we would do,
21 and the steps that I put in place to date. That
22 included the clinical service manager, the medical
23 director, who at that time was me, the pharmacist.
24 Q. This was 2003. This is when a protocol is signed.
25 A. The drugs and therapeutics committee, I'm not quite sure

61

1 Q. 2001.
2 A. That probably would have been the medical director
3 at the time, who was --
4 Q. I'm just looking at your witness statement, WS035/2,
5 page 9. I think it must be 9(c):
6 "Please describe the structures in place and the
7 lines of accountability and responsibility for: the
8 adoption of policy on clinical practices as a result of
9 NCEPOD et cetera.
10 "I have no recollection of involvement. If a policy
11 relating to clinical practice had been developed, then
12 the adoption of that policy would be disseminated to the
13 relevant clinicians and clinical director."
14 That would have come from the clinical director. So
15 the clinical director was not involved?
16 A. Sorry?
17 Q. If such a policy had been developed, it would be
18 disseminated to the clinical directors.
19 A. Oh yes, yes.
20 Q. And presumably it would come to you.
21 A. No, you're asking me whose responsibility it was for
22 disseminating them, and I'm indicating there that
23 I thought it would have been the medical or the nursing
24 director, but fully accept that they would have been
25 disseminated to the clinical directors, and I was at

63

1 what date that was, and then there was a consensus
2 statement.
3 Q. Yes.
4 A. I thought that was 2002. I could be totally wrong.
5 Q. But are you saying that those amount to the
6 multidisciplinary clinical audit recommended by NCEPOD?
7 A. That is not an audit. An audit is where you look at
8 lots and lots and lots of cases. That is a review of
9 that one case and the things that we put in place
10 following it. Audit to me is a much bigger thing when
11 you take, you know, over the last year how many of these
12 cases have we got, or whatever it was, and then you
13 compare your results with someone else.
14 It's quite a cumbersome thing, and in fact today
15 audit is certainly not discredited, it's not
16 discredited, but the way to seek to effect change is to
17 use a PDSA cycle, which is one of those Institute of
18 Health learning tools where you make a very small
19 change, you see was it effective, you monitor it, it's
20 all done in very small numbers. Then -- so audit is
21 a thing that's becoming a wee bit redundant.
22 Q. We're talking about 2001. Was it your responsibility at
23 that time to oversee the importation of recommendations
24 such as the NCEPOD recommendations into Altnagelvin?
25 A. Which time are you talking about?

62

1 that time a clinical director.
2 Your next question probably is, did I receive that?
3 And I have no recollection of that. That's not to say
4 that I didn't actually receive it, but I have no
5 recollection of it.
6 Q. Presumably you were aware of, for example, the 1999
7 working group report on paediatric surgical services in
8 Northern Ireland?
9 A. Yes.
10 Q. And it does recommend that there be adherence to NCEPOD
11 recommendations. It's one of the key recommendations.
12 A. That's correct. They are -- just as they're described,
13 they are recommendations, and aside -- running parallel
14 with that, are recommendations from Royal Colleges. So
15 for example, one of the things that NCEPOD recommended
16 was that junior doctors had to tell their consultant if
17 they were anaesthetising a child, which we all agree
18 with. And that would have been certainly something
19 we would have encouraged in Altnagelvin. And then there
20 was a rule -- not a rule, but a recommendation that
21 competent anaesthetists who had achieved certain
22 competencies could anaesthetise children down to five
23 years.
24 So there was this unwritten rule that if you had
25 come through the competency training and reached

64

1 a certain standard, you could anaesthetise children down
2 to five years, albeit that you should be telling your
3 consultant if you're taking a child to theatre. But
4 before, below five, it should be a consultant who
5 provides that service.

6 So all departments would have had that rule of
7 thumb, and certainly in Altnagelvin our policy -- not
8 a policy -- not a written policy, our practice was that
9 the junior doctors be encouraged to tell the consultant,
10 not just about children, don't get me wrong, it's about
11 any case that's coming to theatre if they had any worry
12 about it at all.

13 But if they have reached certain competencies and
14 it's an ASAL patient or 2, then they could -- that's
15 a risk grading. So ASAL means that you're fit, healthy
16 person, no medical problems. They could anaesthetise
17 down to five years old.

18 So most departments ran on that premise, and
19 Altnagelvin would have been like that. It was a small
20 department, the consultants knew the juniors, and there
21 was no hesitation for juniors to call the consultant,
22 there wasn't this hierarchy where they were scared of
23 calling the consultant. That wasn't the case. They
24 would call us, as Dr Date did on the night that I was
25 called in. She just called me. And the juniors would

65

1 I have worked, and if the junior anaesthetists were on
2 and you had a low risk patient, ASAL, for an appendix,
3 most consultants would be happy for that junior to take
4 the -- given that it needed to be done and so on, ad
5 that's not usually an anaesthetic decision. So from my
6 point of view, I would never try and second-guess
7 a surgeon because you just can't tell.

8 So if the surgeon wants to take the child to
9 theatre, if it is an appendix, and the anaesthetist is
10 happy, I would be content if I was a consultant on call,
11 knowing it was Dr Jamison, knowing it was Dr Gund, that
12 that would happen.

13 If Dr Jamison or Dr Gund had phoned me -- just
14 pretend I was the consultant on call, if they would
15 phoned me they'd have said, "Look, we've got
16 a nine-year-old child. The surgeon wants to take the
17 appendix out. It's 11 o'clock at night. I'm happy to
18 do this, what should I do?" I'd have said, "Go ahead and
19 if you want me to come in, I will. If you have any
20 trouble tell me".

21 I wouldn't have said over the phone "Right, tell me
22 all the things you're going to do, tell me about the
23 post-operative fluid prescription". I would have
24 assumed that what we normally did would have happen.
25 Does that help?

67

1 do that and we would come in at the drop of a hat if
2 that was indicated. So there was no hesitation to come
3 in.

4 So what I'm saying is --

5 THE CHAIRMAN: Yes. I have never understood, and I don't
6 think it has ever been suggested that in Altnagelvin
7 there was somehow a reluctance of consultants to come
8 in, but what NCEPOD was recommending was that a child
9 should not go into surgery or that children should not
10 go into surgery after midnight without the consultant
11 being advised.

12 A. Yes.

13 THE CHAIRMAN: Mr Gilliland wasn't advised. There's also
14 recommendation against anaesthetising at certain times.
15 Now, I just want to get this clear from you. From what
16 you've been describing, it seems that you're suggesting
17 that the NCEPOD recommendation was considered and it was
18 adapted for Altnagelvin. Is that right or not?

19 A. I don't believe that's what I'm saying. What I'm saying
20 is --

21 THE CHAIRMAN: Then I've picked you up wrong.

22 A. Maybe I haven't been clear enough also. Because I think
23 NCEPOD recommendations, you might see them, but
24 practically what you do is you run your department, and
25 not just Altnagelvin but other departments as well where

66

1 THE CHAIRMAN: Yes, it does. I understand a bit more and
2 I understand that the NCEPOD recommendations are just
3 that, they don't have to be implemented. But it does
4 seem to me, doctor, that when these recommendations come
5 out, if they're not going to be followed in Altnagelvin
6 or any other hospital, that that should be in the back
7 of somebody sitting down and looking at them and saying,
8 "Look, we can do 1 and 2, but we can't do 3 and 4, or we
9 don't need to do it here, so let's adapt 3 and 4, let's
10 come as close as we can to doing that so that we're as
11 close to the recommendations".

12 A. I have heard you say that before, and it would be good
13 because you could say, "Well, look, we're not actually
14 meeting the criteria, but here's what we are doing", and
15 there may be resource implications do that. And I've
16 heard that and I agree that that would be a good thing
17 to do.

18 All I'm saying is that NCEPOD -- well, for example,
19 NCEPOD 1989 is quoted left, right and centre, and NCEPOD
20 1989 was about who operates on children. They looked at
21 417 children under 10 years old who had died and the
22 majority of those children had severe cardiac
23 abnormalities. In fact, 266 of them had cardiac surgery
24 and they were all anaesthetised by consultants, bar two,
25 two patients who for emergency reasons were

68

1 anaesthetised by junior doctors who were just saving the
2 day.

3 The result of that was that, sort of inexplicably,
4 they said no junior doctor should anaesthetise a patient
5 without telling their consultant. The two patients that
6 died that were junior doctors -- there only were two
7 in the whole thing, it wouldn't have mattered if
8 a consultant had been there or not, the child was not
9 going to survive.

10 So for me, NCEPOD 1989 was highly unusual. It was
11 occasional practice by anaesthetists doing cardiac
12 anaesthesia on children that they had no right to be
13 doing because they were occasional practitioners, and
14 that, in my mind, did not apply to ASA1 or 2 patients
15 who were not considered at all in 1989 NCEPOD, and yet
16 that recommendation has been carried through ever since.

17 And, of course, it's a good thing. If the junior
18 doctor tells the consultant what's happening, then you
19 can't argue that that's a bad thing. But I think that
20 the system that we were running in Altnagelvin and the
21 system that I'd seen in every other hospital where I've
22 worked in Northern Ireland was that the junior doctor
23 would call the anaesthetist -- the consultant, sorry, if
24 they had a concern. If the child was five years or
25 younger, there was no question, the consultant would

69

1 up on a phone call? I don't know.

2 THE CHAIRMAN: But you don't have to be a maverick. You
3 might just be okay, but you might have missed something,
4 which seems to me to be an argument for CEPOD that it
5 protects patients from a junior doctor who's doing his
6 best or her best but might actually have missed
7 something, which might be picked up in a chat with the
8 consultant, who wouldn't have to come in but would at
9 least have some knowledge of what was happening.

10 A. I think in general terms, those are correct assumptions,
11 but I'm just saying that in the case of a nine-year-old
12 child, normal, healthy child with an appendix, I doubt
13 whether any instruction would have been given from
14 a consultant. Certainly a consultant anaesthetist would
15 probably not have said, "Well, look, I don't think you
16 should take that child to theatre", because then you're
17 risking a perforation of an appendix, and in a child,
18 a girl, that's really serious because you don't have the
19 omentum, which is a large part of the bowel that
20 protects you as an adult, and then the pus goes
21 everywhere, and then you've got infertility and so on.
22 I tried to explain that as well at the meeting
23 in September.

24 THE CHAIRMAN: I've got the point because we heard quite
25 a few exchanges and views and competing views about that

71

1 come in. And that's my practice, that's what I've done.
2 And if the junior doctor has not got the experience,
3 then the consultant comes in. And we have experienced
4 in Altnagelvin consultants in until midnight doing the
5 work with the junior doctors.

6 So the only junior doctors that we go home, if you
7 like, if you're on call, is when you are content that
8 that junior doctor has reached a certain standard.

9 THE CHAIRMAN: So the junior doctor, on this approach, only
10 rang the consultant if the junior doctor had a concern,
11 and otherwise the operation or the procedure would go
12 ahead and the consultant would learn about it the
13 following day?

14 A. That's correct. Some consultants now might have taken
15 a different view. It's very much an individual thing.
16 Some consultants might have said, "Look, I want to be
17 told about every single thing", and that's completely
18 acceptable as well if we want to do that. But we did
19 give the junior doctors some autonomy, but only if
20 we were happy that they could do that.

21 THE CHAIRMAN: Okay.

22 A. And only if they were patients that they had no concerns
23 about. The worry, of course, would be if you had
24 a maverick junior who didn't know that they should have
25 had concerns and so on. So would a consultant pick that

70

1 in February, March.

2 A. Okay.

3 MR STEWART: Just one question, and it's Professor Swainson
4 who is an expert on governance issues to the inquiry,
5 has made the observation that when a view is taken not
6 to adhere to the recommendations of, for example,
7 NCEPOD, that that should be noted and authority taken
8 from the board. I take it that didn't --

9 A. No, that didn't happen, and it's a very valid point, and
10 I wouldn't argue with it.

11 Q. Can I just ask this question. The 1999 report on
12 paediatric surgical services in Northern Ireland, upon
13 which group Mr Panasar of your own hospital sat, make
14 a very clear recommendation that there should be
15 adherence to the NCEPOD recommendations regarding
16 supervision of junior anaesthetic and surgical staff.
17 That is the 1989 NCEPOD recommendation.

18 A. Yes.

19 Q. How is it that when you have a recommendation and you've
20 got the working group reports sent to you by the DHSS,
21 and Mr Panasar is on that working group, that still it
22 isn't --

23 A. All I can say to that is it's an imperfect world and if
24 you produce a report that dots all the Is and crosses
25 all the Ts, then you can't be criticised. You can say

72

1 that we should adhere to this and this and this, even
2 though practically that's not actually what happens on
3 the ground.

4 My comments about NCEPOD 89 are because I think it
5 was probably the patients were so far removed from what
6 you would do in a district general hospital that it
7 didn't apply. But as it goes on through the other
8 recommendations, the fact is they're saying, "Look,
9 juniors should tell their consultants what they're
10 doing", and that is a good thing, so you can't argue
11 with that. But practically on the ground, if
12 a consultant surgeon says, "I have every faith in the
13 ability of my SHO --- and remember some of those SHOs
14 are actually really registrar level in another country,
15 they're very experienced but they're coming into our
16 training system at the low grade because that's the only
17 way they can get in, so they're coming with a wealth of
18 experience and you glean that from working with them.

19 And if the surgeon says, "Look, I know they've got
20 the competencies, I'm happy that they do that", then
21 I think common sense is what a lot of hospitals run on.
22 It's not just Altnagelvin. I can tell you that that is
23 the case. I've worked in lots of hospitals, and some of
24 the anaesthetists when I was a junior would have been
25 most reluctant to hear a call at night if I said, "I'm

73

1 in that it was maybe more vomiting than they normally
2 would have seen. But the nurses were of the opinion
3 that the amount of vomiting was not excessive, so there
4 were multiple vomits but of small amounts, and that's
5 a clear recollection I have of the meeting, not that it
6 was severe or profuse. Those are not words that came
7 out of that meeting, in my recollection. But I think
8 certainly it was acknowledged that there was more
9 vomiting than you might have seen, but not unusual
10 in that you would have seen it before in
11 appendicectomies and so on.

12 Q. Dr Fulton has indicated in his statement that he wasn't
13 really able to make any final determination about the
14 vomiting because the nurses hadn't seen it all and the
15 nurses were telling him that the family had told them
16 that the vomiting was repeated and so forth. Do you
17 remember that being mentioned?

18 A. I haven't got a good recollection of that. I just
19 remember the nurses saying that in their opinion the
20 vomiting was not excessive, that -- they were totally
21 taken aback at what had happened and they could not
22 associate the problem with vomiting. They associated it
23 more with the solution that we had been using and that,
24 of course, fitted in with what I had been reading over
25 the weekend.

75

1 taking a child to theatre, 10 o'clock/11 o'clock at
2 night for an appendix", they'd say, "Well, why are you
3 telling me this?"

4 Now, in Altnagelvin that wasn't the case because we
5 knew the juniors very well and we were more than happy
6 to come in. So there was never any difficulty with
7 doing that. So I thought the system was quite
8 reasonable.

9 MR STEWART: I see. It might be an appropriate moment.

10 THE CHAIRMAN: We'll take a break, doctor, for a few
11 moments. Thank you.

12 (11.50 am)

(A short break)

14 (12.15 pm)

15 THE CHAIRMAN: Mr Stewart.

16 MR STEWART: Thank you, sir.

17 Dr Nesbitt, if I can take you back into the critical
18 incident review again. Do you remember the discussion
19 about the vomiting?

20 A. Yes.

21 Q. Do you remember the nurses giving their views, their
22 opinions and their recollections?

23 A. Yes, I do. The feeling was that Raychel vomited on
24 several occasions throughout the day. I would agree
25 that the term "prolonged" might even have been used

74

1 THE CHAIRMAN: Do you remember any discussion along the
2 lines that when you get to coffee-ground vomiting, that
3 that in itself is a warning sign?

4 A. My recollection is -- I couldn't swear to this, but I am
5 sure that if coffee-ground vomiting was mentioned,
6 I would have pointed out, for it was my belief, that
7 coffee-ground vomiting is not -- it can be, as you have
8 rightly said, it can be interpreted as a sign of
9 prolonged and profuse vomiting. It can also happen on
10 the very first vomit. It can also happen without any
11 retching or vomiting.

12 So if you bring up something you can have coffee
13 grounds in it. But coffee grounds is altered blood
14 that is in the stomach, and because of the acid
15 environment of the stomach, the blood coagulates and it
16 looks just likes coffee grounds. So all you can say
17 about coffee grounds is that there's blood in it, that's
18 all.

19 I have seen it on the very first episode of vomiting
20 and I have seen it at the very end when actually there's
21 nothing else left to vomit, and in fact what's happened
22 is there's been a small tear at the back of the throat.
23 That is relatively common, but most of the tears are
24 down at the lower oesophagus, stomach junction, but you
25 can get it at the back of your throat. That blood goes

76

1 down into the stomach and instantly becomes coffee
2 grounds.

3 It's just a term that we use, and for me it doesn't
4 actually mean that much, it's a record. You say there's
5 blood in it. The worry is where's the blood coming
6 from. So if that's a thing that's continuing on, then
7 you'll be investigating. If it was another patient
8 you'd be investigating the source of coffee grounds
9 in the vomit because there shouldn't be blood in your
10 vomit.

11 THE CHAIRMAN: When it comes after a long day of vomiting,
12 does that not make it a stronger warning sign?

13 A. That would fit more with my idea that -- and I did
14 express this at the meeting with the family -- that if
15 you're vomiting and there's nothing left to vomit,
16 you're retching, then because of the straining you can
17 get a tear in the back of your throat. It doesn't have
18 to be a big thing, and that can be the source of the
19 coffee grounds.

20 So yes, it is a sign that the vomiting has gone on
21 for so long that perhaps there's nothing left in your
22 stomach. If my argument is to be accepted, then there's
23 nothing left. But as I said, it can happen at any time.
24 That coffee ground could have occurred early in the day,
25 it just so happens to be at the end of the day, but

77

1 if you have had a nose bleed it looks like a disaster,
2 and a small amount of vomit can look dreadful, depending
3 if it's in your clothes. It's just so hard to measure,
4 and there was some discussion about what does one plus
5 mean, what do two pluses mean. To me it means twice as
6 bad as one plus, but then what does one plus mean?

7 So my point was: look, that's a system that doesn't
8 actually tell you a volume. And I think the answer to
9 that was: well, actually, you very rarely know the
10 volume because the vomit goes everywhere, it goes on the
11 bed clothes or it goes over the patient or something
12 like that, and it's very hard to measure it.

13 So there was discussion about how it's actually
14 measured, and there was discussion about the fact that
15 it went on a little longer certainly than the nurses
16 were happy with and they wanted anti-emetics given.
17 That really was the -- as far as I can recollect, that
18 was about the height of the discussion about the
19 vomiting, and the main thing about the meeting was the
20 solution and what were we to do about No. 18 Solution.

21 Q. There are a number of other issues I'd like to explore.
22 In relation to Mr Gilliland, was there any discussion
23 about whether he was on call at that time?

24 A. Yes, there was, and if I can refer you, I think it has
25 been discussed, maybe I don't have to do this, but in my

79

1 I appreciate that you could interpret that as a sign of
2 certainly the prolongation of the vomiting.

3 THE CHAIRMAN: Thank you.

4 MR STEWART: And any vomiting that's been prolonged is
5 almost by definition --

6 A. Severe.

7 Q. Mm.

8 A. Well, if you're the person suffering it, that's
9 certainly true. Vomiting is very unpleasant for all
10 concerned, and that's why the nurses were keen that
11 anti-emetics were given, and that was discussed at the
12 meeting, that they were very keen that Raychel get
13 settled from her vomiting. No one wanted to see a child
14 vomiting, and so anti-emetics were prescribed.

15 Q. Did the review think that perhaps they should hear from
16 the two doctors who prescribed those medications?

17 A. That did not arise out of the review. That was not
18 discussed.

19 Q. It might have been helpful?

20 A. In retrospect it might have been helpful. I think that
21 vomiting did not take on a large part of the meeting.
22 It was discussed, but the duration of it and the -- also
23 we did discuss the recording of it, how difficult it is
24 to record vomit, and a small amount goes a long way.
25 It's like everything you know, a small amount of blood

78

1 statement, I do refer --

2 Q. WS035/2, page 15. I'm sorry to interrupt, just to get
3 the --

4 A. I just knew that you would know it. If I could see it
5 I can help you with it.

6 Q. "Please also confirm whether consideration was given
7 to (b) the absence of the consultant responsible from
8 Raychel's care."

9 And you have answered:

10 "Yes, there was discussion about the fact that the
11 on-call consultant [presumably that's Mr Gilliland] was
12 not necessarily the consultant under whose care Raychel
13 had been admitted."

14 Well, that's Mr Gilliland:

15 "And there was a potential difficulty in letting
16 that consultant know [that's Mr Gilliland] that his
17 patient had died."

18 So I'm not clear I understand that. Perhaps you
19 could explain.

20 A. Can I stop you right there? Because although you're
21 reading that with the correct emphasis, the on-call
22 consultant was not Mr Gilliland because when -- what I'm
23 saying is when a child dies or has the collapse, the
24 on-call consultant may not necessarily be the consultant
25 who she was admitted under. That's exactly the point

80

1 I'm trying to make. And if that sentence isn't as clear
2 as it should have been, then I apologise because
3 I thought I'd made that clear. And certainly in my
4 reading of it what I'm saying is that the on-call
5 consultant isn't necessarily the same guy under whose
6 care Raychel was admitted.

7 My point is that Mr Gilliland was the admitting
8 consultant, but on the day of her collapse it was
9 another on-call consultant. So all I'm saying
10 there is -- I'm not saying there's confusion, I'm just
11 saying that that's a fact. We discussed the fact that
12 the on-call consultant deals with the case perhaps but
13 the person who's actually -- the care is under may not
14 know what's happened.

15 Q. Yes but --

16 A. That's what happened to Mr Gilliland.

17 Q. The question is posed about the absence of a consultant
18 from Raychel's care, not after her collapse.

19 THE CHAIRMAN: Or not just at the point of collapse.

20 A. Then I have failed to answer the question that the
21 inquiry has put to me because I thought what you're
22 asking was the fact that the consultant responsible for
23 Raychel's care wasn't actually there when she collapsed,
24 and Mr Gilliland wasn't. That's what I was trying to
25 answer. I was saying, "Look, I see what you're saying,

81

1 but can you not see that the admitting consultant,
2 Mr Gilliland, isn't necessarily the on-call consultant
3 when the collapse happens?" That's why I was answering
4 it in that way.

5 MR STEWART: Well, was there any discussion about the
6 confusion about the identity of the consultant under
7 whom she was admitted and the on-call consultant?

8 A. No. The question was posed, perhaps later on there, as
9 to where we thought and where I thought that the
10 consultant should have been there. And my answer
11 I think was that the relevant consultants, following the
12 collapse, were there, and I think Mr Gilliland has
13 attested to this as well, that from a surgical point of
14 view there was nothing, I don't think, he could have
15 offered at that time.

16 So from the resuscitation point of view, the last
17 thing an anaesthetist wants to see is a surgeon unless
18 it's a surgical operation you need, in which case we
19 love them. But what we want to see is a paediatrician,
20 we want to see expert help to resuscitate. I don't want
21 to say anything bad about surgeons, but I don't
22 necessarily put them in that bracket.

23 Q. I see. In relation to the discussion at the critical
24 incident review as to the quantity of fluids
25 administered to Raychel and the calculation of them and

82

1 whether or not they were excessive, do you remember
2 that?

3 A. Yes, I do. I went into the meeting concerned because
4 I had the notes, I could see that Raychel had been
5 prescribed 80 ml per hour and that because I regularly
6 anaesthetise children, because I know that I prescribe
7 it on a kilogram weight basis, that her weight -- the
8 minute I saw her weight of 25 kilograms, I knew that the
9 rate should have been 65.

10 So I went in and said, "The rate has been -- the
11 rate that's described is too high. 80 ml an hour is too
12 high". But having said that, I then qualified what
13 I said by saying, "But there is a deficit there, and the
14 deficit is caused by the fact that the child is fasting
15 from the last time they took fluids", and that is
16 something that each hour would have been 65 ml per hour,
17 and that's missing.

18 So if I'm anaesthetising a child and they are
19 fasted, I take into account the length of time of the
20 fasting and I calculate the amount that's missing and
21 I give that back to the child intraoperatively, so
22 during the operation. And in the first hour I would
23 give one half of the amount I'd calculated that was
24 missing, plus the maintenance -- I hope I'm making this
25 clear -- and then in the second two hours, I would give

83

1 the remaining half. So over a total of three hours
2 I would have replaced the deficit.

3 Now, if the deficit is a large deficit, in other
4 words it's much more volume than that, then there's an
5 argument for giving it over 24 hours, and in fact new
6 guidance says that you should give that fluid over
7 a longer period, even 24 to 48 hours. But normal
8 fasting, you would just replace in theatre and that's
9 always been my practice. So the amount you would give
10 could be incorporated into the 80 ml per hour, and
11 that's the argument that Mr Makar made when he gave his
12 evidence. He said he was taking into account the
13 deficit.

14 And if you were to look at that and calculate that,
15 the deficit would not be replaced until 26 hours had
16 gone by because the excess that you're giving is only
17 15 ml per hour, and with her deficit being -- I can't
18 remember what it was I calculated, I have it down in
19 front of me somewhere, her deficit would have been
20 replaced in 26 hours. So in my view, that was the wrong
21 way to replace the deficit. I said what you should do
22 is what I've just described to you and then it should be
23 reduced to the normal rate. So when I said reduced what
24 I meant was that once she had replaced the deficit you
25 would reduce the rate to what is the normal maintenance

84

1 rate, which would be 65 ml per hour.
2 Q. And this was discussed at the review meeting?
3 A. Yes, very much so.
4 MR STITT: I don't know if it's of help, but it does appear
5 that there is a reduction to writing in WS035/4.
6 THE CHAIRMAN: Yes. Dr Nesbitt has been helpful enough to
7 summarise this. If we bring it up on screen, briefly.
8 WS035/4, page 2, please.
9 A. This goes into it in more detail than I will have gone
10 in at the meeting. The reason I submitted this was to
11 explain the fact that the excess amount of fluid that
12 was given wasn't explained to the family in the meeting
13 of September, and in fact it was suggested that two
14 mistakes were admitted to in the meeting in June. One
15 of them was that a U&E hadn't been done, and the second
16 mistake was that too much fluid had been given. In my
17 statement I do say that although technically excess
18 fluid was given, it was by a very small margin, and
19 I haven't expanded any more than that.
20 Dr McCord had submitted some evidence to the inquiry
21 trying to explain the volumes, but I thought it would be
22 better to -- this is purely for clarity and you don't
23 need a calculator because it's relatively simple, but
24 what I'm saying is that Raychel was fasting for a period
25 of 35 hours if you take from when she last ate to when

85

1 based on, firstly, 65 ml per hour, and what was she
2 being allowed. So she would have an allowance of
3 2,275 ml if you use the 65 ml per hour and 2,345 ml if
4 you went for the 67. So there's two ways of looking at
5 it and you get those two volumes. That's what she's
6 allowed.
7 Then, if you look at the fluid balance record and
8 simply add up what she actually got, what you find
9 is that -- and this is where both Dr Sumner and
10 Dr Warde, which you'll be coming to later on, I'm sure,
11 actually made mistakes because they both failed to
12 notice that intraoperatively Raychel was given 200 ml,
13 and Dr Warde was even worse because he failed to notice
14 that she got 60 ml preoperatively. So his calculations
15 were actually that she'd got far less fluid than what
16 I'm calculating.
17 So what I'm saying is if you look at her fluid
18 balance record, you have 540 ml for day 1 and 1,680 for
19 the following day, and then you have 200 ml in theatre.
20 You add it all up and it comes to 2,420.
21 Dr Sumner came up with 2,220. If you remember
22 Dr Sumner's evidence, his was 2,220, because he had
23 forgotten about the 200 ml in theatre.
24 So if we sub-tract the two, going at 65 ml per hour,
25 the excess is 145 ml. And if we allow the 67 ml,

87

1 the fluids were finally reduced in rate at 5 o'clock,
2 say, in the morning or 4 o'clock in the morning.
3 35 hours.
4 Fluids are calculated according to weight using
5 an hourly calculation, and this is what anaesthetists
6 do. So I would look at a child and for the first
7 10 kilos of their weight, I would give 4 ml per kilo.
8 For the next 10 kilos of their weight I would give 2 ml
9 per kilo. So if the child is 20 kilos, that's easy,
10 it's 60 ml per hour. For every kilo after that second
11 10, it's 1 ml per hour. So anaesthetists are relatively
12 simple animals and we just calculate the fluids on
13 an hourly basis.
14 Paediatricians work on a more cerebral level, and
15 what they do is they calculate the rate over a 24-hour
16 period and they use a slightly different formula, it's
17 the same ratio, and they say 100 ml an hour for the
18 first 10 kilos, 50 ml an hour for the next 10 kilos and
19 20 ml an hour for every kilo after that, in 24 hours.
20 Then, because they have the mathematical capability,
21 they divide that by 24 and they come to the hourly rate.
22 Now, the reason for explaining all that is that the
23 hourly rate is 65 if you do it like a simple
24 anaesthetist, and it's 67 if you do it like a smart
25 paediatrician. Okay? So the calculations then are

86

1 a slightly more generous allowance than a paediatrician
2 would allow, it comes to 75 ml.
3 So what does that actually mean? The amount, in my
4 opinion, is a very small volume, and that volume would
5 in itself not add to the risk of hyponatraemia by the
6 dilution of that volume.
7 I think the difficulty is just trying to explain to
8 people what a ml is. I thought it would be helpful --
9 this is not in the papers, this is my own -- just what
10 I'm telling you, and that is that the ink cartridge in
11 your pen is about 1.5 ml if you ever try to fill up one
12 with a syringe, which I have done. An egg cup is about
13 50 ml, and a glass of water that I have in front of me
14 is about 140 ml. So the volume that you were talking
15 about is like a glass of water.
16 Another thing I would like to just say is that there
17 are lots of people who give a preload to a patient for
18 a different reason, and that is either you're
19 resuscitating them if they're slightly shocked and you
20 give 20 ml per kilo, or if you're trying to prevent
21 post-operative nausea and vomiting, ironically. If
22 you're trying to prevent post-operative nausea and
23 vomiting you give 20 ml per kilo prior to induction of
24 anaesthesia.
25 20 ml per kilo in Raychel's case would have been

88

1 500 ml. So I'm talking about 75 ml or 140, depending on
2 which way you calculate it. But you could have given
3 500 with impunity because that would have been something
4 that would actually have perhaps prevented nausea and
5 vomiting because there's papers out there that are
6 looking at that type of thing. Is it because someone is
7 slightly behind on fluids? That type of thing.

8 So that was the reason for the calculation. So
9 having gone into the meeting, I was concerned about the
10 volume of fluid potentially that she'd been given.
11 There's no doubt about that in my mind. But when we
12 looked at it and actually measured it after the meeting,
13 I was talking too soon because actually the volume was
14 not the problem, the problem, in my opinion, was the
15 solution itself and the fact that Raychel's response to
16 surgery was unusual, it was idiosyncratic, it was rare,
17 and I believe it was the antidiuretic hormone response
18 that she mounted that was totally out of kilter with
19 what's normal.

20 That was not meant to be a criticism of Raychel, it
21 was never meant to be a criticism of Raychel, and yet
22 I know that's one of the things that was taken out of
23 the meeting with Mrs Ferguson in September when she felt
24 that we were in some way blaming Raychel for it. But
25 at the meeting on the 12th, I was concerned about the

89

1 was the issue, the type of fluid that she got.

2 THE CHAIRMAN: To some degree Dr Haynes agrees with you.

3 You'll have heard Dr Haynes' evidence or maybe you've
4 read Dr Haynes' evidence.

5 A. I was here when Dr Haynes gave evidence.

6 THE CHAIRMAN: Dr Haynes said -- we don't need to go over
7 all this again because we heard quite a lot about it in
8 February and March. First of all, I don't think he
9 would agree with you because he says Raychel shouldn't
10 have been getting 80 ml. Most people would say she
11 shouldn't even have got 65 ml, but nobody actually
12 checked the rate, there was not enough thought given to
13 the amount that she was receiving, and it wasn't checked
14 at the ward round, the rate should have been checked and
15 reduced.

16 A. The rate continued at 80 ml per hour, but I am
17 challenging him because if you were to calculate the
18 amount of fluid that Raychel had received by 8 o'clock
19 in the morning, she was actually 190 ml behind. She was
20 dehydrated in the morning because at 80 ml per hour plus
21 200 ml in theatre, that's not enough fluid because in
22 theatre technically I would have given more by my
23 method, and if you were giving it over a longer period
24 of time, it should have been given at more than 80 ml
25 per hour.

91

1 volume of fluid, but we added it up, it actually didn't
2 come to as big as volume as I thought.

3 I was also concerned -- sorry -- about the fact that
4 the documentation -- we'd already discussed the
5 vomiting, but the documentation of the fluids was, in my
6 view, not good because the anaesthetists had written
7 in the total box 1,000 ml of Hartmann's. So at a first
8 glance you would say, "Look, that's 1,000 ml of
9 Hartmann's. Then you add everything up. There's a vast
10 overload of fluid". But I knew already that wasn't the
11 case because the anaesthetists just put it in the total
12 box but it wasn't. He hadn't put it in the total, it
13 should have been written down at the bottom of the
14 chart, and Ms Danes talked about that, that other charts
15 chart the fluids differently, and I concur with that
16 completely. And if you look at charts that I would have
17 done for very small babies, I would record the fluid
18 down at the bottom and then in the total box I would
19 total it all up.

20 But for a routine appendix, Dr Gund didn't do that
21 and he mistakenly wrote in the total box 1,000 ml, but
22 we know that only 200 ml were given in theatre because
23 800 ml was discarded. So when you put that in the
24 round, actually the volume of fluid that Raychel got was
25 not the issue, but I contend that the fluid that she got

90

1 So by the morning time she was 190 ml behind, and
2 throughout the day that deficit will have gradually
3 caught up until ultimately at 3 or 4 o'clock in the
4 morning, depending on which time you look at, she would
5 have been in excess of 145 ml or 75 ml, depending on how
6 you calculate it.

7 THE CHAIRMAN: But would you agree with Dr Haynes that if
8 Raychel had continued to receive 80 ml of Hartmann's,
9 it's unlikely she would have suffered any significant
10 harm?

11 A. Yes, I do agree with that because that's my point.

12 THE CHAIRMAN: About the type of fluid?

13 A. The type of fluid was crucial in that the amount of
14 sodium in it is so low.

15 THE CHAIRMAN: But that brings him to the point that there
16 was no thought, active thought given all day Friday to
17 the type of fluid that she was receiving while she was
18 repeatedly vomiting.

19 A. That's correct. And the assessment of Dr Sumner is
20 exactly that, and the coroner said that it was an
21 inadequate replacement of electrolytes in the face of
22 loss of electrolytes and the concomitant use of a fluid
23 that had very small amounts of electrolytes in it.

24 But I have to say, and it's been stated lots of
25 times, that No. 18 Solution was the elixir of fluids for

92

1 paediatric purposes and had been since 1957. And the
2 reason it was so popular was because it was calculated
3 in 1957 by Holliday-Segar that every child needed
4 a certain amount of fluid, and for every ml of fluid
5 they receive, they have to have a certain number of
6 calories. And this was more important for very small
7 babies, the smaller the baby, the more important this
8 becomes. Small babies don't have glycogen stores and
9 they require intravenous sugar, glucose or dextrose, as
10 I explained at the very beginning today. So we'll call
11 it glucose.

12 So children need water and they need glucose, and on
13 top of that they need electrolytes. And the beauty of
14 No. 18 Solution was it's exactly the same constitution
15 from a water and a calorie and an electrolyte point of
16 view as breast milk. So paediatricians loved it.

17 This was -- we all know breast milk is good for you,
18 and No. 18 Solution was equivalent in terms of its
19 electrolyte content, its calorie content and so on, as
20 I just said. So it was very, very popular, and that
21 always remained.

22 And I think my own opinion is that what has happened
23 is that when surgical children were introduced into the
24 round, the concept of antidiuretic hormone had not been
25 considered. When Holliday and Segar had done it they

93

1 the chairman, I think you'll correct me if I'm wrong,
2 said, "And other hospitals in Northern Ireland", and
3 Dr Haynes said, "Yes, other hospitals in
4 Northern Ireland", but it was a unique experience.

5 But a paper in 2004 -- actually produced in 2006 but
6 looking at 2004 data by Way et al, and I have given this
7 for the inquiry's perusal, looked at the prescription of
8 fluids in medical schools in England, and they chose
9 Bristol and the north-west. These are two major medical
10 schools, and they asked consultant anaesthetists their
11 prescribing practice. This is in 2004. And in 2004,
12 60 per cent of consultants were prescribing No. 18
13 Solution intraoperatively.

14 Now, we were already in Altnagelvin using Hartmann's
15 intraoperatively in 2001. But in 2004 anaesthetists in
16 England, where Dr Haynes comes from, were actually
17 giving No. 18 Solution.

18 Post-operatively, 75 per cent of anaesthetists were
19 prescribing it post-operatively low sodium containing
20 solutions. And of all the low sodium containing
21 solution there are the most popular one was No. 18. So
22 No. 18 is alive and well in England in 2004, and it
23 still is.

24 NPSA 22 says: thou shalt not prescribe No. 18
25 Solution to children. Yet I heard from a colleague

95

1 were looking at retain and replacement for small babies.
2 And in fact, from a paediatrician's point of view, the
3 most common abnormality seen in paediatrics was
4 hypernatraemia, not hyponatraemia. Hypernatraemia.

5 Why did this happen? Because well-meaning mothers
6 would put an extra scoop of powder into the -- when
7 they're making up the milk. So when formula milk came
8 in -- and this is why Holliday and Segar got really
9 involved in this -- when formula milk came in, babies
10 were coming into hospital with high sodium levels from
11 well-meaning mothers who give -- if six scoops are good
12 for you, seven's even better. So in fact to treat that,
13 you wanted to give a solution like No. 18, which had
14 a low sodium content. So you can see the beauty of it.

15 And the nurses loved it because it had sugar in it,
16 so if you had small children, they weren't getting
17 hypoglycaemic, everything was working beautifully,
18 No. 18 Solution, you couldn't go wrong.

19 Now, in all my training, No. 18 Solution was the
20 solution you prescribed for children, both
21 intraoperatively and post-operatively, and in fact,
22 despite what we've done in Altnagelvin, despite what
23 we've done in Northern Ireland, the situation in England
24 in 2004, despite what Dr Haynes said -- Dr Haynes said
25 that, in his opinion, it was unique to Altnagelvin. And

94

1 yesterday that a medical director in England was trying
2 to stop the use of No. 18 Solution in England in his
3 hospital because he's the brother of one of the
4 anaesthetists who did a study with me looking at the
5 fluids in children here in Northern Ireland.

6 So the Way paper is one thing, it's 2004, but I can
7 tell you in England and in other countries, No. 18
8 Solution is still being used, despite NPSA 22 telling us
9 we shouldn't.

10 THE CHAIRMAN: Maybe it's been followed in the same way
11 CEPOD's followed, it's not followed.

12 A. Yes, and I think --

13 THE CHAIRMAN: The point is, doctor, Northern Ireland
14 guidelines say move away from that in light of deaths in
15 Northern Ireland. The NPSA alert is specifically for
16 the equivalent purpose.

17 A. Yes.

18 THE CHAIRMAN: So the fact that there are doctors in England
19 who continue to ignore it, what point are you making
20 from that --

21 A. Well, my point is --

22 THE CHAIRMAN: -- the fact that there are doctors who
23 continue to ignore national alerts and guidelines? I'm
24 not sure where that point takes anybody.

25 A. I think the point is that No. 18 Solution is still

96

1 a danger --
2 THE CHAIRMAN: Yes.
3 A. -- and what we've done in Northern Ireland is slightly
4 ahead of the game.
5 THE CHAIRMAN: Absolutely, and again, as I said to you
6 earlier this morning, that largely comes from the
7 contact with the Chief Medical Officer from Altnagelvin,
8 which led to the guidelines. They did put us ahead of
9 the game. And Dr Sumner specifically at the inquest
10 said these guidelines are ahead of anything else in the
11 UK and they're excellent in terms.
12 A. My point is more about the 2004 paper by Way, in that
13 No. 18 Solution in 2004 was still being used in England
14 despite the fact that the Royal College had given an
15 alert talking about it, and in fact the Way paper talks
16 about the hyponatraemia inquiry in Northern Ireland and
17 specifically mentions Raychel's case but not by name.
18 It talks about a child who died in 2001. So it's very
19 topical, and that's the situation in England.
20 So I think it was wrong to suggest that we in some
21 way were doing something wrong in Northern Ireland.
22 We were doing something that was being done elsewhere
23 and we changed it as quickly as possible.
24 THE CHAIRMAN: Thank you.
25 Mr Stewart?

97

1 was. So technically, it is true, she received excess
2 fluids, and all I'm saying at that presentation is
3 "Look, our case fits in with this one. This is what
4 they were finding and Raychel does meet those criteria".
5 Q. Very well. After the review you also contacted several
6 hospitals, as you mentioned, and you wrote the letter to
7 Dr Fulton, medical director, of 14 June, which appears
8 at 022-102-317. This is where you report back to your
9 medical director to say that having contacted several
10 hospitals, including the RBHSC, making enquiry about
11 perioperative fluid management, you were informed that:
12 "Children's Hospital anaesthetists have recently
13 changed their practice, have moved away from No. 18
14 Solution to Hartmann's solution. This change occurred
15 six months ago and followed several deaths involving
16 No. 18 Solution."
17 You say in relation to those several deaths that you
18 refer to that you -- and this is your conversation with
19 Dr Chisakuta -- that you didn't quiz him about what
20 those deaths were.
21 A. No, I didn't. I asked him about the use of No. 18
22 Solution and he told me -- and I asked him about the
23 rumour, and he told me that, and really that was the end
24 of our rather exhausting day of calling all my
25 colleagues that I could think of in Northern Ireland,

99

1 MR STEWART: If we just go back to where we were, and
2 that is after the review it seems you carried out your
3 calculations and in short form you came to the view that
4 if there was additional fluid given, it was negligible
5 in quantity; is that --
6 A. That's correct.
7 Q. But at that stage, you were also preparing your
8 PowerPoint presentation. And I would ask for
9 page 021-054-128 to be shown.
10 You delivered this PowerPoint presentation to many
11 people, which you described in the bottom section:
12 "Our case. Received hypertonic fluids. Had
13 preoperative sodium level below 140. Received excessive
14 maintenance fluids."
15 A. Yes. That is correct. And I think in my presentation,
16 depending on the audience, if it's a medical audience,
17 then I'm talking about the study findings, and I'm
18 saying where our case fitted in the statistics, and
19 Raychel fits there because of all the things that you
20 see.
21 In my statement to the inquiry, my second statement
22 to the inquiry, I refer specifically to that and say
23 that whilst our case did fit the criteria technically,
24 the amount of excess was marginal. And that's why today
25 I submitted that calculation to show how marginal it

98

1 and I left it at that.
2 And my letter to Dr Fulton, that could have been
3 written slightly more clearly. And if there's a lesson
4 anywhere, it is that you should be clear with every word
5 that you write because it may come and haunt you years
6 later. Looking at that letter, I can see that that
7 could imply that the deaths had occurred in
8 Children's Hospital but I've been --
9 Q. I want to ask you this. If you didn't quiz him and you
10 didn't know where the deaths had occurred, why didn't
11 you quiz him? That's the question. Because after all,
12 if you're annoyed that they've stopped Solution No. 18
13 in Belfast, you've had a death and he says, "We've
14 stopped and we've had several deaths", that makes it
15 even worse. Why didn't you say, "What? How many?
16 When?"
17 A. Well, you're suggesting that I was annoyed.
18 Q. You must have been flabbergasted at this information.
19 A. Irrespective of how flabbergasted I was, I was also
20 a bit tired, and I didn't quiz him on it, but over the
21 weekend I had already read the Arieff paper. So for me,
22 the idea that it was a possibility that children could
23 have problems associated with No. 18 Solution wasn't
24 a novel idea.
25 And, of course, Dr Chisakuta would say, well, he'd

100

1 already presented that at the 1998 Western Association
2 meeting, although I have no recollection of that. But
3 certainly over the weekend, I knew that -- this was
4 before talking to Dr Chisakuta, I knew there was
5 a problem with No. 18 Solution, and that's why I'm
6 saying that at the meeting on 12 June I discussed the
7 problem of No. 18 Solution. The discussion with
8 Dr Chisakuta was on the 13th.

9 THE CHAIRMAN: I just want to get this clear. Are you
10 telling me that it was a matter of indifference to you
11 that the Royal had changed away from Solution No. 18 and
12 hadn't bothered telling any of the area hospitals in
13 Northern Ireland?

14 A. It's certainly not a matter of indifference to me. I'm
15 saying --

16 THE CHAIRMAN: Right. That's what Mr Stewart was getting
17 at. If it's not a matter of indifference to you, when
18 Dr Chisakuta tells you that there have been several
19 deaths and you now say to us "Well, I didn't know if he
20 meant deaths in Northern Ireland or deaths anywhere
21 around the world or deaths in the UK or wherever they
22 were", why didn't you say to him "Well, I need to know
23 more about that or what other deaths are you talking
24 about?"

25 A. Well, I suppose -- I accept that criticism. I suppose

101

1 THE CHAIRMAN: The Erne at that time was in the same
2 Western Board area, wasn't it?

3 A. It was in the same Western Board area, but a different
4 trust though.

5 THE CHAIRMAN: A different trust in the same area --

6 A. I rang --

7 THE CHAIRMAN: -- with connections between the two
8 hospitals.

9 A. Yes, I rang Omagh Hospital. So for me Sperrin Lakeland
10 is two hospitals, it's the Erne Hospital and
11 Omagh Hospital. And from the Sperrin Lakeland
12 perspective I rang Omagh because I actually knew the
13 anaesthetists in Omagh better than I would have done the
14 anaesthetists in the Erne. And in fact, in the Western
15 Association of Anaesthetists it's open to all area --
16 all the hospitals in that area, including Letterkenny,
17 but very few anaesthetists from the Erne would ever have
18 come to it.

19 THE CHAIRMAN: But you're now describing this as if you took
20 a conscious decision not to ring the Erne.

21 A. No, I'm not describing that. I may have rung the Erne,
22 I don't recall it, but Dr --

23 THE CHAIRMAN: If you'd rung the Erne, you must have
24 received the information about Lucy, unless there's some
25 extraordinary development, because they had a death in

103

1 in my own mind, I knew that the problem was
2 Solution No. 18. He'd simply confirmed that. I knew
3 that we were having to change something, and I knew it
4 was the Halberthal -- I knew it was the Arieff papers.
5 That was the sort of thing I'd been researching over the
6 weekend. I didn't go back and tackle them in the way
7 that you're describing, and that could be accepted as
8 a criticism.

9 THE CHAIRMAN: It's not so much a criticism, it's a concern
10 about whether there is some effort to distance everybody
11 from the bank of information which had built up in
12 Northern Ireland, because at least some people in the
13 Royal knew about Lucy's death by then. Now --

14 A. In retrospect that's true.

15 THE CHAIRMAN: -- when you said -- well, the people in the
16 Royal didn't need retrospect. They knew. She'd only
17 died the year before.

18 So when you say you rang around several hospitals,
19 did you ring the Erne?

20 A. I rang -- well, when I rang Dr Anand, I don't recall
21 ringing the Erne. That's not to say I didn't. There
22 are hospitals I have listed that I remember distinctly
23 because of what they said to me. And I didn't make
24 a list of the hospital I rang, it wasn't a record
25 in that way. I never thought it would come to this.

102

1 which Solution No. 18 was implicated.

2 A. You would assume that that's the case, but if I had
3 phoned the Erne and I wasn't told that, that would be
4 a criticism of the Erne. I cannot say hand on heart
5 that I rang the Erne.

6 I certainly rang somebody in Sperrin Lakeland Trust,
7 and that was Dr Anand. And I think when she said,
8 "We have stopped using it", I assumed it was the royal
9 we, which is applying across the trust. I didn't
10 clarify that with her, and I wish I had made a list of
11 all the people I'd phoned, and then I could have read
12 that out to you. I simply said that -- that's what
13 I did, it was a gut reaction to ring colleagues to warn
14 them about what might be ahead of them.

15 THE CHAIRMAN: Let me make it clear, I'm not criticising you
16 for ringing around, I'm not criticising you for
17 following this up. None of that is criticism. But what
18 is very striking about Raychel's case, apart from
19 Raychel's own circumstances, is that her case went
20 through a critical incident review, was known about
21 in the Royal, and went through a coroner's inquest
22 without anybody at any time referring to Lucy, who had
23 died the previous year in circumstances which had
24 similarities.

25 A. I didn't know about Lucy's death, so I couldn't have

104

1 told the coroner.
2 THE CHAIRMAN: Do you understand why I'm surprised?
3 A. Yes.
4 THE CHAIRMAN: That through the various connections and
5 through the -- and but for Stanley Millar in the Western
6 Health Council, nobody knows when Lucy's death would
7 have been connected --
8 A. Yes. I mean, I did not know --
9 THE CHAIRMAN: -- and that does not sound natural to me.
10 A. I'm not sure how I'm meant to take this.
11 THE CHAIRMAN: That's why Mr Stewart was quizzing you on
12 this, and I'm asking you some questions now because
13 I don't understand how in 2001 and 2002, when all this
14 discussion was going on about Solution No. 18, people
15 who should have told you about Lucy or other people who
16 knew directly about Lucy did not raise Lucy's death as
17 part of the developments on foot of Raychel's death.
18 A. I'm equally surprised by that, and I think I've said
19 that in some parts of my statement, that had we known
20 about previous deaths, then maybe Raychel's death would
21 not have occurred. And in fact, I did say that to --
22 THE CHAIRMAN: I'm on a slightly different point. I'm on to
23 the fact that after Raychel's death had occurred and
24 there are investigations, there's an inquest, there are
25 guidelines and there's a working party, Lucy's death is

105

1 October 2004.
2 A. Yes, that's when it was aired. But in the spring of
3 2003, I met with Trevor Birney and he said that the
4 child had died in the Erne. Now, whether he'd actually
5 told me the name of Lucy Crawford, I cannot tell you,
6 but I know that's the first time I learned that there
7 had been another death there. But that was unofficial,
8 completely unofficial.
9 MR STEWART: I want to take you back and just ask you some
10 questions. You say that in the aftermath of your
11 conversation with Dr Chisakuta you felt you needed to do
12 something.
13 In your police statement you described urgency of
14 the situation. You wanted to act. You'd been told that
15 there were several deaths. Wouldn't the very fact that
16 there had been several deaths fuel your arguments to
17 achieve something?
18 A. But I was already achieving something because before
19 I rang Dr Chisakuta, the ball was rolling. We had
20 stopped -- well, my opinion is that we had stopped the
21 use of No. 18 Solution in surgical children.
22 Q. Why did you not make reference to them ever again?
23 A. Make reference to?
24 Q. Those several deaths that appeared in your 14 June
25 letter, you never refer to again ever after that. Why?

107

1 not raised, and I can't understand how that happened.
2 A. Lucy's death wasn't raised but Adam Strain's death was.
3 THE CHAIRMAN: Yes, but the Royal knew about Adam Strain's
4 death.
5 A. Yes, and so did the coroner.
6 THE CHAIRMAN: So did the coroner. In other words, the
7 Royal raised Adam Strain's death, which had been through
8 an inquest, and on foot of which they had advised the
9 coroner that they were going to make a change, which
10 would be advised to paediatric anaesthetists. Can
11 I presume just for the record that you didn't hear
12 anything about Claire Roberts' death?
13 A. No, not until the inquiry. And Lucy Crawford's death
14 was probably -- the only time I heard that was the
15 coroner actually told me about it following the inquest,
16 and that was the most official notification. But prior
17 to that --
18 THE CHAIRMAN: Sorry, following which inquest?
19 A. Lucy's in 2004. And in 2003, in the spring of 2003,
20 which was actually after the inquest for Raychel, there
21 was a TV programme going to be aired called When
22 Hospitals Kill, and Trevor Birney had had -- I'd had
23 a meeting with him so that he could understand the
24 background of --
25 THE CHAIRMAN: I think that programme was actually

106

1 A. I refer to the Arieff paper because --
2 Q. No, I'm sorry, I'm talking about those several deaths.
3 Why do you choose to omit them from every subsequent
4 statement?
5 A. In relation to the meeting on 12 June?
6 Q. In relation to the whole business of what you learnt
7 from the Royal Hospital after.
8 A. Dr Chisakuta told me there'd been other deaths. I later
9 said that I believed that it was the Arieff paper he was
10 talking about.
11 Q. You made that presumption --
12 A. It's referred to in my statement --
13 Q. Yes, you made that presumption some time later.
14 A. That's correct.
15 Q. I'm asking why you subsequently, before you made that
16 presumption, chose to omit reference to them.
17 A. I don't think I chose to omit the reference.
18 Q. You did omit reference to them.
19 A. Yes.
20 Q. Why?
21 A. Well, because I didn't choose to, I can't give you
22 a reason.
23 Q. I'm sorry, you wrote your subsequent statements, nobody
24 else, I presume, why did you not refer to them again?
25 A. In my statements to the coroner or?

108

1 Q. The coroner, the police. Your statements.
2 A. Well, the coroner knew about the Arieff paper because --
3 Q. No, I'm sorry, I'm talking about the several deaths, I'm
4 not talking about Professor Arieff's paper.
5 A. That is about several deaths, and the Halberthal --
6 Q. Are you deliberately trying to avoid the question?
7 A. No, absolutely not.
8 Q. Okay.
9 A. What I'm saying is I have referred to it.
10 Q. Because it looks as though you've heard about deaths,
11 you choose not to make any enquiry whatever and then
12 suddenly you're not mentioning them ever again. Why?
13 A. When you say I don't make any enquiry, you mean with the
14 Children's Hospital?
15 Q. Yes.
16 A. I can't explain that except that I had already got the
17 Arieff paper sitting on my desk and knew about it.
18 I can see that -- I can see your irritation, I don't
19 seem to be answering what you're asking me. I knew
20 about the Arieff paper. I knew that No. 18 Solution was
21 a problem and was more widespread than I'd thought, it
22 wasn't just a Northern Ireland thing, and I think the
23 actions that we put in place following that addressed
24 those things.
25 Q. Well, in which case --

109

1 witness's evidence, if you were to -- there will be
2 evidence from another witness, but if you were to ask
3 the witness could he confirm if Dr Anand was the
4 clinical director for anaesthetics at Sperrin Lakeland,
5 in other words, TC, Tyrone County and the Erne Hospital,
6 I don't know if you would want to follow that up with
7 the witness or should we leave it until the witness next
8 week, but it's just that it was touched on this morning.
9 THE CHAIRMAN: So although she was based in the -- is it the
10 Tyrone County Hospital?
11 MR STITT: Yes.
12 THE CHAIRMAN: Was she the clinical director?
13 MR STITT: In a question form --
14 THE CHAIRMAN: For the whole trust --
15 MR STITT: If this witness can answer that. If he can't, he
16 can't.
17 A. I'm unable to -- I knew she was clinical director.
18 Whether that was just in Omagh, I can't tell you.
19 I can't say. I know that she did work in the Erne as
20 well, but that perhaps was later than 2001.
21 THE CHAIRMAN: Okay.
22 A. At that stage, they might have just been in Omagh.
23 MR STITT: Maybe we could asterisk that and the point could
24 be put to Mrs Burnside when she gives evidence next
25 week.

111

1 A. And --
2 Q. -- I think you'd have written your letter of 14 June
3 "This change occurred six months ago and followed
4 several deaths reported in a number of internationally
5 published medical articles." That's what you'd have
6 written.
7 A. I can see --
8 Q. You wouldn't have written "Six months ago, followed
9 several deaths".
10 A. I concede that completely. I have already said I think
11 that letter could have been clearer in that sentence and
12 it was never meant to imply it was deaths in the Royal.
13 I understood from talking to Dr Commission that it
14 certainly chimed, it harmonised with what I had read
15 over the weekend, so I assumed that's what we were
16 talking about. In that letter that is not clearly
17 written, and I accept that it could have been written
18 better.
19 There's no deliberate policy, there was no --
20 nothing -- I wasn't trying to cover up anything there or
21 omit it deliberately. I thought that's what it referred
22 to.
23 THE CHAIRMAN: Okay. We'll break for lunch. 2 o'clock.
24 MR STITT: Mr Chairman, one point perhaps you might
25 consider, rather than waiting until the end of this

110

1 THE CHAIRMAN: Thank you, yes.
2 (1.03 pm)
3 (The Short Adjournment)
4 (2.00 pm)
5 MR STEWART: Good afternoon, Dr Nesbitt. The first witness
6 statement WS035/1, page 3, if I may.
7 At the foot of this page, you say -- this was after
8 you'd learnt from the RBHSC that Solution No. 18 had
9 been abandoned some six months previously.
10 You go on to say that you:
11 "... requested that any data on hyponatraemia or the
12 incidence of this in Northern Ireland would be helpful
13 and Dr Taylor, consultant paediatric anaesthetist,
14 agreed to send me these details."
15 When did you speak with Dr Taylor?
16 A. I can't recall exactly, but I remember that it was --
17 I knew Bob Taylor and I knew he'd been doing some work
18 on hyponatraemia, and he sent me the details, and
19 I believe they were the same details that he forwarded
20 to the working group. I assume that they were because
21 very much the type of slide that was in them I have
22 incorporated in the middle part of my presentation on
23 hyponatraemia on the incidence in Northern Ireland.
24 Q. How do you know Dr Taylor was pursuing researches into
25 hyponatraemia?

112

1 A. Well, I can assume that I'd spoken to Bob Taylor at one
2 of the paediatric resuscitation courses that we both
3 would have been instructors on. That might have been
4 a possibility.
5 Q. Had it been before or after Raychel's death?
6 A. It would have been after Raychel's death, I was unaware
7 of --
8 Q. How soon after Raychel's death did you receive
9 Dr Taylor's information?
10 A. I don't know that exactly. I know it was incorporated
11 into my PowerPoint presentation that I eventually
12 compiled, and I think that it was probably around
13 September time that that was done, and that was on the
14 strength of a letter from Mrs Burnside, requesting that
15 I provide some teaching on the subject of hyponatraemia.
16 Q. And that was in 14 August?
17 A. She wrote to me in August and said, "Look, here's the
18 Arieff paper, here's the Halberthal paper. Could
19 [I] please arrange a presentation at the hospital
20 management team". And I -- I'm not sure if she said the
21 hospital management team, but certainly could I arrange
22 a little teaching, and that fitted in with what I wanted
23 to do and making a presentation.
24 Where the Bob Taylor fitted in with that I can't
25 quite recollect.

113

1 manner. The witness has said he wasn't sure when he was
2 written to by -- he wasn't sure if Mrs Burnside asked
3 him to deal with the hospital management committee, and
4 Mr Stewart knows of the letter, but would it be helpful
5 to have a brief look at the letter just to clarify this,
6 seeing it's been raised. WS035/2, page 90.
7 THE CHAIRMAN: Yes, thank you very much. The request from
8 Mrs Burnside was to arrange some teaching at a future
9 hospital management team meeting. Thank you.
10 A. So I was preparing to do that. So from August onwards
11 I was preparing my PowerPoint presentation. The
12 question's been asked when did I prepare it. I'm not
13 quite sure. I guessed September.
14 MR STEWART: Thank you. I'd moved on to ask you about
15 conversations you may have had with Mrs Burnside and
16 Dr Fulton in the summer of 2001 about other deaths from
17 hyponatraemia. Was this subject raised between you?
18 A. Only in that I had written to Dr Fulton telling him that
19 the story I'd heard was there were other deaths. And
20 at the meeting on 12 June, we discussed the fact that --
21 that was my concern about No. 18 Solution was that there
22 were other deaths associated with it because that was
23 the problem with No. 18 Solution.
24 Q. Sorry, you say that you discussed the other deaths at
25 the 12 June meeting?

115

1 Q. Did you have conversations with Mrs Burnside about the
2 issue of hyponatraemia?
3 A. No, it was almost the opposite. She had a conversation
4 with me because she said, "Look, here's the
5 Halberthal -- probably through Therese Brown that I got
6 the information, but the letter from Mrs Burnside was
7 giving me stuff, informing me about hyponatraemia, but
8 in fact I already had that, so it wasn't adding to the
9 sum of my knowledge. I already had those papers.
10 Q. Did you have any discussions with Dr Fulton about other
11 deaths in Northern Ireland from hyponatraemia --
12 A. Not that --
13 Q. -- in the summer of 2001?
14 A. Not that I recall. Only in that I did speak -- relayed
15 the Tony Chisakuta message that there had been other
16 deaths, and I knew -- well, by the time I had the graph
17 from Bob Taylor, I'm not sure where we are
18 chronologically here, but when I had the graph from
19 Bob Taylor it did mention a previous death and it was
20 1997.
21 Q. Yes.
22 A. In fact, that is in correct and it would have been 1995,
23 and that's one of the examples I was quoting earlier.
24 Q. Leave that anomaly aside for a moment.
25 MR STITT: Just an intervention, hopefully in a helpful

114

1 A. At the 12 June meeting, the concern for me was the
2 No. 18 Solution.
3 Q. I thought you only learnt about the several deaths when
4 Dr Chisakuta referred you to them on 13 June.
5 A. No, I think if you look back through the transcript you
6 should see that what I said was I researched -- before
7 speaking to Dr Chisakuta at the weekend, I researched
8 the journals. I knew from the rumour that I'd had heard
9 that we had given the wrong fluid, and when I looked it
10 up No. 18 Solution there's articles on it, and that's
11 the Halberthal paper and the Arieff paper and it talks
12 about deaths associated with No. 18 Solution.
13 So that was discussed at the meeting on the 12th.
14 That was the reason why I wanted to change No. 18
15 Solution.
16 I didn't talk about any deaths in Northern Ireland
17 because I had no knowledge at that time there were any
18 deaths to do with that in Northern Ireland. The first
19 instance of that was Bob Taylor's information from the
20 Children's Hospital.
21 Q. You would have been interested, would you not, in the
22 incidence of other deaths in Northern Ireland?
23 A. Yes.
24 Q. Because they would have been in hospitals where your
25 colleagues would have been working?

116

1 A. Yes, that would have been vital.
2 Q. Can we have a look at 021-056-135, please. This is an
3 e-mail sent by Dr Carson to the CMO, but you will see
4 that Dr Raymond Fulton, your medical director, is copied
5 in, and you'll see at the top, he then forwards it on
6 from Fulton, Raymond, to Burnside, Stella.

7 So there we are, at the end of July 2001, in the
8 hospital, your medical director and your chief executive
9 now know -- and we quote the beginning of the second
10 paragraph:

11 "The problem today of dilutional hyponatraemia is
12 well recognised. See the EMJ editorial. The
13 anaesthetists ... would have approximately one referral
14 from within the hospital per month ... previous death
15 approx six years ago in a child from the Mid-Ulster.
16 Bob Taylor thinks there have been five or six deaths
17 over a ten-year period of children with seizures."

18 Was this mentioned to you in your conversations with
19 your medical director and your chief executive?

20 A. I had many conversations with both.

21 Q. Was this mentioned? I'm not asking how many
22 conversations --

23 A. I can't recollect, but I wouldn't doubt that it was
24 mentioned because any concerns that there might have
25 been about hyponatraemia were very foremost in our

1 A. I was not aware of other children other than Bob Taylor
2 telling me in his graph, that was the only data that
3 I had relating to hyponatraemia. I appreciate that
4 they're talking about the Mid-Ulster. I have no idea
5 what that is, that doesn't appear --

6 MR STEWART: I'm not asking you about data that you had --

7 MR UBEROI: Sir, might I just raise a context in fairness.
8 My reflection of Dr Carson's evidence was that he took
9 these figures on balance to be referring to national
10 figures, as opposed to local figures. I appreciate
11 other interpretations are being probed, but that was
12 certainly Dr Carson's evidence, as I recollect it.

13 MR STEWART: That was his supposition, his presumption.

14 MR UBEROI: It was supposition because of the specific
15 phrase, the Cochrane review.

16 MR STEWART: Which is an international review which can
17 apply anywhere across the globe.

18 So I want to know not about data you had in your
19 possession, I want to know about information that had
20 come to your attention. If this had come to your
21 attention, and you are the person in Altnagelvin who's
22 interested in Solution No. 18, you would have wanted to
23 find out about these deaths, wouldn't you?

24 A. It would have added weight to the campaign that I was
25 starting. I don't think it would have altered the way

1 minds, especially the chief executive who wanted me to
2 provide the teaching on it.

3 Q. So when do you think you learned about this? So, you
4 don't doubt or you do doubt?

5 A. I have no reason to doubt it was mentioned to me.

6 Q. Now, you are leading, spearheading the campaign to ban
7 Solution No. 18, really. This is a mission that
8 you have set yourself. You're part of the working
9 group. Your medical director knows your part of the
10 working group, your chief executive knows you're part of
11 the working group. You know about these deaths. What
12 do you do with the information?

13 A. The deaths I'm talking about are not those deaths but
14 the deaths that Halberthal and Arieff --

15 Q. I'm talking about these deaths.

16 THE CHAIRMAN: Let me ask it to you this way. If you
17 thought that the deaths that Arieff and Halberthal were
18 referring to were deaths anywhere in the world, does
19 this e-mail not make it clear that we're talking about
20 local deaths?

21 A. Yes. It's not copied to me so I haven't seen that
22 e-mail. I'm suggesting that if they had talked about
23 other deaths, the seriousness of hyponatraemia was that
24 other children had died before.

25 THE CHAIRMAN: Yes.

1 things went.

2 Q. It would certainly have added weight to your campaign,
3 it would have rocket fuelled your campaign. So what did
4 you do to find out about this information?

5 A. I don't think I did anything to find out --

6 Q. Why didn't you do anything?

7 A. Because I was completely focused on effecting the change
8 in Altnagelvin. I was completely focused on joining the
9 working group. Dr Fulton had arranged that I would join
10 that working group. So I was happy that at least I was
11 going to voice my concerns in the Department of Health
12 about our experience in Altnagelvin and the Halberthal
13 paper; I keep referring to that. I did have information
14 from Bob Taylor as I was getting the PowerPoint
15 presentation together. It gave no details of names or
16 where the death actually --

17 Q. Exactly. And that's why you have to find out, and
18 you have to find out in order to determine whether or
19 not there's been negligence, whether or not there's been
20 something which ought to be referred to the coroner,
21 whether or not there's something which might inform your
22 research.

23 A. That's an interpretation you can put on it. I didn't
24 see my role as being that. I wanted to effect a change
25 and spread the message in the Royal.

1 Q. Don't you have a duty towards patients everywhere?
2 A. Well, I believe that I do and I believe that I have to
3 the very best of my ability effected those changes and
4 no matter what you say, I did go to the department with
5 the information that I had, not this information, but
6 the change was still effected.
7 Q. I'm asking not about what you did right and I think
8 tribute should be paid to you for driving through those
9 changes, but I'm asking you about this. Because if one
10 of these cases had been a case which had been
11 overlooked, which should have gone to the coroner, there
12 might have been parents out there of a child who didn't
13 know what had caused their child's death.
14 A. When I went to Belfast, I did not know of those deaths.
15 There's no mention of the Mid-Ulster or any other
16 deaths.
17 I just had the statistics that I have talked about
18 from Bob Taylor. So I didn't know about them. Perhaps
19 if that had been sent to me I might have acted
20 differently to what you're suggesting.
21 Q. When you got Bob Taylor's statistics, his bar chart was
22 incomplete, wasn't it?
23 A. It's not exactly the same as my bar chart.
24 Q. I know it's not the same as yours, that's not what I'm
25 asking you. His bar chart had no entries for 1995 and

121

1 A. Can I just clarify, chair? If I've said that, what
2 I mean to say is I don't doubt that deaths associated
3 with hyponatraemia were not mentioned to me by Dr Fulton
4 and --
5 THE CHAIRMAN: This is the point of Mr Stewart's questioning
6 and it's an important area for Mr Stewart to probe, and
7 he does so with my complete approval. I am very
8 concerned about how much information was shared at the
9 time. Dr Carson it was who came to this inquiry and
10 said that doctors are very good at announcing their
11 victories but not proclaiming their mistakes, and what
12 we're exploring here is whether there was more which was
13 known behind closed doors than has been disclosed to the
14 inquiry or faced up to. I think you know the point of
15 this questioning.
16 A. I do know the point.
17 THE CHAIRMAN: And it seems very curious to us that if there
18 is a working party and this is a build-up to the working
19 party, which is reviewing hyponatraemia, which can be
20 fatal in children's cases, that there was not at least
21 some discussion about the fact that apart from
22 Adam Strain, other children had died in Northern Ireland
23 from deaths associated with hyponatraemia. At the very
24 least that must -- even if we say that there was some
25 misdiagnosis of the reasons for Claire's death, which

123

1 no entries for 1996. And, of course, we know that
2 Adam Strain's death was 1995 and Claire Roberts in 1996.
3 So when you got that information, were you not struck by
4 the incompleteness of it?
5 MR UBEROI: I ask again for clarity. We obviously know that
6 Claire Roberts' death was 1996 now, classically with the
7 benefit of hindsight. I also add that this bar chart
8 was a draft, and there's also further relevant evidence
9 on it in that the PICU secretary mined the information
10 from the PICU database, that's simply so that the full
11 picture of this bar chart is put.
12 MR STEWART: Yes, the full picture, the evidence has been
13 heard on that.
14 Let's have a look at Dr Taylor's bar chart.
15 MR STITT: Mr Chairman, just before we leave the letter,
16 it's present on the screen. Is it not fair for me to
17 suggest that the witness is reminded, this is a letter
18 not to him. I know he's made the point that he wasn't
19 copied into it, but it is actually from the Royal to the
20 Chief Medical Officer. So I don't know if it's
21 suggested that somehow this information was not being
22 circulated and it's gone to the highest level.
23 THE CHAIRMAN: Sorry, the point was it went to Dr Fulton,
24 and this witness, Dr Nesbitt, has said he doesn't doubt
25 that this was then mentioned to him.

122

1 might be a generous assumption, I don't know and can't
2 understand how this exercise, this exchange of the
3 people who knew most about this area of medicine and the
4 people who discussed it most, the people who were most
5 worried about it and the people who drew up the
6 guidelines could possibly have done this work without
7 revealing Lucy. And what Mr Stewart is probing is the
8 question of whether in fact Lucy was known about, but to
9 put it bluntly, nobody's letting on about it.
10 A. Well, can I, for avoidance of doubt, say that I did not
11 know of Lucy Crawford. I did not know the details of
12 Adam Strain. I thought the evidence was it was 1997,
13 according to the data that I had on the graph.
14 When I went to the meeting in Belfast, arranged by
15 the CMO, the issue was for me Raychel Ferguson. And
16 I said at the meeting very clearly "We have had a death,
17 Raychel Ferguson is the case I'm talking about".
18 I had no knowledge of other cases specific to
19 Northern Ireland, and I can't be clearer than that. If
20 other people in the room knew that they too had a case
21 like that, it was for them to say it. I had no way of
22 second-guessing them.
23 THE CHAIRMAN: Do you appreciate how -- I mean, I'll
24 obviously weigh up all your evidence with all the other
25 oral evidence and the documentary evidence, but do you

124

1 understand how to an outsider it seems at the very least
2 curious that not even Lucy's death cropped up in the
3 context of the working party?
4 A. It would appear curious, but from my own -- I'm sounding
5 very defensive, but from my own personal contribution to
6 the meeting I did not know about Lucy Crawford.
7 THE CHAIRMAN: But if you --
8 A. Others might.
9 THE CHAIRMAN: That isn't quite the question. And I accept
10 that you have said that a number of times. The question
11 is, if you're sitting round a table with people who are
12 concerned about deaths which are related to fluid
13 maintenance, there were people round that table who were
14 aware of the death of Lucy Crawford.
15 A. I don't doubt that.
16 THE CHAIRMAN: And the notion that they kept quiet about
17 that and did not put it -- did not add it to the
18 discussions which took place seems to me hard to
19 understand.
20 A. If I could just say one more thing. I think the remit
21 of the meeting was to get consensus on intravenous
22 fluids in children, not to investigate the deaths of any
23 particular children. I've answered that question in my
24 second statement.
25 MR STEWART: Can I ask you where you got that answer from?

125

1 this e-mail until I have seen the evidence from the
2 inquiry.
3 Q. And are you saying that Dr Fulton didn't discuss the
4 content of this with you?
5 A. Not to my knowledge.
6 Q. Are you saying that Mrs Burnside didn't discuss any part
7 of the content with you?
8 A. I don't believe this particular e-mail was discussed
9 with me.
10 Q. Did she discuss any other deaths from hyponatraemia with
11 you?
12 A. No, only that the Halberthal and the Arieff paper was
13 the thing she was asking me to talk about, and that was
14 about deaths from hyponatraemia.
15 Q. Did Dr Bob Taylor discuss any part of the content of
16 this e-mail with you?
17 A. No.
18 Q. Tell me this. Did you discuss any other deaths locally
19 with Dr Fulton?
20 A. I don't believe I did.
21 Q. Did he tell you about any other deaths?
22 A. Not at that time. Not to my knowledge.
23 Q. When he went off to Belfast on 18 June 2001 to attend
24 a meeting of his fellow medical directors, did he come
25 back and tell you but a conversation he'd had with

127

1 A. Pardon?
2 Q. Can I ask you where you got that answer from?
3 A. It was my recollection of the reason for having the
4 meeting and that would be the -- that would be the
5 letter from Paul Darragh. I'm thinking --
6 Q. Can we get this out of sequence -- in fact, we'll come
7 back to it if I may because I want to establish some
8 groundwork first, please, with you. Can I ask you, for
9 the avoidance of doubt, when you answered this question
10 a moment ago, you employed a most curious double
11 negative, "I don't doubt I would not". I want for the
12 avoidance to get a completely straight answer from you,
13 Dr Nesbitt.
14 A. Okay, that was not intentional.
15 Q. Did you in 2001 have any part of the content of this
16 e-mail brought to your attention in any way whatsoever?
17 A. No, I don't believe I've seen that e-mail until --
18 Q. No, I didn't ask you that. I said was any part of the
19 information contained in it brought to your attention?
20 A. There are parts of it that are familiar to me, but not
21 from that particular e-mail. I mean, there's things
22 there that I know about, like formula milk and risk of
23 hypernatraemia. Those are things I've alluded to, those
24 are things I know. The BMJ editorial, I know about
25 that, but it wasn't from this e-mail. I haven't seen

126

1 Dr Kelly from just down the road in the Erne?
2 A. I believe he told me that Dr Kelly said they'd had
3 a problem with No. 18 Solution or intravenous fluids.
4 I don't believe any name was mentioned or death.
5 Q. So you think you came back from that with the absolutely
6 astounding news that there had been another death and in
7 which Solution No. 18 was implicated, and again that the
8 Royal had stopped their use and hadn't told you, but
9 just referred to it as a problem?
10 A. Are we talking about Dr Kelly now or --
11 Q. I'm talking about what Dr Fulton said to you.
12 A. I believe Dr Fulton said that at the meeting Dr Kelly
13 had said to him that they too had had a problem with
14 intravenous fluids in the Erne, but no more than detail
15 than that, as far as I can recollect. I certainly
16 wasn't told about Lucy Crawford from Dr Fulton.
17 Q. And does it surprise you now to hear or read what
18 Dr Kelly said about that meeting and feel that Dr Fulton
19 didn't come back and tell you what he knew?
20 A. It does seem surprising because if Dr Kelly's talking
21 about the problem -- and the timing of this must be
22 Lucy Crawford, that he's referring to, but there was no
23 name mentioned, nor was a death mentioned --
24 Q. Yes.
25 A. -- as far as I know.

128

1 THE CHAIRMAN: I can understand the name not being
2 mentioned. I can't understand how there's reference to
3 a problem when in fact the problem was a death, and it's
4 exactly the same sort of disastrous problem that you had
5 a year later in Altnagelvin.
6 A. It seems incredulous. All I can relate is what
7 Dr Fulton would be relaying to me would be that when he
8 went to the meeting, there was concern in the room and
9 Dr Kelly had a concern about a fluid experience they'd
10 had. But there was no more than that, as far as I know.
11 And Dr Fulton can maybe shed more light on that.
12 THE CHAIRMAN: Yes.
13 MR STEWART: Well, it was more than that because Dr Kelly's
14 given a statement in which he said he and Dr Fulton took
15 a vox pop on the room and the anaesthetists said, yes,
16 there'd been near misses, and the medical director said
17 there's been problems. So it was something that seemed
18 to be known about at that meeting, there were very few
19 people there but known to them nonetheless.
20 A. I wasn't at the meeting so I can't comment.
21 Q. No, but you are a consultant anaesthetist with
22 a particular interest in paediatric matters. Are you
23 saying you had heard nothing at that time of problems or
24 near misses?
25 A. At that time I had no other information about

129

1 My recollection is that he said that towards the end
2 of the meeting some people had left, there were a few
3 anaesthetists left because quite a few medical directors
4 are anaesthetists, and there was a discussion about
5 "We'll have to look in our trust to see if that's
6 happening", and some anaesthetists said, yes, they had
7 heard there were problems with Solution No. 18 as well.
8 But that's anecdotal, it wasn't said to me, and no other
9 deaths were mentioned, I'm fairly sure about that.
10 Q. You see, the trouble is that all the individual players,
11 many of the individual players across Northern Ireland
12 on this, all individually know these deaths, and
13 suddenly people can't remember. Suddenly there was no
14 communication. Suddenly when several deaths are
15 mentioned, as you did, they don't reappear again. Could
16 there be a sort of a sense that you're all not rocking
17 the boat and that nobody's mentioning these deaths?
18 A. Can I go back to the fact that you suggest it never
19 appeared again. But the other deaths became -- not
20 deaths in Northern Ireland, the other deaths associated
21 with No. 18 Solution became central to the PowerPoint
22 presentation that I gave to the world and his wife.
23 Everybody I met I gave that presentation to. So it
24 wasn't like I mentioned it once and never, ever again.
25 I mentioned it every time I met somebody.

131

1 hyponatraemia or incidences of it, and when
2 Raychel Ferguson, the tragedy occurred, that was the
3 first experienced I'd had in 34 years of medical
4 practice of seeing a child develop hyponatraemia of that
5 nature, and it is an extremely rare situation. I think
6 if you have a room of anaesthetists, it may be that then
7 you get a more global feel for it, and it's more like
8 the Cochrane database because then you might get
9 a better feel for how many instances there were.
10 Dr Fulton said that in the room there was a disquiet
11 about No. 18 Solution and some people said they would go
12 back to their own trusts and look at was it being
13 prescribed and so on. But there were no other mentions
14 of deaths to my knowledge.
15 Q. So Dr Fulton did come back and did describe the meeting
16 and did tell you what was said, and left out the one
17 extraordinary piece of information, that drove him into
18 that meeting in the first place, that there had been
19 another death with Solution No. 18?
20 A. What drove him into the meeting in the first place was
21 the Raychel Ferguson tragedy. When he came back and
22 said -- he did not say of any other deaths. He said
23 that -- there was a discussion in the room and it was
24 towards the end of the meeting. This is second-hand.
25 This is conversations I've had with him.

130

1 Q. Yes, and central and remarkable for its inaccuracy.
2 A. My presentation?
3 Q. Yes. For your bar chart, which leaves out two years
4 which contain two deaths that we know about and which
5 Dr Taylor knew about.
6 A. I took the bar chart in good faith. It was sent to me.
7 I did not make that bar chart. That's what I was given.
8 So I incorporated that in my teaching, and part of it
9 was the incidence of hyponatraemia in Northern Ireland,
10 background, and I said, "Well, here's the incidence from
11 the Royal Belfast Hospital for Sick Children".
12 Q. But you'd had several deaths referred to you which you
13 hadn't bothered to find out about.
14 A. There were two deaths on it, one was Raychel Ferguson,
15 because that was 2001, and the other one was 1997, which
16 I had no details of. That's quite correct. And I did
17 not research that any further, and so that error, if you
18 like, 1997, it was actually 1995, and obviously
19 Adam Strain, but that error was then promulgated through
20 all my presentations because I kept using that bar
21 chart.
22 Q. When did you first learn of Adam Strain?
23 A. I believe ... When Hospitals Kill, 2004.
24 Q. Did nobody in the trust tell you about it? Because
25 Mrs Brown told us the other day that the coroner rang

132

1 her and told her about it in December 2001.
2 A. Yes. He did not say it was Adam Strain, he said that he
3 had investigated -- and he'd used Dr Sumner as an expert
4 in a previous case in Northern Ireland and it was
5 a similar case. That was all. And in fact, in the
6 coroner's inquest, he said more, he said that it had
7 been just exactly the same. I don't believe the name
8 Adam Strain -- I can't recall that. But I did not know
9 of Adam Strain's name.
10 Q. That's the only case in which Dr Sumner also give
11 evidence which the coroner heard, isn't it? It was
12 Adam Strain's case you were discussing by name or not.
13 A. In Northern Ireland?
14 Q. Mm.
15 A. But Dr Sumner also produced all the stuff that I'm
16 talking about, Ariefeff, Halberthal, and he --
17 Q. Did Mrs Brown tell you about what she knew of this other
18 death that the coroner had investigated in which
19 Solution No. 18 was implicated? Did she tell you about
20 that?
21 A. She -- there are no details of that. It didn't say
22 Adam Strain, just that the coroner had investigated
23 a death before.
24 Q. She told you about that?
25 MR STITT: I'm sorry, this is the third or fourth time and

133

1 and that's why that information came to her, but --
2 Q. When did it come to you?
3 A. Well, I can't remember exactly, to be as succinct as
4 I can --
5 Q. It was before the inquest, wasn't it, before Raychel's
6 inquest, wasn't it?
7 A. Yes, it was, because I knew in May -- in May 2002,
8 I knew that the coroner had previously investigated
9 a death and I assume that was from the information that
10 Therese would have had from December 2001, but in
11 May 2002 I was then medical director and would have
12 worked more closely with Therese. As a clinical
13 director in anaesthesia in 2001 I wouldn't have.
14 Q. How did you get the information in May 2002?
15 A. I'm not sure. The information for Henrietta Campbell,
16 when I wrote my letter to her and said, "Look, the
17 coroner had investigated a death before, I could see it
18 on the graph. I thought it was 1997", and the fact
19 that's why when I wrote to Henrietta Campbell I said
20 investigated the death of a child five years ago, if you
21 look chronologically, that puts it at 1997, in fact it
22 was longer than that, it was 1995.
23 Q. But you see, you've previously told people, correct me
24 if I'm wrong, that that death that you referred to the
25 CMO was the death you saw on the bar chart.

135

1 the transcript will bear this out that the witness has
2 been in the process of answering when he has been cut
3 off. Now, I appreciate that counsel is enthusiastically
4 following the line of questioning, and I'm sorry for
5 appearing to break that up, but it's only fair that the
6 witness is allowed to finish a sentence or finish his
7 answer, and there are at least two recent examples
8 within the last five lines or so when that has happened.
9 MR STEWART: I do apologise. I don't mean to be rude.
10 However, I would appreciate it if Dr Nesbitt could
11 attempt as best he can to give a succinct and clear
12 answer to the questions, and that will preclude any
13 further harassing of him by me, and I apologise for
14 that.
15 Is your evidence that Mrs Brown did tell you in
16 December 2001 that she had heard of the death of another
17 child, a death investigated by the coroner in which
18 Solution No. 18 was implicated?
19 A. I don't believe in 2001 I was told that by
20 Therese Brown.
21 Q. When do you believe you first came by that information?
22 A. It was after that and it was -- I was asking, well, when
23 did -- when did I first find out that there had been
24 another death in Northern Ireland. And I asked Teresa
25 and she said the coroner had phoned her on 5 December

134

1 A. I assumed it was.
2 Q. But that bar chart didn't tell you that that death had
3 been referred to the coroner, did it?
4 A. No, it didn't.
5 Q. So how would you know to write to the coroner if that
6 was your only information?
7 A. I didn't write to the coroner.
8 Q. I beg your pardon, write to the CMO.
9 A. Because obviously, at some point between December 2001
10 and me writing to Henrietta Campbell, I'm assuming
11 Therese Brown told me that the coroner had phoned her,
12 I'm sure it wasn't a secret, that previous death had
13 been investigated.
14 Q. Why do you presume it was Mrs Brown as opposed to many
15 of the other people with whom you were having
16 conversations who would also have known?
17 A. Well, I don't know. I can't tell you who it was told me
18 that. But I know that factually it's correct. So the
19 letter that I wrote to Henrietta Campbell, as far as
20 I was concerned, was factually correct, but I was going
21 on the bar graph, and the coroner did not say in which
22 year it was that he'd investigated a child, just that
23 there'd been a previous case, very, very similar to it.
24 So I just put two and two together and assumed it
25 was the same one. That may be incorrect for me to have

136

1 done that.
2 Q. Before we leap forward, let's just stick with the basic
3 chronology. That was your attendance with others to
4 meet with Mrs Ferguson on 3 September. And you have
5 given an account of that at WS035/1, page 5.

6 The bottom paragraph deals with that meeting and how
7 you expressed your sincere condolences and so forth:

8 "During the meeting I remember answering why
9 I thought Raychel had died."

10 Can I take you a few lines down to a sentence
11 beginning:

12 "The fluid therapy [about five lines down] which
13 Raychel received was the same as that used in other
14 hospitals, and the standards of care were the same as in
15 other units treating children."

16 Did you tell Mrs Ferguson that the fluid therapy was
17 not the same as being used to your knowledge in the
18 Royal Belfast Hospital for Sick Children or in the
19 Tyrone County Hospital?

20 A. No, I don't believe that I did.

21 Q. Well, why not?

22 A. For no particular reason. What I was trying to say was
23 that in as sympathetic a way as possible, that the care
24 and treatment that Raychel got, in my opinion, and
25 of course it's my opinion, was the same as she would

137

1 THE CHAIRMAN: It would seem amazing --
2 A. It just sounded like a broken record.

3 THE CHAIRMAN: It would seem amazing if you didn't at the
4 working group say "Well, is this information I'm getting
5 right that the Royal stopped using Solution No. 18
6 because that's what I hear from South Tyrone?"

7 A. I don't believe that conversation took place.

8 THE CHAIRMAN: Because on the working group, that is
9 undoubtedly information which should have been shared.
10 I mean, if the Royal had -- Arieff and Halberthal and so
11 on are very important, but on the information which we
12 understand Dr Taylor had already been researching for
13 some time, unfortunately you didn't need to look outside
14 Northern Ireland for information about the dangers of
15 Solution No. 18.

16 A. And my only defence I can think of was that for me it
17 was an opinion that I had, it wasn't concrete evidence,
18 and it would certainly have been finger pointing if I'd
19 done it. And I don't know that in the context of that
20 meeting it was about the deaths of particular children,
21 it was about coming to some sort of acceptance of what
22 the proper solution for children should be. And for me
23 to start pointing fingers and saying, "But you should
24 have told us" I think would probably have been
25 counterproductive.

139

1 have got in Craigavon or the Ulster, any other hospital.

2 I appreciate that that there says in other
3 hospitals, it doesn't say in all other hospitals. But
4 I understand that the context -- you could take out of
5 that that everywhere was doing exactly the same, but
6 I knew that the Royal was slightly different.

7 I don't think it would have contributed to helping
8 Mrs Ferguson at the time, and also, it was not proved to
9 me that that was the case. That was something that
10 Dr Chisakuta had told me and it was something that I was
11 incorporating into my teaching on it, but I had no
12 concrete evidence --

13 Q. But you'd had corroboration from Dr Anand, is what you
14 tell us.

15 A. Dr Anand told me that the Royal had stopped using it.
16 I have not ever tried to actually get to the root of
17 that and prove it.

18 Q. Tell me this, did you attempt to find out if that was
19 so? When you went along to the working group and there
20 was Dr Taylor, did you not say to him "Well, did you or
21 didn't you stop using Solution No. 18?" Surely by
22 3 September you'd have known?

23 A. I can't recall and it would seem amazing if I didn't
24 because I was very caught up with the fact that Raychel
25 had died and I remember at that meeting --

138

1 THE CHAIRMAN: We'll come back to that later. I think you
2 want to deal with 3 September first, Mr Stewart.

3 MR STEWART: Well, moving on here, thank you, sir, the
4 standards of care, this is what you tell the inquiry.
5 You told them:

6 "The standards of care were the same as in other
7 units treating children."

8 Well, the critical incident review looked at the
9 standards of care and found some of them to be wanting.
10 So unless care is wanting in all the units treating
11 children in Northern Ireland, and we don't know that
12 isn't so, this statement appears to be untrue.

13 A. It's my opinion that the care and treatment that Raychel
14 got in Altnagelvin Hospital would have been the same or
15 very similar to another hospital. For example, the
16 problem that we discussed about with recording vomiting
17 is the same in all hospitals, and I've always seen that
18 two plus, three plus system being used.

19 The fact that the policy of who prescribes the fluid
20 was unclear would be the same in other hospitals as well
21 because in all the hospitals I worked in, I've never
22 seen a clear policy about who would prescribe the fluid.

23 Q. But other hospitals might check the U&Es, other
24 hospitals might make fluid balance chart records, other
25 hospitals might not administer excess quantities of

140

1 fluids, other hospitals might have proper protocols for
2 ensuring there was supervision of patients. Other
3 hospitals might have nurses who would have got hold of
4 surgeons when needed on the paediatric ward. There was
5 a raft of deficiencies identified at the review and you
6 think that the standard of care was adequate?
7 Liability's now been admitted in this case.
8 A. Well, at that time I did think the care was as good as
9 you'll see anywhere. I had a lot of respect for the
10 nurses on the ward. I dealt with them on a weekly
11 basis, certainly, and was very familiar with their care
12 and attention they would give. And the view that I had
13 got from the nurses was that the vomiting, although
14 prolonged, was not severe.
15 So I was working, if you like, on good faith because
16 that's clearly what they told me. I knew that the
17 problems with, as I said, recording plus systems are
18 notoriously difficult everywhere, I knew that
19 prescription of fluids is -- it's just common sense
20 where the anaesthetist prescribes fluid in theatre and
21 it continues on in the ward. But the anaesthetist isn't
22 there and the surgeon takes over.
23 Q. How useful is a review that takes on good faith what
24 it is told?
25 A. Well, we asked the nurses. I mean, I don't know how you

141

1 retrospect that would have been a better way of doing
2 it.
3 What we went into the room initially thinking was,
4 we were going to discuss to help Mrs Ferguson with
5 questions that she might have.
6 And I have dealt with -- I mean, Dr McCord touched
7 on this in his evidence. I've dealt with this type of
8 thing before where you meet with distraught parents and
9 you comfort them, you support them, and you help with
10 questions that they have. The meeting did not evolve
11 that way. So as the meeting progressed, the answers
12 that I gave, I believe, addressed many of the issues
13 that came out of the clinical incident meeting. But we
14 did not address each action point in order, I fully
15 accept that.
16 THE CHAIRMAN: Sorry, you can't say on the one hand that you
17 were there to answer the questions that they asked and
18 then refer to the way in which questions were asked as
19 "the meeting started in that vein and very quickly
20 changed to an agenda where questions were being fired at
21 us". A question's being fired at us is, I'm afraid,
22 a rather inappropriate term to use for the Ferguson
23 family coming to that meeting and asking questions.
24 As I understand it, these questions were asked after
25 they had effectively been told that the treatment which

143

1 would come to anything other than say, well, I believe
2 what you're saying.
3 Q. Tell me this, did you tell Mrs Ferguson at that meeting
4 that in fact you'd had a review and that you were
5 putting in train changes? Did you tell her that?
6 A. Not specifically.
7 Q. Why not?
8 A. Because --
9 Q. Useful information?
10 A. Yes, that is useful. And if we had known the way the
11 meeting was going to go now, we could have played it
12 differently.
13 Mrs Burnside, when she organised the meeting, said,
14 "Look, those who want to come along and speak to the
15 family are going to come along and we want to be gentle,
16 we want to be sympathetic, we want to answer questions
17 they might have". So the meeting started in that vein
18 and very quickly changed to an agenda where questions
19 were being fired at us.
20 And in retrospect, you could have gone into the
21 meeting and said, "Look, this is what's happened,
22 we have had a clinical incident meeting and here's the
23 action points from it", and we'd have delivered that to
24 Mrs Ferguson and the family members that were there.
25 That would have been one way of doing that, and in

142

1 Raychel received was the same treatment as she would
2 have received in any other hospital. So they were being
3 told there's nothing wrong with what Altnagelvin -- and
4 they were being told in terms: there's nothing wrong
5 with the way that Raychel was treated in Altnagelvin.
6 A. It was -- the comment was wrong. I mean, it's wrong to
7 say it like that. It just meant -- it meant that the
8 meeting --
9 THE CHAIRMAN: But that's --
10 A. The way the meeting went was not the way I envisaged
11 it would unfold.
12 THE CHAIRMAN: Yes, but maybe the Fergusons didn't envisage
13 that the meeting would unfold by them being told that
14 their daughter had received the same type and standard
15 of treatment that she would have received anywhere else.
16 A. Yes, that was said, but also what was said was "Look,
17 what happened here is a tragedy" -- I mean, the
18 meeting -- we said it was a tragedy and we said that
19 what had happened was --
20 THE CHAIRMAN: And I think they acknowledge that. They
21 acknowledge there was a degree of sympathy, they
22 acknowledge that there was a degree of sympathy and the
23 tragedy was addressed. But the vein in which the
24 meeting then continued was the defensiveness, which is
25 how I would describe it, of the people in Altnagelvin

144

1 telling them how Raychel was treated, not telling
2 them even in general terms -- I'm not sure and
3 Mrs Ferguson and her sister and family were then
4 expecting to have precise details and technical terms
5 used, but if even somebody had said to them, "We've
6 learnt some lessons from this and we are improving our
7 procedures in an effort to make sure this doesn't happen
8 again", but of course, it's difficult to say that when
9 you're simultaneously telling them that she received the
10 same level and standard of care as she'd have got
11 anywhere else.
12 A. But I said that to them. I did say, "Look, we have
13 learned lessons from this. I have changed practices.
14 I have introduced changes in the fluids. I have
15 introduced -- I will be introducing teaching to my
16 colleagues and this will go much further than this.
17 This will be something that will go across
18 Northern Ireland and the UK", and at that meeting I gave
19 Mrs Ferguson a commitment that I would do everything
20 that I could to make sure that that change was effected
21 and that there was learning from it. So I've a very
22 clear memory of that part of the meeting.
23 MR STEWART: Can I refer to 022-084-223, because sadly the
24 minute of the meeting doesn't really accord with your
25 recollection.

145

1 read out there, "Dr Nesbitt said we all feel the same,
2 it was my child", and so on:
3 "He said the fluids used are the standards across
4 the country, we may have to change these if children are
5 getting too much sodium."
6 That doesn't make sense because there was much more
7 said there. So I've said that it doesn't encompass
8 everything that was said.
9 What is said is a better minute than I have of the
10 meeting. I only have my recollection of the meeting,
11 I have no minutes. So I am very grateful for what
12 we have here, but that sentence does not explain exactly
13 what I was saying.
14 What I was saying was, we are changing fluids, for
15 example we're using normal saline, but normal saline may
16 have too much sodium in it so we may have to change that
17 again. In fact, that is exactly what happened. So we
18 went to half strength saline, then we went to full
19 strength saline, then we went to Hartmann's solution
20 with 3 per cent.
21 Mrs Ferguson couldn't have been told that at that
22 time, but I was saying, "Look, we may have to change our
23 fluids", and that's exactly what we did. And in fact,
24 the fluid that we have now arrived at is one that is
25 a unique fluid, it has been manufactured for us and it's

147

1 Down the bottom it says:
2 "Dr Nesbitt said we all feel the same. If it was my
3 child ... [he said] the fluids used are the standard
4 across the country. We may have to change these if
5 children are getting too much sodium. There has to be
6 a middle ground. Nothing we were doing was unusual."
7 A. Can I -- without wishing to make too much of this, can
8 I make a comment, chair? And that is that this is not
9 a minute of the meeting in that at this tribunal we have
10 a transcript, which is a verbatim account, syllable by
11 syllable, every "um" and "ah" is recorded, and I wish
12 that's what we had for this meeting because --
13 THE CHAIRMAN: I am sorry, doctor, I don't need that because
14 when this document was raised last February when the
15 clinical hearings started, we asked if this account
16 was -- if this record of the meeting prepared by
17 somebody involved by the trust was accepted as accurate.
18 And this record, of course, had gone back to
19 Mrs Burnside very soon afterwards by the person who took
20 the minute, Anne Doherty. And the information we were
21 given is, yes, it is an accurate minute, save that it
22 didn't quite capture the expressions of sympathy which
23 were given at the start.
24 A. It's my recollection, yes, that that is true, I fully
25 agree with that, but that particular sentence that you

146

1 Hartmann's solution with 3 per cent glucose.
2 THE CHAIRMAN: Thank you.
3 MR STEWART: Given what you knew about some of the
4 shortcomings of the care and treatment given to Raychel
5 as identified at a review, do you believe that the
6 reasons for Raychel's death and the circumstances of her
7 death were properly explained to Mrs Ferguson on that
8 day?
9 A. One of the omissions from this is a part that I remember
10 extremely well from the meeting, and that is where
11 I explained what I thought to be the cause of death.
12 And I said to Mrs Ferguson that I was sure it was the
13 low sodium, that part is recorded, and that it was --
14 I don't think we used the term "hyponatraemia", but
15 certainly I said it was the low sodium.
16 I then went on to explain how that actually causes
17 the problem, and there was cellular swelling, that you
18 would get that across the body, that it doesn't matter
19 elsewhere but in the brain, in the skull it does matter,
20 and I remember discussing that.
21 The reason I remember it is because I was going out
22 on a limb because we had not got the coroner's
23 post-mortem results. I said to Mrs Ferguson "Look, we
24 do not have the coroner's results, but I can tell you
25 categorically that I accept it's the low sodium and

148

1 here's the mechanism of it". So I am content that
2 I explained to the very best of my ability how Raychel
3 had died. I also -- sorry.
4 Q. Do you believe that Mr Gilliland should have been there?
5 A. I think Mr Gilliland should have been there. And I was
6 a little surprised that he wasn't. I went into the
7 meeting not knowing who else would be there, and I was
8 asked questions about the surgery, which was -- I wasn't
9 anticipating because I thought it wasn't about why she
10 had the surgery, I thought that was a given. So I had
11 to answer questions about surgery, which was fine
12 because I have some knowledge about that. But
13 Mr Gilliland would have been better placed to explain
14 that than I would.
15 Q. Yes, she was after all his patient.
16 A. That's correct and, I mean, if you're asking me should
17 he have been there, yes, I believe that he should.
18 Mr Gilliland has given his reasons why he felt he
19 shouldn't.
20 Q. Yes. That was 3 September. You had received from
21 Mrs Burnside over two weeks before her request that put
22 together some teaching, and we looked at that letter
23 earlier.
24 How far had you got in the researches for your
25 PowerPoint presentation by 3 September?

149

1 no U&E requested.
2 Let's move on to 021-054-120. We find from the
3 bottom part of this that just about every surgical
4 patient is at risk of SIADH or ADH. That would include
5 Raychel.
6 And then let's go to 021-054-121. We see at the
7 bottom that:
8 "IV fluids changed to No. 18 Solution."
9 This was the default position.
10 And then going back to 021-054-129, we see at the
11 top reference to Halberthal. That's the lesson of the
12 week in the British Medical Journal, although it's here
13 referenced as BML.
14 And we can go and see that at 070-023b-217. We can
15 see there the lesson of the week. On the left-hand side
16 in the heavy emboldened type:
17 "Do not infuse a hypotonic solution if the plasma
18 sodium concentration is less than 138."
19 And, of course, Raychel's was less, it was 137.
20 So there we have a pretty complete view of some of
21 the deficiencies in Raychel's case that you emphasised
22 in your PowerPoint presentation, and you did give that,
23 as Mr Stitt reminded us yesterday afternoon, to the
24 hospital management team. In fact, you gave it to the
25 board, to the CMO, to the council, to nurses and

151

1 A. Well, my best guess was it was September. I wouldn't
2 have had it done by that time. It was suggested in the
3 opening that that would have been an opportunity for me
4 to share that with --
5 Q. I don't think that was quite suggested. It was
6 suggested it was a shame that it couldn't have happened,
7 which is perhaps a different thing.
8 A. I accept that it would have been a useful thing, and
9 I would also say that I would have been very happy --
10 "happy" is the wrong word. I would have been content to
11 give that presentation to the Ferguson family at a later
12 date, and in fact at the end of the meeting I did offer
13 to go through the notes with them to help them in
14 whatever way I could, and if they'd any more questions,
15 that they would come back to us.
16 And I thought the way the meeting was going was that
17 we were being seen as being helpful. In fact,
18 Mrs Ferguson's view is that we were being dishonest and
19 defensive, and I'm afraid I can't reconcile the two.
20 Q. Let's have a flick through your PowerPoint presentation.
21 We saw one page from it earlier on and that was
22 021-054-128. There we see in the bottom half the note
23 that Raychel received excessive maintenance fluids.
24 Let's go on quickly to 021-054-124. There we see
25 in the top a note that there were no notes and there was

150

1 doctors, but you gave it to the hospital management team
2 on 9 October 2001, and we can find that at 316-006j-001.
3 There we are. It's 9 October 2001, hospital
4 management meeting, and we can go to page 004, we find
5 specific reference to it:
6 "Dr Nesbitt informed next that he had been requested
7 by Mrs Burnside to give members a report on the
8 importance of fluid balance. He advised that he would
9 give a presentation on IV fluids and had separated the
10 presentation into three sections. Renal physiology made
11 easy, a case report of hyponatraemia [that's Raychel].
12 Recommendations."
13 And you go on to describe -- it gives a brief
14 rundown of what you set out in the presentation.
15 Now, that's all very straightforward and very clear.
16 But then we come to the statement you made for the
17 coroner on 14 November 2001. That we can find -- it's
18 the same statement that goes into your deposition, which
19 is at 012-037-173.
20 It's a short statement made after you presented your
21 PowerPoint presentation. Correct me if I'm wrong, but
22 there's nothing in this short statement about the
23 critical incident review, what you've done, or those
24 deficiencies that, the deficiencies which you
25 highlighted in your PowerPoint presentation, being

152

1 brought to the attention of the coroner. Is that
2 correct?
3 A. That is correct. That was a statement of my involvement
4 with Raychel's clinical care, it was my understanding as
5 to what the statement should include. So that was the
6 statement given to the coroner.
7 Q. Yes. You had identified as a matter of scientific fact
8 that there had been an excess of maintenance fluids
9 given, hadn't you? So why didn't, as a matter of fact,
10 that find expression in your statement to the coroner?
11 A. I think possibly because the matter of fact is
12 a technicality, as I've said in my statement.
13 Q. What about the matter of fact that you highlighted that
14 her U&Es, her sodium levels had not been checked? Why
15 didn't that find expression in your statement to the
16 coroner?
17 A. They hadn't been checked earlier than 3 o'clock and
18 I didn't say that, that is correct, I'm simply saying
19 what was my involvement with Raychel, and I said that
20 her sodium was very low and that she was -- and I did
21 then discuss with the coroner the issues of No. 18
22 Solution.
23 Q. Your involvement was also to take part in the critical
24 incident review. Your involvement was to discuss what
25 went wrong with your fellow clinicians.

153

1 THE CHAIRMAN: That statement is dated 12 November 2002.
2 Now, what was it that within the trust that prompted
3 that information being provided to the coroner in
4 November 2002, but not being included in the statement
5 which you made to the coroner much, much earlier?
6 A. I assume that Dr Fulton had been asked for his
7 involvement and, of course --
8 THE CHAIRMAN: But his involvement -- if you're going to
9 restrict your evidence to the coroner about Raychel's
10 death, then Dr Fulton wasn't involved in Raychel's
11 death; isn't that right? He didn't treat her.
12 A. I thought the question I was asked was my involvement
13 about her clinical care. I thought the question
14 Dr Fulton was asked was his involvement after that.
15 THE CHAIRMAN: Let me spell out to you my concern. In
16 Claire's case we had a doctor who volunteered in his
17 draft statement that he'd made a mistake and it was
18 suggested to him that he should remove that because
19 that's for the coroner to decide and not for him, and he
20 took that advice and removed that reference to
21 a mistake.
22 We're coming now into Raychel's case in which the
23 trust starts its position to the coroner by only giving
24 information about what actually happened and not
25 admitting mistakes, but at a much later stage it decides

155

1 A. Well, in my submission, I discussed that with the
2 coroner because we said that we were looking at No. 18
3 Solution, we had stopped its use in Altnagelvin, we had
4 instituted changes and so that came out with the
5 evidence. What you're pointing out is my statement
6 doesn't say, "And we had a clinical ..." But then
7 I wasn't being an expert opinion, I was simply saying
8 this is an synopsis of my involvement, and then I go to
9 the coroner's inquest and I remember doing that and
10 being asked questions by the coroner and others, and
11 answering those questions to the best of my ability.
12 Q. It's very all well presenting your PowerPoint
13 presentation to everyone who'll listen, but not if you
14 don't tell the coroner that information.
15 A. That I had prepared a PowerPoint presentation?
16 THE CHAIRMAN: No, sorry, please, that wasn't the question.
17 The question was about the contents of the PowerPoint.
18 If you're telling the coroner all that -- I mean, what
19 happens -- there's a very simple way of making this
20 point -- eventually the trust put a statement by
21 Dr Fulton before the coroner all about the critical
22 incident review, isn't that right, and all of the
23 actions which were taken on foot of the critical
24 incident review?
25 A. Yes.

154

1 on the change of tack by saying, "Well, maybe now
2 we will give the coroner information about mistakes
3 because it will show that at least we've learnt lessons
4 and we at least have faced up to what we did wrong".
5 So I'm not sure as between trusts and even within
6 Altnagelvin Trust what the view is about the information
7 which should be fed to a coroner. Because the coroner,
8 as you will have gleaned from his evidence, is now
9 concerned about the information he receives from trusts
10 in Northern Ireland.
11 A. All I can say is that I did not withhold anything from
12 the coroner. I was not instructed to withhold anything
13 from the coroner.
14 The statement that I gave was one that I wrote
15 myself. I got no advice on it, I just -- I assumed it
16 was my clinical involvement on the night of coming in,
17 taking her to the CT scan and so on, and then under
18 questioning I was very happy to answer any question that
19 I was asked, and I didn't withhold anything, there was
20 no ulterior motive, and I can say that absolutely with
21 assurance.
22 THE CHAIRMAN: I'm concerned, doctor, about the
23 inconsistency with which trusts -- on the evidence of
24 this inquiry the inconsistency with the trust's approach
25 to the coroner.

156

1 A. I think ...
2 MR STITT: Mr Chairman, might I just engage with you on that
3 point? The point you make is clear and you seem to be
4 comparing and contrasting the November 2001 statement
5 from Dr Nesbitt with the statement the following year
6 from Dr Fulton.
7 THE CHAIRMAN: Yes.
8 MR STITT: It's only fair to say that, as you've already
9 pointed out, Dr Fulton did not have any responsibility
10 for or direct contact with Raychel or her family when
11 she was a patient. That's obvious. But clearly, when
12 he was asked to make a statement and he made
13 a statement, all he could deal with was the critical
14 incident review, which he set up. And that was his
15 remit, that's what his statement was about. And I think
16 it's perhaps a little unfair to suggest to this witness,
17 who has made a categoric statement about his involvement
18 with the treatment with Raychel from the early hours of
19 the morning until his last involvement with her, to
20 imply from that that he is somehow holding something
21 back. It just goes against the flow of, in my
22 respectful submission, the witness's evidence thus far.
23 THE CHAIRMAN: Thank you.
24 MR STEWART: Your evidence was a moment ago, Dr Nesbitt,
25 that you did not withhold anything from the coroner.

157

1 Let's go back. What's the purpose of an inquest?
2 It's to investigate how somebody has died, and if
3 necessary for the coroner to make recommendations to try
4 to avoid repetitions in the future; is that right?
5 A. I agree with that, and I said to the coroner that there
6 was a problem with No. 18 Solution that we had
7 researched that -- I mean, it's in the deposition -- and
8 I said that we had stopped its use.
9 Other hospitals were also using it. They did not
10 realise the risk with it. We had put systems in place.
11 We had new fluid policies. Those are all things that
12 I volunteered to the coroner.
13 If you're asking should I have said more to the
14 coroner, if I'd been asked it, I would have.
15 MR STEWART: Now, at the time you made that statement,
16 you were already part of the Chief Medical Officer's
17 working group on hyponatraemia. Can we go to
18 007-048-094.
19 26 September 2001. This is three weeks after you
20 met with Mrs Ferguson, and there you are in Castle
21 Buildings with a group of distinguished clinicians to
22 discuss hyponatraemia and listen to Dr Taylor making his
23 presentation.
24 We see who was present at the top. Dr Darragh is
25 the CMO's deputy, I think. There's Dr Bob Taylor.

159

1 Did you not consider your duty in 2001 to proffer
2 information to the coroner?
3 A. Perhaps today I would be more outspoken. When I went to
4 that coroner's inquest, it was a -- an experience.
5 Q. I suggest when you made your statement in November 2001
6 you should have been more outspoken in your statement.
7 Can we go, please, to the General Medical Council's
8 Good Medical Practice guidance for doctors at
9 314-014-002. That's the cover, I'm sure you recognise
10 it. It was freshly delivered to you in 2001.
11 Can we go to 314-014-014 where at paragraph 32 the
12 obligation is imposed to you by duty.
13 Paragraph 32:
14 "You must assist the coroner by responding to
15 inquiries and by offering all relevant information to an
16 inquest or inquiry into a patient's death."
17 That was your obligation as a doctor then. Do you
18 think you fulfilled it?
19 A. When I was in the coroner's inquest I was content to
20 answer any question that he asked me and did so, and he
21 asked me --
22 THE CHAIRMAN: But people knew to ask you about the critical
23 incident review and what was being done because that
24 information had eventually come to the coroner through
25 Dr Fulton's statement.

158

1 Dr Lowry from Craigavon. Was he an anaesthetist? What
2 was his --
3 A. Yeah. There seemed to be some confusion there. That's
4 obviously Darryl Lowry, who is an anaesthetist, but
5 I have seen in transcripts someone talking about,
6 I can't remember, is it Dennis Lowry, another name, who
7 was an obstetrician. And I can see no reason why an
8 obstetrician should be there so I think there's an error
9 in the mention of his name. David Lowry is mentioned and
10 it has to be Darryl Lowry because he worked in Craigavon
11 and in fact he was one of the anaesthetists
12 I telephoned.
13 Q. Yes, that's right. And was he having his doubts about
14 Solution No. 18 in June 2001 as well?
15 A. He was, because he told me, when I phoned him, that that
16 was precisely the situation in Craigavon in that in
17 theatre they were using Hartmann's as we were, but
18 in the ward it was reverting to No. 18 Solution because
19 that was the solution of choice in their ward, and
20 he was trying to effect a change there.
21 Q. Why was he trying to effect that change at that time?
22 A. I think because he -- I don't know. You would need to
23 ask him. I didn't ask him particularly, he just said to
24 me "Gosh, we're trying to change, it's very difficult,
25 isn't it?" That's the way that discussion went.

160

1 Q. And then we have yourself and Mr Marshall from the
2 Erne Hospital. What is Mr Marshall's specialty? Is he
3 a surgeon?
4 A. I think it's Glen Marshall. I think he's a surgeon.
5 Q. Yes. So he might have known about Lucy?
6 A. There are people there who might have known about Lucy,
7 this is the point, and I -- Lucy was not mentioned at
8 that meeting. I know Raychel Ferguson was mentioned
9 at the meeting because I kept on and on and on about it.
10 It's not in the minutes but it's within the bit where
11 there was a discussion. I remember it clearly.
12 Q. Now, the working group, I don't know how often it met,
13 but it certainly e-mailed -- there was e-mail flowing
14 between members of the working group, wasn't there?
15 A. Yes.
16 Q. How often did it actually meet as a group?
17 A. I believe I only attended the opening meeting and
18 thereafter there was a small working group planned, and
19 I was not part of that working group.
20 Q. And then we have got Dr Clodagh Loughrey, I assume, who
21 is the chemical pathologist who gave a report in this
22 case?
23 A. That's correct.
24 Q. Who is Ms McElkerney?
25 A. She may be -- I don't know, I'm making it up, she might

161

1 "Dr Taylor informed the meeting about the
2 background, instance of cases seen in RBHSC ..."
3 What did he tell you, what did he tell that meeting
4 about cases seen in the Royal Belfast Hospital for Sick
5 Children?
6 A. I don't recall. I know that he's talking about the
7 slides that I incorporated, one of which was the bar
8 graph. I don't recall any discussion other than what is
9 written there about Adam Strain, for example. In fact,
10 the only -- if my recollection is right, the only child
11 that was mentioned was Raychel Ferguson, and it wasn't
12 part of the agenda, it was to talk about fluids. But
13 I kept bringing it up because it was a raw thing in my
14 mind. I really had to emphasise to everybody why it was
15 so important, in my view, that we made the changes that
16 I wanted.
17 Q. But why wasn't this committee discussing the deaths in
18 Northern Ireland that it knew about collectively?
19 A. I don't know. I was asked to join the working group
20 on -- at the behest of Paul Darragh, and Raymond Fulton
21 had encouraged that through the Chief Medical Officer
22 that I should be part of that working group.
23 Q. I didn't ask why you were part of the working group --
24 A. I wasn't given a remit.
25 Q. -- I asked why was the working group not discussing

163

1 be a pharmacist from the Ulster. I don't know her
2 personally.
3 Q. Then we have Dr Crean.
4 THE CHAIRMAN: I don't think you're making it up, doctor,
5 I think you are guessing. Making it up is something
6 different.
7 A. I'm guessing. She is not an anaesthetist that I know
8 of, and she's not the anaesthetist that I telephoned
9 when I spoke to someone in the Ulster. So I'm assuming
10 there were pharmacists, there were chemical
11 pathologists, so that was a bit of careful deduction
12 there. I made it up slightly.
13 MR STEWART: Then we've got Dr Crean, who, as we know, knew
14 about Adam's case, Lucy's case, and Raychel's case.
15 Then we've got apology from Dr Jenkins, who we know
16 knew during the course of the working group's
17 deliberations not only about Raychel but also about
18 Lucy, and we know from e-mails that during the course of
19 the working group Dr McCarthy and Dr Loughrey knew about
20 Adam Strain's case.
21 So at this group in this room there are people who
22 have got a -- they've got the threads that can be drawn
23 together.
24 And you're there to discuss hyponatraemia.
25 Paragraph 2:

162

1 these deaths.
2 A. I discussed Raychel Ferguson's death and can testify to
3 that.
4 Q. I know that, I'm asking you a different question. Why
5 was the group not discussing the deaths?
6 A. I didn't organise the group.
7 THE CHAIRMAN: Okay. Can I ask you, when the minute says
8 that Dr Taylor informed the meeting about the incidence
9 of cases seen in the RBHSC, what cases which had been
10 seen in the RBHSC did Dr Taylor inform the meeting
11 about?
12 A. He's talking about how many cases of hyponatraemia there
13 are per year and the bar graph indicates that. There's
14 a couple of years where there are no incidences of
15 hyponatraemia, some years there's six cases, some years
16 there's seven. So he's saying, "Look, there is an
17 incidence of hyponatraemia, how do we address that?"
18 MR STEWART: Did he tell you --
19 MR UBEROI: Might I just add for completeness here, if
20 we can be clear about what the witness actually
21 recollects or why he might be understandably supposing.
22 I don't wish to muddy the waters further, but it's
23 Dr Taylor's recollection that his bar chart and his
24 slides weren't actually used at this meeting and weren't
25 taken forward after the e-mail which he sends to

164

1 Paul Darragh on the morning of this e-mail, which
2 describes them as a draft.
3 THE CHAIRMAN: Thank you.
4 MR STEWART: Right, and indeed that is what Dr Taylor has
5 maintained throughout, that he didn't go through with
6 his presentation. So what did he tell the meeting?
7 MR UBEROI: I'm sorry, it's a different point. He didn't
8 use the PowerPoint slides which we've been discussing.
9 He obviously engaged in a discussion as is minuted here.
10 MR STEWART: That's my point, that's my question, what did
11 he tell you?
12 A. I can't recall.
13 Q. What you said a moment ago was that there were a couple
14 of years when there were no cases of hyponatraemia.
15 A. That is my recollection from memory of the bar graph.
16 I believe that 1994 and 95 there's no incidence.
17 Q. 95/96.
18 A. Right.
19 Q. How do you feel now knowing that those were two years
20 that contained deaths and that Dr Taylor knew about
21 those deaths?
22 MR UBEROI: That's not right. That's not right. The
23 Claire Roberts death was 1996. The inquiry's taken
24 a great deal of evidence about the complexity of the
25 aftermath of that case, and it's certainly not clear

165

1 "Dr Taylor undertook to inform CSM [that's the
2 committee of safety of medicines, I think] ..."
3 A. Yes, that's correct.
4 Q. "... of a recent death in Altnagelvin [that's Raychel]
5 associated with hyponatraemia."
6 Of course, he did do that and he subsequently sent
7 that correspondence to you, didn't he?
8 A. Yes, that's correct. He informed them of the risks of
9 No. 18 Solution and they felt that the evidence was not
10 sufficient to withdraw No. 18 Solution and suggested
11 that all fluids carried a risk.
12 Q. We'll just go to part of that correspondence, which he
13 has, which is at 012-071e-412. This is his letter to
14 Medical Controls Agency of 23 October.
15 Can I take you down to the last three lines where he
16 informs them:
17 "I am also conducting an audit of all infants and
18 children admitted to the PICU with hyponatraemia. My
19 initial results indicate at least two other deaths
20 [that is other than Raychel] attributable to the use of
21 Solution No. 18."
22 When you saw that, what did you think?
23 A. I didn't think anything particularly. I didn't go to my
24 bar graph and try and reconcile it. It was clear to me
25 that the bar graph was wrong because 1997 was always

167

1 that Dr Taylor knew about it.
2 MR STEWART: Sorry, about which case?
3 THE CHAIRMAN: Claire Roberts.
4 MR STEWART: He examined Claire in PICU.
5 MR UBEROI: Yes, and as you well know, he examined her for
6 a specific purpose at a specific stage in her life and
7 that is very different from the suggestion that he
8 recognised that hyponatraemia had caused her death.
9 MR STEWART: And he also chaired, if I'm correct in my
10 recollection, the clinical audit committee.
11 MR UBEROI: Well, this is what I mean about the complexity
12 of the evidence and it being rather simplistically
13 summarised by my learned friend. There's a great deal
14 of evidence on that as to whether or not it actually
15 took place, for a start.
16 MR STEWART: And he's been researching the incidence of
17 hyponatraemia at the RBHSC and had access both to the
18 PICU internal audit and to the clinical coding system.
19 THE CHAIRMAN: I think the point is that if the witness
20 doesn't recall what -- if Dr Nesbitt doesn't recall the
21 detail of what Dr Taylor said, we'll have to refer to
22 Dr Taylor on that.
23 MR UBEROI: Thank you sir.
24 MR STEWART: The meeting continues, and at page 096, at
25 007-048-096, at point 10, it's noted:

166

1 wrong. It should have been 1995 if it was Adam Strain.
2 And that appears as a no incidence on the bar graph.
3 So the inquiry have asked me, did I try and
4 reconcile the instances of the hyponatraemia that you're
5 talking about with the bar graph, and I have tried to do
6 that and cannot do so. But when I gave the
7 presentation, when I learned of Lucy Crawford -- the
8 presentation is just an aid to telling people -- the
9 presentation is what I tell them, and when it comes to
10 the bar graph I always point out that we know that
11 Lucy Crawford died in the year that she died and doesn't
12 appear. So I have drawn attention to the fact that the
13 bar graph is wrong. It may be wrong of me to have used
14 the bar graph if Bob Taylor said it was only a draft and
15 he then didn't use it, but I didn't know that.
16 Q. You are serving on the Chief Medical Officer's working
17 group looking into drafting guidelines for the
18 prevention of hyponatraemia in children in
19 Northern Ireland. You are with a group of fellow
20 experts. You tell us that you haven't pursued with them
21 the fact that the Royal Belfast Hospital for Sick
22 Children discontinued its use of Solution No. 18 and
23 didn't tell you.
24 Are you now saying that you didn't pursue with
25 Dr Taylor by e-mail or otherwise this extraordinary

168

1 piece of information that there were three deaths then?
2 A. I don't recollect doing that.
3 THE CHAIRMAN: Can we agree with this, can we agree that
4 that last sentence in all probability does not refer to
5 two other deaths outside Northern Ireland, it refers to
6 two other deaths inside Northern Ireland?
7 A. He's talking about children admitted to PICU, would be
8 my interpretation of it.
9 THE CHAIRMAN: Right. But he doesn't just say two other
10 deaths, he says at least two other deaths attributable
11 to Solution No. 18. So he seems to be saying: this was
12 work that was ongoing, but I can tell you that apart
13 from the girl, known as RF in this letter, who is
14 Raychel, there are on his initial results at least two
15 other deaths attributable to the use of Solution No. 18?
16 A. And one of those would be Adam Strain, and would the
17 other be Lucy Crawford? I'm only proposing that.
18 THE CHAIRMAN: You see, if that's what was being
19 investigated, if that was what was being analysed and
20 revealed, somebody forgot to tell Mr and Mrs Crawford.
21 A. I was unaware of Lucy Crawford, as I've said. I didn't
22 follow up on that. That may be remiss of me to have
23 done that.
24 THE CHAIRMAN: And I haven't forgotten Mr and Mrs Roberts.
25 MR STEWART: Did Dr Jenkins contribute anything to the

169

1 his questioning is drafted by you, and it's 023-046-108.
2 This, I think, is a first draft. 22 September 2004:
3 "The meeting to which Trevor Birney was, as agreed
4 by him, off the record. I am not aware of the death of
5 a child named Adam Strain."
6 Are you taking a very technical point there, that
7 you were aware of a death of a child but not one who
8 happened to be named Adam Strain?
9 A. Yes, he asked me when did I become aware of the death of
10 Adam Strain. I said I'd never heard of Adam Strain but
11 I did know that -- I think I say it there -- I was
12 informed there had been a death in the
13 Children's Hospital in 1997. No name was ever mentioned
14 that I can recall.
15 So when he was asking me, "Did I know of
16 Adam Strain?" I said "Not by name but I do know that it
17 was 1997". Of course, we now know that it wasn't 1997,
18 but acting on the information I had that was what I was
19 saying, and I was very clear. The reason it looks
20 a little -- that looks odd, but the reason it's laid out
21 like that is because Trevor Birney asked questions in
22 sort of bullet form, and so I'm actually answering each
23 one. So it doesn't actually follow. He then asked
24 "When did you know about Lucy Crawford?" So I'm simply
25 saying I was not aware --

171

1 working group about his knowledge of Lucy?
2 A. He may have done because he attended the smaller working
3 group, I believe. He was not at the meeting that I was
4 at. So in the meeting where I was on that day, he was
5 unable to contribute and he sent his apologies.
6 Q. Who served on the smaller working group and how was it
7 chosen?
8 A. I can't recall. It's -- I saw it in the papers, so it
9 should be on the papers related to the -- perhaps on an
10 e-mail or something. I've seen it. I haven't got it to
11 hand.
12 THE CHAIRMAN: Just from your own perspective, do you know
13 why you weren't on the smaller working group?
14 A. No. I don't think it was because I caused a row at the
15 meeting. I think it was -- they wanted a smaller group.
16 Bob Taylor was already researching it and I was happy
17 that -- I mean, I knew Bob Taylor very well and respect
18 him greatly, and I believe he's doing a lot of good work
19 in paediatrics, and so I was happy that he would take on
20 that role and I was happy that he would represent the
21 Altnagelvin case. I knew I wasn't going to be on the
22 working group. I don't know the reason for it.
23 THE CHAIRMAN: Okay.
24 MR STEWART: Later on, you were taxed about this very issue
25 by Mr Trevor Birney in September 2004, and a response to

170

1 Q. Why didn't you say "As a matter of fact in 2001
2 I received a copy of Dr Taylor's e-mail where he
3 identified at least two other deaths apart from
4 Raychel"? Why didn't you mention that?
5 A. Because he asked me specifically -- he asked me "When
6 did you know about Adam Strain?" And the answer is
7 "I never knew the name Adam Strain".
8 "When did you know about Lucy Crawford?" And I said
9 "I was not aware of the death of Lucy Crawford until it
10 was reported in the media".
11 And then he asked me "What other cases were
12 discussed" -- as you're asking me, "What other cases
13 were discussed at the working group meeting?" And I'm
14 clearly saying, "As far as I am aware, the working group
15 only considered the case of Raychel Ferguson".
16 And the only reason it was considered was because
17 I brought it up. I don't say that there, I'm repeating
18 myself slightly, but that's why I know that to be the
19 case.
20 Q. And your response was forwarded to the communications
21 department for its approval before release.
22 If we go to 023-047-109, we can see a trail of
23 e-mails leading up from the bottom to the top, going
24 between Altnagelvin and -- we can just see all of them.
25 Up to the top.

172

1 And, finally, the answer comes down from
2 Colm Shannon, who is, I think, communications officer at
3 the Department.

4 He thinks that the final paragraph might be changed:
5 "We would suggest the following amendment to the
6 last line. The Chief Medical Officer's working group
7 was established to prepare guidance on the prevention of
8 hyponatraemia and not to consider the case of any
9 specific child."

10 Now, we go back to -- can we put it side by side,
11 023-046-108? You see your last line there:

12 "As far as I am aware, the working group only
13 considered the case of Raychel Ferguson."

14 He suggests that be changed to:

15 "The Chief Medical Officers working group was
16 established to prepare guidance on the prevention ...
17 not to consider the case of any specific child."

18 And you took that advice and changed, didn't you?

19 A. I took the advice? I don't recall --

20 Q. Here we are, 023-049-115. And we find the final
21 paragraph there takes up Mr Colm Shannon's advice and
22 you now respond 27 September 2004:

23 "The CMO's working group was established to prepare
24 guidance ... And not to consider the case of any
25 specific child."

173

1 discussed is Raychel, then how does the working party
2 know that the guidelines which it has drawn up will
3 actually cover the deaths which have occurred in
4 Northern Ireland?

5 A. Well, when they produced the guidelines, there was a lot
6 of e-mail correspondence back and forward. And I was
7 unhappy about the guidelines and I never really signed
8 up to them because I felt that they had not addressed
9 the issue that I was concerned about with Raychel, that
10 it was No. 18 Solution.

11 It was very clear that that was implicated. And
12 a little bit like what Bob Taylor was saying with the
13 Medicines Control Agency, the feeling was there was no
14 evidence to show that that was the case.

15 The evidence for me was that we had a child who died
16 and I don't think you can have anything worse. So with
17 the reading that I had and the information that I had
18 about No. 18, I was extremely agitated that No. 18
19 Solution should be named and shamed.

20 Of course, if I was a manufacturer I'd be upset to
21 hear that, but in itself it's not poison, No. 18.

22 THE CHAIRMAN: No.

23 A. But if it's used incorrectly, it can be dangerous, and
24 I think the best thing to do is what we did in
25 Altnagelvin, or I did in Altnagelvin, and that is remove

175

1 That was an answer you attempted to give earlier
2 today to a question I asked you, and it's in fact
3 a response that you recycle more or less in one of the
4 witness statements.

5 To what extent do you normally rely upon
6 a press department to draft your responses?

7 A. Well, we very often use the press department to draft
8 a response because they're usually a little bit more
9 careful with words than I am, and I would take their
10 advice. I'm quite happy to tell Trevor Birney that the
11 only case discussed was Raychel Ferguson, but it is true
12 that that was not the agenda, that was not the reason
13 for the meeting. So actually, that press release is
14 correct, the reason that the working group was formed
15 was to look at guidance on prevention of hyponatraemia,
16 not to look at specific children.

17 THE CHAIRMAN: Yes. What strikes me at the moment as being
18 a little strange about that is if you're going to draw
19 up guidelines as a result of deaths, the people who are
20 drawing up the guidelines need to know something about
21 the circumstances in which each child dies to ensure
22 that the guidelines will cover the circumstances of
23 those deaths. And if there's no discussion about Adam,
24 if there's no discussion about Claire and there's no
25 discussion about Lucy, and the only child who's

174

1 it.

2 THE CHAIRMAN: Which is exactly why, when the working party
3 is drawing up the guidelines, it should be considering
4 what has happened in the instances of these deaths to
5 ensure that its guidelines will actually capture the
6 problem and solve it.

7 A. Yes.

8 THE CHAIRMAN: But you can't do that if the people around
9 the table are not talking about the deaths or the
10 circumstances in which the children died.

11 A. If you're asking me should they have discussed those
12 deaths, then I think, yes, they should, because I was
13 very happy to be -- I mean, I really emphasised
14 Raychel Ferguson, and if somebody had said, "Well,
15 that's exactly the same as Lucy Crawford" -- I have to
16 get my dates right here, but if they knew about other
17 deaths, then they should have said so. I would not
18 object to that and it would have added weight, I think,
19 to --

20 THE CHAIRMAN: Because you might need to know how broadly to
21 draw the guidelines or how far they extend, because the
22 circumstances of each of the deaths with which the
23 inquiry is concerned aren't identical, there are
24 differences between them, and if you want the guidelines
25 to solve the problem, then you need to make sure that

176

1 the guidelines know what the problem is.
2 A. It has to be a catch-all.
3 THE CHAIRMAN: Exactly.
4 A. I think that -- you know, to be fair to the working
5 group and the department, the amount of work that went
6 into this was extraordinary, they really did a lot of
7 work, and I understand that --
8 THE CHAIRMAN: I understand that, doctor. Let me repeat
9 again, I have no difficulty with admin. People who know
10 far more about it, people like Dr Sumner, and virtually
11 everybody else says the eventual guidelines were very
12 good. I'm more than happy to take that and to
13 acknowledge that is -- if there's anything to be
14 salvaged from these disasters it's the fact that the
15 guidelines were drawn up and introduced.
16 A. I'm actually being critical of myself because what
17 happened was they did all this work, tremendous work,
18 they produced the guidelines, but I was completely
19 unhappy with the guidelines, and it was because at the
20 meeting that I was at, we had arranged that No. 18
21 Solution would at least be mentioned as a potential
22 risk, and that was one of the items on the learning
23 list, if you like, on the document that we were going to
24 produce.
25 But when I got e-mails from Miriam McCarthy

177

1 A. Yes. I accept that if you follow the guidelines to the
2 letter, you'll not go wrong. But by not naming No. 18
3 Solution, there's a chance that someone will use it.
4 That's why we deviated from -- we observed the
5 guidelines, but when it came to No. 18 Solution we
6 developed our own policy that you could not use it, you
7 cannot use it in Altnagelvin, and the reason you cannot
8 use it is it does not exist anymore. So we removed it
9 from the pharmacy. It took until about 2006 before that
10 happened, but that was a rather draconian way of doing
11 it, but it certainly worked.
12 But I fully appreciate that there's more to it than
13 that, there's more to it than No. 18 Solution, it's to
14 do with electrolyte checks, it's to do with all the
15 things that we know.
16 MR STEWART: Sir, might this be a convenient time?
17 THE CHAIRMAN: Yes. We're going to finish your evidence
18 this afternoon, Dr Nesbitt. We'll take a short break
19 now.
20 Thank you.
21 (3.38 pm)
22 (A short break)
23 (3.55 pm)
24 THE CHAIRMAN: Dr Nesbitt, if you can live with this, we'll
25 sit on and get you finished this afternoon. Mr Stewart

179

1 indicating that the reference to No. 18 Solution was
2 being removed because there was no evidence to implicate
3 it, there was a few more e-mail responses where I felt
4 that really the evidence that we had was a death, that
5 No. 18 Solution was very clearly implicated and that as
6 far as I was concerned -- now, I wasn't walking off in
7 a huff, but what I was saying was, as far as I was
8 concerned, No. 18 Solution would be high on the agenda
9 in Altnagelvin and would not be used, and we would make
10 sure that was the case. So we would develop our own
11 policy.
12 MR STEWART: In other words, you're using a death to
13 emphasise your point?
14 A. Yes, I concede that that is, of course, the ultimate
15 worst tragedy that can happen. So the death of
16 Raychel Ferguson is why I have undertaken all the work
17 that I have done on fluids, and if somebody else had
18 a death, they would have done the same, I'd have
19 thought.
20 THE CHAIRMAN: And your point is supported by the fact that
21 Dr Taylor is saying there were at least two other deaths
22 attributable to the use of Solution No. 18, so draft
23 guidelines which come out which don't deal with
24 Solution No. 18 don't seem to you to quite capture the
25 problem.

178

1 said it will be an hour, so we can see how accurate
2 he is.
3 MR STEWART: I said I hoped it would be an hour.
4 THE CHAIRMAN: I'll help him.
5 MR STEWART: Thank you, sir.
6 Time moves on, Dr Nesbitt, and by the time of the
7 inquest you're medical director at the trust and you
8 have a new job description, which appears at
9 321-004gh-005.
10 We find that amongst your principal
11 responsibilities, the penultimate paragraph on the page:
12 "To advise on medico-legal matters."
13 So were you the lead adviser to the board at board
14 meetings on medico-legal matters?
15 A. I have no legal qualification, but at what we would call
16 the scrutiny committee meeting where we would discuss
17 cases of litigation, I would be often -- I think I was
18 the chair of that and I would give medical opinion to
19 the lawyers present so I could assist in terminology and
20 that sort of thing. So I was no medico-legal expert, it
21 was more that from a legal perspective I gave the
22 medical input.
23 Q. And did you find yourself giving medical input on this
24 case at those scrutiny committee meetings?
25 A. I don't have a strong recollection of that, but I would

180

1 be surprised if from time to time that didn't come up
2 and I would be giving feedback and so on. I remember,
3 for example, things like liability and negligence being
4 talked about, that sort of thing, and the distinction
5 between the two and so on.

6 Q. In the lead-up to and the preparation for the inquest,
7 you were a key member of the group preparing for that,
8 weren't you?

9 A. I was, but my recollection of it is extremely poor.
10 Where I've tried to recall things for the tribunal or
11 the inquest, I have tried my very best to do that. In
12 fact, my statements go to 15,000 words, one of them. So
13 where I've tried to recall things, I have tried to do
14 that.

15 When it comes to this part, I cannot recall the
16 detail of medico-legal consultations that we had.
17 I don't doubt that we had them, in fact I saw the other
18 day, I saw my name on a list, so I was there.

19 I have no recollection of it. I believe that I was
20 very anxious about the coroner's inquest and that was
21 probably distracting me, I'm guessing. I don't know why
22 I don't have a strong recall of these things, so you'll
23 bear with me, I'm sure you'll help me through it.

24 Q. Well, there isn't a great deal to ask you, but I do know
25 that a copy of the post-mortem report was forwarded to

181

1 at a pre-inquest meeting with Dr Fulton on 9 April 2002,
2 and in that regard can we look please at
3 page 022-029-073.

4 There we are. A small group is being put together
5 of the doctors Fulton, Nesbitt, McCord, with
6 Mr Gilliland and Mr Makar, and:

7 "Dr Fulton, who was medical director at the time of
8 Raychel's death has agreed to convene a pre-inquest
9 meeting on Tuesday 9t April."

10 This is not one of the larger medico-legal
11 consultations, this is a small group, as you can see,
12 listed there. Do you remember this consultation?

13 A. I don't. That's one of the things I don't remember.

14 I know that on 9 April there was the other meeting,
15 which was the feedback on the -- not the feedback, but
16 the group that had looked at the clinical incident.

17 Q. Yes.

18 A. And I'm wondering, was it the same, but again that's
19 speculation. I don't recall a separate meeting.

20 I assumed when I answered the question for the tribunal,
21 I said, "Look, I can't remember this, but I would assume
22 it was in preparation for the coroner's inquest", which
23 would make sense. But I do not recall it.

24 Q. The next thing that seems to happen is -- or rather, the
25 same time, the report from Dr Sumner arrives. Just

183

1 you when it came into the trust on 7 December 2001.
2 We can see that at 026-017-032.

3 It comes in to Mrs Brown and she sends it off to
4 you, and it perhaps comes in to Dr Fulton, but in any
5 event it's circulated to Dr Fulton, Mr Gilliland,
6 Dr McCord and yourself. And that, of course, is the
7 post-mortem report that concludes amongst other things
8 that Raychel suffered from profuse vomiting.

9 Did you, when you received that post-mortem report,
10 make any objection or cavil at his conclusion of profuse
11 vomiting?

12 A. No, I didn't. I thought it -- I didn't know it was my
13 place to even do that, I just thought, "Well, there's
14 the result of the post-mortem. Who am I to question
15 it?"

16 Q. Very well.

17 A. It's an opinion that's been stated. My own opinion was
18 based on the evidence -- the discussions I'd had with
19 the nurses that, in my opinion, it wasn't that, but if
20 someone else had come to that conclusion, it wasn't for
21 me to argue with them.

22 Q. We know, as you mentioned a moment ago, that you
23 attended consultations in preparation for the inquest on
24 20 March 2002, in April 2002, on 31 October 2002 and,
25 separate to those, you received an invitation to attend

182

1 before that, Dr Sumner's report arrives, and -- in
2 February 2002, and that's circulated to you.

3 You make reference to that in your witness statement
4 035/2, at page 28.

5 At 35 (c):

6 "State whether you were asked to comment on the
7 content of Dr Sumner's report, and whether you took any
8 issue with the accuracy of the same.

9 "I was asked to comment [you respond] and overall
10 I took no major issue with the report but noted some
11 factual inaccuracies. Dr Sumner reached a conclusion
12 that Raychel had profound and sustained vomiting. He
13 concluded that Raychel was in a negative fluid
14 balance ..."

15 And so forth.

16 I'm not quite sure I understand that, are you saying
17 there that you formed the view that Dr Sumner's
18 conclusion in respect of profound and sustained vomiting
19 was something that you disagreed with?

20 A. No, what I'm saying is that that is an opinion that he
21 came to, which I wasn't going to have an issue with.
22 But the factual inaccuracies that I referred to were,
23 number 1 the weight of the child --

24 Q. Yes.

25 A. -- and he assumed 26 kilograms. And when -- looking at

184

1 Raychel's post-mortem, it was 25 kilograms, which is
2 1,000 ml equivalent of water less. I'm simply saying
3 that actually he probably estimated the weight using
4 a formula which is well-known to anaesthetists doing
5 paediatrics like me, so if you don't know the weight of
6 a child, if it hasn't been weighed, you can calculate it
7 by adding 4 on to the age and multiplying by 2, and it's
8 as simple as that. And if you do that with Raychel it
9 comes to 26, and I believe that's how he came to the
10 26 kilograms, because all other references are 25.

11 So I was only drawing attention to that to say that
12 if he had assumed she was 25 kilograms, he wouldn't have
13 said she was in deficit of 1 litre because her
14 post-mortem weight was exactly the same as the weight on
15 admission.

16 THE CHAIRMAN: Okay.

17 MR STEWART: Indeed, you and Dr McCord brought various
18 inaccuracies to the attention of Mrs Brown, who asked
19 that they be brought in due course to the attention of
20 the coroner, and those are listed at 160-183-001.

21 A. I actually go on in that statement to say what the
22 inaccuracies were and the times.

23 THE CHAIRMAN: Yes.

24 MR STEWART: That's correct. Now, I'd like to ask at what
25 stage did you decide or did you ever agree with the

185

1 length of time. It was decided subsequently to make
2 a concerted effort to counteract Dr Sumner's conclusions
3 in respect of the vomiting.

4 Can we look please at 022-017-052. We'll see here,
5 this is the day after you attend at a consultation, and
6 Mrs Brown writes to Staff Nurse Rice and identifies the
7 date of inquest and tells her and you and she met with
8 a barrister yesterday:

9 "The barrister feels it is important that we
10 counteract the comments made by Dr Sumner the
11 independent expert in relation to the allegation of
12 excessive vomiting."

13 And it sets out the method by which it is proposed
14 to do that with nursing evidence.

15 Did you agree with that approach?

16 A. I think that the vomiting, according to the nurses, was
17 not excessive. Dr Sumner had used, as I alluded to in
18 my statement there, the weight of 26 kilograms, and on
19 the basis of that I felt he was coming to a conclusion
20 that the fluid loss was of 1 litre, but if you take her
21 as 25 kilograms, that wouldn't be so.

22 Then the point was that the plus plus system is so
23 hard to determine what the actual vomit was, so there
24 was a question in my mind about was it actually to do
25 with the vomiting or was it to do with something else.

187

1 proposition that Dr Sumner was wrong in concluding that
2 Raychel had suffered severe and prolonged vomiting?

3 A. I'm agreeing that that is his opinion.

4 Q. Yes.

5 A. In my heart, I feel that there was something very
6 unusual that had happened, and so I think it was much
7 more related to the retention of water, and that would
8 be the ADH thing. I mean, I have seen -- I've done
9 30 years of anaesthesia and I have seen lots of children
10 with vomiting, and I have never seen this. And I think
11 it had to be something -- yes, there was vomiting, but
12 with the nurses' evidence, the nurses' testimony at the
13 meeting, they were saying, "It wasn't as bad as that".
14 So for me, I felt there must be something else there.
15 But nevertheless that is Dr Sumner's opinion.

16 The factual inaccuracies I was happy to point out
17 because it was wrong to say the times were totally wrong
18 and he had failed to grasp the meaning of the 150 ml
19 that appeared in every column. But in fact, as we
20 discussed with Dr Haynes, that was because of a burette
21 that was used, so each hour the worst that could happen
22 would be 150 ml, that was a protective thing, and then
23 from that 150 ml you calculated the 80 ml an hour, and
24 that's in the next column.

25 Q. I'm interested in the vomiting and its extent and the

186

1 But I wasn't -- I didn't question Dr Sumner's conclusion
2 in that he had his opinion and he stated it.

3 Q. Well, did you agree that it was important to counteract
4 his conclusion?

5 A. I think when you're trying to show that what you were
6 doing was the normal course of events -- I mean, the
7 nurses were very, very clear that the course of events
8 that Raychel followed initially was normal. You do
9 see -- in fact, she was very well in the morning and
10 then there were some episodes of vomiting. But it did
11 not amount to the amount of vomiting that Dr Sumner was
12 suggesting.

13 Q. But how did you know what Staff Nurse Rice was going to
14 say?

15 A. I had no idea what the staff nurse was going to say.

16 Q. Exactly.

17 A. I think is that not indicating that, from the coroner's
18 point of view, it would be very useful if he could learn
19 from the nurses what they meant by --

20 Q. No, it's from the barrister's point of view that's the
21 best way of putting forward a case. It's nothing to do
22 with the coroner.

23 A. I'm not a barrister, but --

24 MR STITT: With the greatest respect, it's everything to do
25 with the coroner, because the coroner has got to find

188

1 out, among other things, the cause of death, et cetera.
2 Any barrister worth his salt is going to be saying, "The
3 coroner's got this report and it concludes there was
4 profuse vomiting, et cetera". If that's not in
5 accordance with the instructions or the beliefs of
6 nurses and there is a plus plus system, surely you've
7 got to at least have that matter ventilated. It's not
8 great theory, every barrister in the land would do that.

9 MR STEWART: Very well.

10 You were content to go along with his approach?

11 A. Yes, I was, I didn't object to that. I felt it
12 certainly needed to be -- it was a fairer thing for the
13 coroner to hear what the nurses were going to say about
14 the amount of vomiting that there was.

15 Q. Did you know at that time that the coroner had received
16 a letter on behalf of the trust, saying that the nurses
17 had been interviewed when they hadn't, and they had all
18 agreed to a man, which they didn't, that the vomiting
19 was neither excessive nor prolonged? Did you know that?

20 A. I didn't know that. I saw that yesterday. I don't
21 know, perhaps nurses were interviewed at a solicitor
22 level. I don't know. That's just something that came
23 to my mind.

24 I don't recall anything in the hospital happening
25 that way, but I wouldn't have known anyway. As

189

1 counteract Dr Sumner's reports, and to that end a report
2 is commissioned from Dr Warde to comment on Dr Sumner,
3 and Dr Warde comes back and says "In my opinion Raychel
4 suffered severe and protracted post-operative vomiting".
5 Isn't that something you would have discussed?

6 A. It seems extremely likely that's the case. I can only
7 reiterate that I have no recollection of anything to do
8 with the Warde report and absolutely nothing to do with
9 any notion that we should withhold the Warde report, and
10 in fact if I had got the Warde report and it said the
11 same as Dr Sumner, I wouldn't have objected to it going
12 in to the coroner. There'd be nothing to be gained. It
13 didn't add to it.

14 Q. We know it didn't go to the coroner and we know that no
15 reference to it was made to the coroner. Now, at the
16 group of people --

17 THE CHAIRMAN: Sorry, there is something to be gained.

18 There's something to be gained, doctor. I can't let
19 that go.

20 A. Two experts agree --

21 THE CHAIRMAN: Two experts agree, which might make it more
22 difficult when two experts agree to accept -- sorry, it
23 might make it more difficult to accept an alternative
24 recounting of events coming from nurses.

25 A. My point was just that Dr Warde's report was almost

191

1 a clinical director in anaesthesia I wouldn't have been
2 part of it. But from my discussions with Therese Brown
3 I don't think there were specific interviews, and the
4 only thing I can think of was at the meeting, it wasn't
5 an interview but it was certainly a discussion where
6 nurses said what their opinion was.

7 Now, I do remember that very clearly from that
8 meeting.

9 Q. Yes, but we know that this nurse, Staff Nurse Rice, or
10 McAuley, wasn't at that meeting. Were you told about
11 Dr Warde's report?

12 A. I am sure that I was. I have no recollection of
13 Dr Warde's report. I have seen Dr Warde's report,
14 of course, now, and when I saw it, I thought it was the
15 most unusual report in the way it was formatted.

16 So I don't understand why I don't remember it, but
17 if someone says they discussed the Warde report with me
18 I'm prepared to accept that that might have been the
19 case. But it did seem so unusual in that it was almost
20 redacted before you got it, it was like a -- lots of
21 little dots and things. I've never seen anything like
22 that so it was most unusual.

23 Q. Can I suggest to you that you're proceeding towards the
24 inquest as one of the principal members of the inquest
25 group and your agreed approach to the inquest is to

190

1 identical to Dr Sumner's in every way.

2 THE CHAIRMAN: That's the point, and he was engaged to
3 advise the trust and comment on the issues upon which
4 Dr Sumner had given his expert opinion. Dr Warde's
5 expert opinion was almost identical. So there is --
6 I just can't let it go that you say there was nothing to
7 be gained by that report not going before the coroner,
8 because there was.

9 A. Perhaps I should have said there was nothing to be lost,
10 because, I mean, Sumner's report was going in, and in
11 fact we have accepted Dr Sumner's report. But --

12 THE CHAIRMAN: I'm sorry, again, that's not right. Because
13 if the nurses gave evidence, the nurses could be
14 cross-examined on behalf of the family on the basis that
15 if they're right it means that two experts are wrong,
16 and that might make it more difficult for the coroner to
17 accept the nursing evidence about the vomiting.

18 A. Um, I don't know what to say to that except that I know
19 I didn't have any input to any decision to withhold the
20 Warde report, and as Therese Brown said yesterday, she
21 would have anticipated the Warde report would have gone
22 to the coroner. And I never, ever considered privilege.

23 THE CHAIRMAN: Okay. That helps because that means that
24 I now know two of the people who were not involved in
25 the decision to withhold the Warde report from the

192

1 coroner.
2 MR STEWART: Who was the most senior person there that day
3 at the coroner's court?
4 THE CHAIRMAN: From the trust.
5 MR STEWART: From the trust.
6 A. That's a good question. Um, I was medical director, so
7 that's quite a lofty position, even if I say so myself.
8 Q. Indeed, you're an executive director sitting on the
9 board. Any other executive directors there?
10 A. It was held over three days. I was only interested in
11 my own -- I have a very poor recollection of the
12 coroner's inquest and I'm really sorry that that's the
13 case. I cannot remember who else gave evidence.
14 Q. It must have been obvious to those present that given
15 the letter written to the coroner stating "This is the
16 trust's case because this is the trust's evidence", it
17 couldn't then run the contradictory evidence. It was
18 perfectly obvious to everybody there. Somebody decided
19 that Dr Warde should sit at home in Dublin and the
20 coroner should be none the wiser. Who was that person?
21 A. Well, I can tell you who it wasn't and it wasn't me
22 because I would not have made --
23 THE CHAIRMAN: Okay. Can you tell us who it was?
24 A. No, I did not make that decision.
25 THE CHAIRMAN: Thank you.

193

1 the working group.
2 Q. You had spent time researching the literature on this
3 letter from within hours of Raychel's death. You knew
4 perfectly well, did you not, that there was no guidance
5 issued by the Department of Health here?
6 A. Why would I have known that?
7 Q. Because you made it your business to change the use of
8 Solution 18, you researched it, you drove the campaign,
9 you sat on the CMO's working group and now you're
10 saying, "Please tell me, was there any guidance?"
11 A. No, can I suggest that's completely unfair, it's totally
12 unjustified, and why would I have known as a clinical
13 director about guidance that had come out from the
14 Department or not?
15 The suggestion yesterday was that the reason that
16 I did that was following a consultation prior to the
17 inquest, and the inquest was then delayed and so on, and
18 I can tell you categorically that is not the reason that
19 letter was written.
20 Dr Campbell wrote to all -- I'm trying to think who
21 it was addressed to, but it was to all doctors, and it
22 was to do with the recent guidance from the Department
23 and that there was a forwarding letter, this was
24 probably the end of March, I think, 25 March, something
25 like that.

195

1 MR STEWART: Just to go back, one of the things you did
2 after one of the consultations, it was a consultation in
3 April 2002, and on 1 May 2002 you wrote to the Chief
4 Medical Officer, and that appears at 022-091-298.
5 This is the letter:
6 "Dr Campbell.
7 "Following the death of a child in Altnagelvin,
8 which is thought to have followed severe
9 hyponatraemia..."
10 Well, you knew it was severe hyponatraemia, you had
11 the assay of the sodium:
12 "... many steps have been taken to ensure that such
13 an event does not occur again. We are all anxious to
14 learn from what was a dreadful experience and to share
15 vital information with others. Guidance issued from
16 your department will help in this regard and we are
17 grateful for the recent posters on the subject.
18 "I am interested to know if any guidance was issued
19 by the Department of Health following the death of
20 a child in the RBHSC which occurred some five years
21 ago."
22 Now, why did you have to write to the CMO asking
23 about whether there was guidance from the Department of
24 Health when you'd served on her own working group?
25 A. I don't recall any discussion about previous guidance at

194

1 Q. 25th.
2 A. She sent a letter to me saying there's guidelines and
3 we're going to forward a chart to you and it's very
4 important that we learn from this type of thing, and so
5 on. And she was writing that and I was having to --
6 well, I thought I should respond to that.
7 So my response was I wrote on the same day as
8 I wrote to Dr Campbell, I wrote to all the medical staff
9 in Altnagelvin, so this was later on from 25 March, and
10 I said, "We have now received the chart, we have now
11 received the guidance, and please start doing this".
12 And I suggested the change to half-strength saline and
13 you've seen all that correspondence.
14 I wrote it first, so I wrote to all the doctors and
15 said, "Look, here's the guidance from the Department,
16 I want you to act on it because that's what it says".
17 Then I thought, what guidance was issued from the
18 Department before, and I completely reject the notion
19 that I would have known about any guidance from the
20 Department. So I simply asked her, but I was giving her
21 a heads up and I said, "Look, the reason I think this is
22 a problem is because if there was a death before, then
23 we're going to get asked questions", and you can't argue
24 that I was wrong when I said that because we are being
25 asked questions, but it was not a subterfuge, it was not

196

1 a way of diverting attention, it was not any of the
2 things I've heard suggested, and I object in the
3 strongest possible terms to that.
4 Q. Let's put beside it 022-017-052, please. As you quite
5 rightly say, the inquest was adjourned from April
6 through to November, and here we are, we're back to this
7 letter again we were looking at a moment ago, and the
8 second part of it is the positive aspects of the case:
9 "... are the actions following the death and again
10 it is hoped that Dr Fulton will be able to give evidence
11 in relation to his actions following the tragic
12 incident. The other positive note is the letter dated
13 May of this year from Dr Campbell to Dr Nesbitt and the
14 barrister is keen to exploit this issue."
15 Now, it looks as though it's going to be exploited
16 for the purposes of damage limitation, essentially.
17 A. It does look like that.
18 Q. So I'm asking, was it in fact drafted for the purposes
19 of damage limitation?
20 A. But I've already said that it wasn't, so to ask that
21 question is implying that I made that up. I'm telling
22 you that the letter to Dr Campbell was in reaction to
23 the letter that she sent to me about the impending wall
24 chart and the letter that came with it talked about
25 No. 18 Solution, as I'd asked her to.

197

1 MR STEWART: With respect, I did not state this was
2 a subterfuge letter, I said I was asking him whether it
3 was drafted for the purposes of damage limitation, which
4 is a wholly separate thing --
5 A. And I think I answered the question.
6 MR STEWART: -- what I have stated is that an individual who
7 served on the CMO's working group and who had researched
8 hyponatraemia and Solution No. 18 from within hours of
9 Raychel's death would be better placed than anybody else
10 to know that there had been no Department of Health
11 guidelines issued in the mid-90s.
12 MR STITT: That's not a question. That's a statement of
13 opinion.
14 THE CHAIRMAN: It explains where the question's coming from.
15 Let me follow it up with you. Looking at the
16 left-hand side of the screen for a moment, do
17 I understand the middle paragraph to be a reference to
18 Adam's death in the Royal?
19 A. I didn't -- I'm not sure if I knew it was Adam table.
20 I knew it was the case -- and I'd counted back five
21 years because I thought it was 1997, in fact if I had
22 known it was Adam's case really it should have been
23 seven years.
24 THE CHAIRMAN: Okay. You had exchanged communications with
25 Dr Taylor as part of the build-up to the working party,

199

1 And was it a knee-jerk reaction from me? I don't
2 know what was in my mind. But what was not in my mind
3 was anything to do with the suggestion that I was
4 covering up or dissipating or any of those things that
5 you are suggesting.

6 The barrister, of course, then can take that and use
7 it, and I can't help that. I mean, it did -- it does
8 look like it adds weight to our case. But that was not
9 the reason for it. And in fact Dr Campbell could have
10 come back and said, "Well, here's the guidance I issued
11 back in 1995".

12 Q. I suggest you knew perfectly well there was no guidance.
13 Can I ask you this question, why did you wait --

14 A. Can I object -- sorry, can I object to you saying
15 that --

16 THE CHAIRMAN: The doctor has to respond, Mr Stewart.

17 A. You've suggested I knew perfectly well. On what basis
18 would I have known perfectly well?

19 MR STEWART: We've been through that before. Here's the
20 second part of it.

21 MR STITT: Is Mr Stewart resiling from the proposition he
22 has put more than once that this was a deliberate
23 subterfuge letter? Does he have some evidence apart
24 from stating it. The witness has denied it. If there's
25 some other backup evidence, please put it at this point.

198

1 and he had sent you some information.

2 A. He'd sent me the bar graph.

3 THE CHAIRMAN: Right. And he's a man for whom you have
4 a lot of respect, and the inquiry has heard on a number
5 of occasions that he has done a lot of good work for
6 which he deserves respect. Right?

7 Why not lift the phone to Bob Taylor and ask him
8 something about the death in the Children's Hospital?

9 A. I didn't do that.

10 THE CHAIRMAN: That's not the question.

11 A. Why not?

12 THE CHAIRMAN: Why not?

13 A. No reason.

14 THE CHAIRMAN: It's the quickest way to find out what
15 happened after the death some five years ago, isn't it?

16 A. It's one way of finding out. The other way would be if
17 anything came out of the Department, and that is -- the
18 Department -- when we told the Department about Raychel,
19 then everything was set in motion and the guidance came
20 our way and a wall chart. I said, "Look, this happened
21 before, was there any learning from it, because
22 I believe we'll be asked questions as to why there
23 wasn't?" So that's really what I said to -- remember,
24 I don't envisage this ever being -- this was a letter to
25 Henrietta Campbell from me, and now, of course,

200

1 everything, you're right, is public. But I wasn't
2 anticipating this was going to be used in evidence,
3 I didn't think anything along those lines, that was
4 a completely innocent letter giving her a heads up of my
5 concern.

6 THE CHAIRMAN: Can I ask you this, at the end of the second
7 paragraph there's a sentence:

8 "I was unaware of this case and I am somewhat at
9 a loss to explain why."

10 Do you remain at a loss to explain why you were
11 unaware of Adam's case --

12 A. No.

13 THE CHAIRMAN: -- after he died?

14 A. I'm not at a loss to explain that there was no guidance
15 from the Department because she wrote back --

16 THE CHAIRMAN: That's not the point. That's not what you're
17 at a loss. The loss that you were at is that you were
18 unaware of this case. In effect you're saying in that
19 sentence "I should have known about this case".

20 A. Yes, I was surprised.

21 THE CHAIRMAN: And if you're saying that in Altnagelvin,
22 you're really saying that every comparable or equivalent
23 doctor in Northern Ireland should have been aware of
24 Adam's case.

25 A. And I believe that Dr Campbell was also surprised

201

1 The second question I was --

2 THE CHAIRMAN: Sorry, does that mean without reciting what's
3 in your written statement, without reciting that, does
4 that mean that now that you do know the circumstances of
5 Adam's case, you now understand and accept that you were
6 not made aware of it? So you now understand and accept
7 the reasons why you were not made aware of it?

8 A. Yes, because --

9 THE CHAIRMAN: So although this letter appears on the face
10 of it to be critical of the fact that you and your
11 colleagues were not made aware of the circumstances of
12 Adam's death or any lessons to be learned, your position
13 now is "I now know about Adam's death. I entirely
14 accept why I wasn't made aware of Adam's case"; is that
15 your position?

16 A. I accept the reason I wasn't made aware was because
17 there was no guidance came out from the Department and
18 Henrietta Campbell said that. But would guidance from
19 the Department -- you know, hypothetically, that's why
20 I'm saying it's --

21 THE CHAIRMAN: Sorry, doctor, I have to say, with respect,
22 that the question I'm asking you is relatively
23 straightforward.

24 A. Sorry.

25 THE CHAIRMAN: At the time you wrote this letter, you say

203

1 because she wrote back to me and said, "Look, the first
2 inkling I had of hyponatraemia was actually when you
3 raised it", but that wasn't to cover myself in glory
4 and --

5 THE CHAIRMAN: No, sorry, that's not the angle I'm coming on
6 that at. What you're saying in that letter in terms
7 is that every equivalent doctor in Northern Ireland
8 should have been made aware of Adam's case.

9 A. I believe that they should have done.

10 THE CHAIRMAN: Because there were lessons to be learnt from
11 the circumstances in which Adam died, which could have
12 helped other doctors in the Royal and beyond, beyond
13 that.

14 A. In terms, yes, but in Adam's case I don't know that
15 that's actually true because Adam's case, I still would
16 contend, is a different case in that it was an extremely
17 difficult -- and in fact I was asked three hypothetical
18 questions towards the end of my statement, one of them
19 was: what would I have done if I'd been told of the
20 death of Adam Strain. And my response to that was,
21 I doubt that it would have had any effect because most
22 doctors would have thought, "That's a most unusual case,
23 it's in extreme circumstances, a child with polyuria,
24 very experienced doctors looking after him in the
25 Children's Hospital. That's not for me".

202

1 you didn't know it was Adam and you didn't know the
2 circumstances in which he died, you just knew that
3 a child had died in the Royal.

4 A. Yes.

5 THE CHAIRMAN: And you say to the CMO, "I was unaware of
6 this case and I'm somewhat at a loss to explain why".

7 Now that you are aware of the circumstances of
8 Adam's death, do you say, "I accept that there was no
9 reason for me and my colleagues in other hospitals in
10 Northern Ireland to be told about Adam's case because
11 there was unlikely to be anything learnt from it which
12 was of use to us"?

13 A. No, I'm pushed to give a one-word answer, but the reason
14 I replied to the hypothetical question was in my opinion
15 had we been told specifics about Adam's case, then we
16 might not have done anything because we wouldn't have
17 thought it applied to us. But if we'd been given
18 guidance on hyponatraemia as a result of Adam's case,
19 then it might have been a learning thing for others.

20 But I'm not sure that Adam's care would have
21 generated that. That's looking back on it now with what
22 I know. Does that -- I mean, I'm not trying to be
23 obfuscating or anything like that.

24 THE CHAIRMAN: I'll take your answer and we'll move on.

25 MR STEWART: The coroner gave his verdict and it was that

204

1 the hyponatraemia was caused by a combination of
2 inadequate electrolyte replacement on the basis of
3 severe post-operative vomiting and water retention, and
4 you said that you agreed with that verdict.

5 A. Yes, that is correct, because the electrolyte level
6 dropped and was not brought up to the level quickly
7 enough. So there was inadequate electrolyte
8 replacement.

9 Q. Yes. The next thing is you, along with your
10 chief executive, Mrs Burnside, and the director of
11 nursing, Ms Duddy, meet with the Western Health and
12 Social Services Council on 19 February 2003 and that's
13 minuted at 014-016-028.

14 The full attendees are listed. We learn that the
15 meeting was arranged at the request of the council to
16 learn of the Altnagelvin Trust's perspective on the
17 death of Raychel Ferguson. The Altnagelvin have fielded
18 a high level team to meet with the council. The
19 chief executive, director of nursing and medical
20 director:

21 "The trust provided a copy of a press statement."
22 And that's the statement which appears at
23 023-003-003.

24 This says in the second paragraph:

25 "While it is of little comfort to her parents and

205

1 hospitals in Northern Ireland. By putting "all", then
2 it puts me in the position of but I knew that the Royal
3 weren't using No. 18 Solution, because the thing about
4 that was it was really -- the message was that the
5 solution that we were giving to Raychel was commonly
6 used, not only in Northern Ireland but everywhere. That
7 was the solution. And that was what we were trying to
8 say was: look -- that was the thing.

9 Then, of course, we were talking about the
10 practices, and I accept that there are practices, but
11 many of the practices were also the same. The care that
12 she got, it could have been in Craigavon, it could have
13 been in the Antrim Hospital, it could have been the
14 Ulster Hospital.

15 THE CHAIRMAN: Is there a hint in that press statement that
16 anything was done wrong in Altnagelvin?

17 A. No, I think that press statement is giving assurance to
18 the public that they should bring their children to us
19 and we would look after them. I think that was the
20 purpose of the press statement.

21 MR STEWART: Can I suggest to you that it misleads as to
22 what the Altnagelvin Trust had delivered to
23 Raychel Ferguson.

24 A. If it did mislead --

25 Q. And it is defensive. And did either you or your fellow

207

1 family, it is important to emphasise that the clinical
2 practices used during Raychel's care, following her
3 operation, were at that time accepted practice in all
4 other area hospitals in Northern Ireland."

5 That's not entirely accurate, is it?

6 A. I was in the audience listening to the debate about that
7 yesterday, and I'm not going to contend that it was area
8 hospitals we were talking about either. I think that in
9 truth that should have said the majority rather than
10 all. That would have been -- it's semantics, I know,
11 but what I said --

12 THE CHAIRMAN: Sorry, it's not semantics, it's sending out
13 a would-be reassuring but misleading message to the
14 public. The reason that you issue a press release is to
15 get a message out to the public, and the message that
16 Altnagelvin sent out to the public was that Raychel was
17 treated in the same way she would have been treated in
18 any other hospital in Northern Ireland. If that's
19 right --

20 A. Well, the message --

21 THE CHAIRMAN: -- that's something to be very, very worried
22 about.

23 A. The message that we wanted to convey in a press
24 statement was that the treatment that Raychel received
25 was the same as she would have received in other

206

1 executive directors think for one moment to read and to
2 check that before you issued it to the council?

3 A. I'm sure it was read, but as I was trying to say, if it
4 did mislead, it was not to intentionally mislead because
5 to mislead is deceitful and that was not the intention.

6 Q. That's exactly my point.

7 THE CHAIRMAN: Does it ever occur, doctor, that sometimes
8 public confidence in Altnagelvin or other hospitals
9 might be increased by an acknowledgment that mistakes
10 have been made? Does that ever occur?

11 A. I think if a mistake has been made, you should be open
12 and honest about it, and that would be my ethos in
13 medicine. So if I make a mistake --

14 THE CHAIRMAN: Well, that's not reflected in that press
15 statement.

16 MR STITT: With respect, sir, last Friday -- now, I know
17 it's 2013.

18 THE CHAIRMAN: No, I'm sorry, Mr Stitt, the idea that in
19 February 2003 it wasn't recognised in Altnagelvin that
20 mistakes had been made in Raychel's care is
21 unacceptable.

22 MR STITT: I'm not going to argue that point, sir. That's
23 clear.

24 THE CHAIRMAN: And my point to the doctor is that he says he
25 wants to -- the purpose of this press release is to

208

1 encourage public confidence or reassure the public
2 in the greater Derry area to bring their children to
3 Altnagelvin. And my question is: does it ever occur
4 that public confidence might be increased if Altnagelvin
5 or any other hospital sometimes says, "We made mistakes
6 but we are sorry we made mistakes, we are learning from
7 them and the fact that we are learning from them is
8 a reassurance for the public".
9 MR STITT: Maybe I misheard. I thought you said had they
10 ever said they had made mistakes and were learning from
11 them.
12 THE CHAIRMAN: Okay, I'm sorry, if I did, I didn't mean to
13 put it in quite those terms. That's my concern, because
14 I have been told about doctors' defensiveness and I've
15 heard it from Ian Carson and other, and I've heard about
16 nurses' defensiveness. This is institutional
17 defensiveness.
18 A. I can see --
19 THE CHAIRMAN: It doesn't work. If there's one thing that
20 this inquiry shows it's that that doesn't work. If you
21 want to reassure the public, doctor, just be open with
22 the public.
23 MR STITT: May I take you, sir -- if I may come back to that
24 and I don't want to make a mountain out of this
25 particular issue. If you could go back to 201, line 7?

209

1 THE CHAIRMAN: Exactly.
2 MR STEWART: Dr Nesbitt, can I ask as an executive director,
3 were you asked ever to proofread press statements, look
4 at drafts, suggest amendments, to approve them in
5 effect?
6 A. I don't recall that happening.
7 Q. Who would have approved this statement for release at
8 that meeting?
9 A. I'm not sure. Marie Dunne would have talked possibly to
10 the chief executive office, I'm not sure. I don't know
11 that I actually saw that one. I appreciate what the
12 meaning of it was. I can also see that it can be
13 misconstrued that it was, you know, misleading.
14 Q. In order that we may more properly understand the
15 meaning, let's have a look at an earlier draft of it at
16 172-002-043. If we could have it alongside it, please.
17 This is an earlier draft. I don't know how many
18 versions this went through. This bears at the top of it
19 what looks like a fax transmission date of March 2002.
20 So it's quite a bit earlier. It's well before the
21 inquest, and in fact it probably was prepared for the
22 inquest when it was first listed on 10 April 2002.
23 You can see the second paragraph there in fact
24 relays back to the second paragraph of the press
25 statement as issued:

211

1 THE CHAIRMAN: Yes. The last part where I said "Does it
2 ever occur"?
3 MR STITT: Yes, "Does it ever occur, doctor, that sometimes
4 public confidence in Altnagelvin or other hospitals
5 might be increased by an acknowledgment that mistakes
6 have been made? Does that ever occur?"
7 And that was the reason why I --
8 THE CHAIRMAN: Your point is that it occurred last Friday.
9 MR STITT: It occurred last Friday, but the position -- and
10 I know I'm jumping to litigation. The position had been
11 stated in a letter of 2005, which I've already dealt
12 with, which is now -- which you're aware of.
13 THE CHAIRMAN: Yes.
14 MR STITT: But, of course, in 2005, no one, not even
15 yourself, sir, was aware of the fact or would have been
16 shocked by the fact that in 2013 we were sitting here
17 in the middle of this inquiry. I remember the
18 Presbyterian Assembly Rooms in 2005 because I was
19 involved, and I think it's fair to say that we were all
20 surprised by what happened.
21 THE CHAIRMAN: Yes. Thank you.
22 MR STITT: And we anticipated, or you probably anticipated,
23 sir, if I may be so bold, that the inquiry would have
24 been conducted and finished and reported upon very many
25 years ago, through no fault of yours.

210

1 "While it is of little comfort to Raychel's parents,
2 it is important to be aware and the procedures and
3 practices put into effect in the care of Raychel
4 following her operation were the same as those used in
5 all other area hospitals in Northern Ireland."
6 So that was even more broad in its application,
7 procedures and practices. And in fact, the press
8 department released a document explaining the meaning of
9 all those terms, and I read from that document the other
10 day when we were debating the meaning of it.
11 You see there that there is a correction put in
12 there?:
13 "The hospital immediately made changes."
14 Is that your writing?
15 A. No.
16 Q. Whose writing is that, do you know?
17 A. I don't know.
18 Q. Okay. Do you remember draft press statements ever
19 coming to you as medical director for your approbation?
20 A. It has happened that I've seen a press statement before
21 it went out. I don't recall seeing this press statement
22 or the previous one to the final one. But I have as
23 medical director seen press statements.
24 Q. Can we go back to those minutes of the meeting at
25 014-016-028. And there, because we're on the second

212

1 paragraph there with the press statement, the third
2 paragraph continues:
3 "Mrs Burnside explained the outcome of the coroner's
4 inquest which did not apportion blame to the trust."
5 Well, did you tell the council that in fact the
6 coroner had decided that the electrolyte replacement was
7 inadequate?
8 A. Yes. I mean, the -- that's what it said. It meant --
9 that to me meant that it was inadequate, the replacement
10 that she got was not a big enough amount for what was
11 needed. It's not that the trust were -- you know,
12 I think that's what I'm taking out of it. Everyone
13 looking at me if that's amazing but --
14 THE CHAIRMAN: Sorry, I'm on a slightly different point. Is
15 it not the case that coroner's inquests in
16 Northern Ireland do not apportion blame as to why
17 somebody died?
18 A. No, the coroner --
19 THE CHAIRMAN: They are specifically not supposed to be the
20 equivalent of a court deciding whether somebody is
21 negligent; isn't that right?
22 A. That's correct, they rule on the cause of death.
23 THE CHAIRMAN: Right. So if that's the case, then the
24 coroner was never going to apportion blame for Raychel's
25 death; isn't that right?

213

1 It's not the other side, it's not the exact flip
2 side of the point, but it is a recognition that clearly
3 it was avoidable.
4 A. That was the first point I made in my presentation.
5 This was a death that could have been avoidable.
6 MR QUINN: Sorry to interrupt, Mr Chairman, but I have to
7 get up and ask then, if Mrs Burnside was saying this in
8 2003, why didn't everyone else come out and say it to
9 the parents?
10 THE CHAIRMAN: Why did nobody say to the parents that
11 Raychel's death might be avoidable?
12 MR QUINN: Yes. When the litigation was issued, and we've
13 been waiting now for seven years to get an admission of
14 liability -- it's actually 10 years.
15 A. I remember saying to Mrs Ferguson on 3 September that
16 had we known -- well, first of all, we said that she had
17 died under our care and that it should not have
18 happened, that's the very, very beginning of the
19 meeting, and there was a profound apology given to
20 Mrs Ferguson and the other members of the family that
21 were there. Then -- so I recall that being discussed at
22 that meeting.
23 So we said: look, this shouldn't have happened, we
24 accept this should not have happened. So that's why
25 I believe that we were liable because she was in our

215

1 A. That's true.
2 THE CHAIRMAN: So what was Mrs Burnside doing saying that
3 the outcome of the coroner's inquest did not apportion
4 blame to the trust if it wasn't the role of the coroner
5 to apportion blame to anybody?
6 A. I don't know the answer to that.
7 THE CHAIRMAN: It could be understood by the members of the
8 Western Health and Social Services Council that the
9 coroner had somehow decided that the trust was not in
10 any way to blame for Raychel's death, and that's not
11 what the coroner decided, sure it isn't.
12 A. No, it was rather factual what he said.
13 THE CHAIRMAN: Well, that's what he's supposed to do. He
14 doesn't say at the end of an inquest "and I blame Mr A,
15 Mr B and Mr C for the death".
16 A. I have never thought of it in those terms. It never
17 crossed my mind. Yes, quite right.
18 MR STEWART: You went on then to deliver your PowerPoint
19 presentation yet again, but this time you augmented it
20 with a few additional --
21 MR STITT: I do sincerely apologise and I'll be very brief.
22 Perhaps on balance, though, if I refer to the last
23 sentence in the -- last paragraph on that document:
24 "Mrs Burnside said in hindsight the trust accepted
25 the death could have been avoidable."

214

1 care and it should not have happened and we said that
2 from the very beginning. It didn't take it to be 2003,
3 there was no epiphany here, this was -- we knew already
4 and we discussed with the family that it should not have
5 happened. And we also said that had we known now
6 what -- if we knew then what we now know, it might not
7 have happened because we might have had things in place.
8 So we were saying: look, these things have happened, it
9 could have been avoided. So I can't be more clear than
10 that.
11 THE CHAIRMAN: Okay.
12 MR STEWART: I wonder, can we just look quickly at two pages
13 from your PowerPoint presentation delivered that day,
14 which are 077-005-006 and 007. I wonder if they can be
15 both put side by side, but they're both in landscape
16 format. Is that possible?
17 A. These were by way of an introduction to the actual
18 PowerPoint presentation I would have given to anyone
19 else, and because it was a lay audience, this was just
20 headlines, if you like.
21 Q. All right. On the left-hand side we go to the third
22 bullet point down, we are talking about the cause of
23 death being brain swelling brought about by a condition
24 called hyponatraemia:
25 "This was caused by [and this is your emphasis]

216

1 a very rare idiosyncratic reaction to surgery."
2 I assume you mean the hyponatraemia was caused by
3 SIADH, which was a reaction to surgery, do you?
4 A. And concomitant therapy with fluid having a low sodium
5 content.
6 Q. Yes, but the very rare idiosyncratic, emphasised,
7 reaction. It's just SIADH, it's not very rare.
8 A. It's not just SIADH. I have never seen a child die for
9 this cause in 34 years. It is extremely rare. Evidence
10 given to the inquiry by experts for the inquiry have
11 said the very same thing.
12 Q. But you -- I'm sorry to interrupt -- in the course of
13 your discussions with Dr Taylor, your correspondence
14 with Dr Taylor, revealed his audit, which had two deaths
15 apart from Raychel. You have given evidence of how you
16 heard from Mrs Brown of Adam's case. We're not talking
17 vanishingly rare.
18 A. Well, Harvey Marcovitch is saying it's vanishingly rare,
19 and he's an expert.
20 Q. Leave aside what Dr Marcovitch may have said, from your
21 own knowledge at the time you wrote this document.
22 A. From my knowledge I would say it's extremely rare.
23 I have never seen it before and I was, in my opinion,
24 quite experienced.
25 Q. Moving on then:

217

1 Northern Ireland."
2 Which were those two children you understood
3 Dr Jenkins to mean?
4 A. I assumed he was talking about -- well, one of them
5 I assumed was Adam Strain, and the other, I don't know
6 who that was.
7 Q. Why do you assume, then, when you're talking about the
8 previous death in Northern Ireland in your PowerPoint
9 presentation that that was a 1997 death, then?
10 A. Because if you look at the bar graph that I was sent
11 from the Children's Hospital, the bar graph that you've
12 got in the inquiry is not the colour version that I have
13 and you may not see that the blue part is the number of
14 cases, and where it's in red or orange at the top,
15 that's where there's a death. So when you look at the
16 bar chart, you can see not only the incidences but where
17 a death had occurred.
18 So in 2001, if you look at the top of that bar
19 graph, you'll see there's a different colour there and
20 that's one death, which I know obviously to be
21 Raychel Ferguson, and in 1997 there is another one.
22 I assumed that was the death that the coroner had
23 investigated previously.
24 Q. How do you know that death was post-surgery?
25 A. Well, I don't.

219

1 "Such a case has happened before in
2 Northern Ireland."
3 Which case was that?
4 A. I assume I'm talking about the case that's on the bar
5 graph that I'm now going to show them in the thing, so
6 they're going to see that a case has happened before,
7 and I thought it was 1990 -- whatever it was -- 7.
8 Q. Can I just read Dr Jenkins' report, which was his
9 evidence at Raychel's inquest and, of course, this
10 meeting with the council is to discuss Raychel's
11 inquest.
12 On the second page of Dr Jenkins' report of
13 30 January 2003 he writes:
14 "Until further concerns were raised in
15 Northern Ireland in September 2001 as a result of two
16 deaths ... Steps were taken to convene a working group
17 which were subsequently prepared and distributed
18 guidance."
19 He's highlighting there there were two deaths and it
20 was those concerns caused by those two deaths which gave
21 rise to the working group.
22 He returns to the theme in his final concluding
23 words:
24 "In the circumstances relating to this incident it
25 was only the tragic death of two children in

218

1 Q. Exactly. So you couldn't have been referring to it.
2 A. Why could I not have been? I was referring to it.
3 Q. You couldn't possibly have known it was a reaction to
4 surgery. You see:
5 "This was caused by a very rare, idiosyncratic
6 reaction to surgery. Such a case has happened before in
7 Northern Ireland."
8 A. That was an assumption on my part. I believed that that
9 was a reaction to surgery. Most of the cases of
10 hyponatraemia in children have been in reaction to
11 surgery. It's post-surgical that it happens, it's
12 not --
13 THE CHAIRMAN: Sorry, not in Adam's case. Adam's case isn't
14 post-surgical.
15 A. It's intra --
16 THE CHAIRMAN: Yes, exactly.
17 A. Or post --
18 THE CHAIRMAN: No, that's quite separate. Adam didn't die
19 post-surgery. Adam died on the operating table.
20 A. I do think Adam's case is different, but I'm saying that
21 such a case -- in the presentation -- I'm giving them
22 a heads up of what's coming in this presentation, I'm
23 saying that if you look at the presentation, there's
24 a previous case. I didn't update Bob Taylor's
25 presentation.

220

1 THE CHAIRMAN: And to be complete, two of the four deaths
2 that we are interested in are not post-surgery. Lucy's
3 death is not post-surgery and Claire's death isn't
4 post-surgery.
5 A. I agree that the hyponatraemia that I'm talking about is
6 post-surgical, I think that's the most common cause.
7 But fluid mismanagement can do it, especially if you're
8 using No. 18 Solution.
9 MR STEWART: Let's move on. That bullet point you go on to
10 the same sort of line that the press department are
11 taking, that the practices in Altnagelvin were the same
12 in the majority of other hospitals treating children.
13 THE CHAIRMAN: We've been through this, Mr Stewart. Let's
14 move on.
15 MR STEWART: At the time you met with the council were you
16 still having difficulty ensuring that electrolytes were
17 being checked on a regular basis?
18 A. I know that I've sent letters out to staff suggesting
19 that they have to do that. So --
20 Q. You send a letter on 25 March of that year, which is at
21 012-064c-328 and 329. I'm sorry, I have given you the
22 wrong reference there. At that stage there was still an
23 unresolved issue of responsibility for the management of
24 surgical paediatric patients. Was that brought to the
25 attention of the council?

221

1 in the past few years been responsible for two deaths
2 among children in Northern Ireland."
3 When you first saw that in March 2002, which deaths
4 did you take that to be referring to?
5 A. Well, one of them is Raychel Ferguson, so the question
6 always is what is the other one? And I assume it's the
7 one I've talked about all along, which is the one that's
8 in my PowerPoint presentation.
9 Q. Okay. The letter goes on to, at the top of the second
10 page, say in relation to the guidelines that were
11 published:
12 "It will be important to audit compliance with the
13 guidance and locally developed protocols and to learn
14 from clinical experiences."
15 Can I ask, what measures were put in place to audit
16 compliance with this?
17 A. The only place where fluids would be given to children
18 was the children's ward at that time. And we knew that
19 it was in place, and there were no exceptions to that
20 because the way we designed the system, it wasn't --
21 there was no choice for practitioners, it was rather
22 draconian and they had to choose fluid A or fluid B.
23 There was no other alternative. So we knew -- and it
24 was based on electrolytes and, later on, it was based on
25 electrolytes at 12 hours, and we were the only trust in

223

1 A. No, that wasn't part of my presentation to them.
2 Q. And also, as late as September 2004, you were issuing
3 reminders that Solution No. 18 should not be used in the
4 hospital. Was that something that you would have
5 brought to their attention?
6 A. The fact that I did that just is good practice, because
7 you're simply reminding people of a practice that you
8 put in place. It wasn't -- that's not in relation to
9 another disaster that's occurred or some clinical
10 incident, it's just -- it's probably to do with the fact
11 we got guidance from the Department and I'm reminding
12 them that they've got to do U&Es, they've got to do
13 12-hourly electrolyte checks, they've got to do more
14 fluids. All that sort of thing.
15 So you're just reminding staff of something you've
16 already put in place. It doesn't mean there's been
17 another incident. That's just good practice, in my
18 view.
19 Q. Very well, thank you. You referred earlier to the
20 letter from the Chief Medical Officer of 25 March 2002
21 which heralded the publication of the guidelines, and it
22 appears at 012-064c-328 and 329.
23 Just two questions here. The second paragraph, the
24 Chief Medical Officer writes to advise:
25 "Hyponatraemia can be extremely serious and has

222

1 Northern Ireland to do that.
2 When the guidance came out from the Department, it
3 was that you had to assess the need for fluids at
4 12 hours and senior help should be sought if you were
5 going to do more fluids. But we took a different view
6 and we had already instigated a situation where, if you
7 were going to -- anaesthetists would provide fluids for
8 12 hours, that was the agreement, the consensus
9 agreement, and after that period of time, if you wanted
10 more fluids, you had to start again and start with the
11 U&E.
12 So we then at 12 hours were actually demanding a U&E
13 be done, and as a result of that the data that we
14 collected -- this was not a research project, but we
15 collected far more data of U&Es in children than any
16 other hospital, and we were then able to look at when we
17 changed fluids, and we changed fluids from time to time
18 because of responses from the nurses.
19 So when we changed to Hartmann's, we anaesthetists
20 were very happy. I was happy. The nurses were very
21 concerned because No. 18 Solution, the beauty of it was
22 it had sugar in it, and they said to me "But Hartmann's
23 has no sugar". So we had to do six-hourly blood tests
24 on children to make sure their sugar was all right.
25 So in 2002 we changed to half-strength saline and

224

1 I wrote to everybody reminding them again of the need to
2 do U&Es, and then later on we changed to normal saline
3 because in collecting the data we realised that
4 half-strength saline does not bring up a low sodium. So
5 if a child has got a low sodium, and I don't mean
6 dangerously low, it just mean below 138, when you give
7 half-strength saline that remains low throughout the
8 child's stay in hospital, which may not be serious at
9 all.

10 If you change to normal saline, it brings it up to
11 normal. So we're very happy with that. But then we
12 discovered that the chloride levels get very high, and
13 we don't know if that's important or not, but we were
14 concerned about that.

15 So at the end of the day we decided to go back to
16 the beloved Hartmann's solution and to add some sugar to
17 it to keep everybody happy. So that's the solution we
18 finally arrived at, and the reason we arrived at that is
19 because of the continual audit of fluids and
20 electrolytes.

21 Q. So the answer to my question is that you did put in
22 place a system to audit compliance?

23 A. It was rather a long answer.

24 THE CHAIRMAN: But it is important. In fairness, doctor,
25 particularly over the last hour it's important to put on

225

1 into clinical practice in your trust and that their
2 implementation has been monitored. I welcome your
3 assurance and ask you to respond in writing by 16
4 April."

5 And you respond practically immediately at
6 021-041-086 to say in the final paragraph:

7 "Implementation of the guidance is monitored through
8 the trust's incident reporting mechanism."

9 Implementation is monitored through the incident
10 reporting mechanism. That doesn't seem to be audit,
11 that just seems to pick it up when it goes wrong.

12 A. No, it's -- you can audit trigger lists that show if
13 there's a potential for something to happen. So it is
14 gathering data and audit isn't much more than that.

15 Q. I see. And again, one has to ask why -- 021-039-082 --
16 was written. This is September 2004 after this. This
17 is to remind all medical staff treating children that
18 No. 18 Solution is not to be prescribed.

19 So it seems that possibly there was some
20 prescription.

21 A. That refers to the fact that we had now agreed in the
22 paediatric ward -- and I'm talking about medical
23 children here, chairman, where previously they had been
24 very, very loath to move away from No. 18. When we
25 moved to half-strength saline and the consensus

227

1 the record that you implemented the guidelines, plus you
2 added in effect your local twist to them, because you
3 think that improves on them.

4 A. Yes.

5 THE CHAIRMAN: And does the record of what has happened
6 since then show that having experimented or tested
7 different approaches, you now have a well-established
8 system which is working well?

9 A. We have, and it's been internationally recognised from
10 as far away as Australia that actually this is possibly
11 the ideal solution. At the moment, it costs us an arm
12 and a leg because it's £10 a bag, because it's
13 manufactured. But if we could get -- you know, trying
14 to promote the idea of Hartmann's with 3 per cent
15 glucose, there may be an alternative that's already out
16 there but we're very content with the results we've had.

17 MR STEWART: In March 2004 you received a further letter,
18 the chief executive did, from the Department at
19 021-043-089. It refers both to the guidelines for the
20 prevention of hyponatraemia in children and guidelines
21 relating to adults.

22 And the purpose of this letter is expressed four
23 lines from the end:

24 "The purpose of this letter is to ask you to assure
25 me that both of these guidelines have been incorporated

226

1 statement was issued, they were very happy with that.
2 So the change was that nobody in the children's ward
3 should be getting No. 18 Solution.

4 So just after 2001, when I made the change to
5 Hartmann's for surgical children, there obviously was
6 still a use of No. 18, and you will see that in the
7 statistics on those bar graphs, the line graphs that
8 we've seen.

9 And after 2004, you should see that there is no more
10 No. 18 Solution being used, it was potentially still
11 being used in the paediatric side, although they'd
12 agreed to go to the half-strength saline. So I'm simply
13 reminding everybody that, look, we've all agreed in the
14 consensus statement -- and, of course, the next step,
15 the next step was, look, what about I get rid of No. 18
16 Solution completely and throw it out, and that's exactly
17 what I did.

18 So the way to fix the thing is to get rid of the
19 problem. And, of course, as you know, some clinicians
20 objected to that and there was a little bit of
21 argy-bargy, but I achieved what I wanted and I get rid
22 of No. 18 Solution.

23 THE CHAIRMAN: 2006?

24 A. 2006 was the -- as long as it took me to do that.

25 THE CHAIRMAN: Okay.

228

1 A. And there are applications where some physicians wanted
2 to use it, and I understood that, but once they agreed
3 that there were other fluids that they were prepared to
4 use, they allowed me to get rid of it. There are other
5 solutions out there that are even more dangerous, but
6 that's another whole --

7 THE CHAIRMAN: Yes. We'll leave that to someone else.

8 A. -- can of worms.

9 MR STEWART: I have no further questions.

10 THE CHAIRMAN: Mr Quinn?

11 Questions from MR QUINN

12 MR QUINN: One question I do want to ask, which has been
13 asked already by the family: doctor, when did you
14 realise that the fluid calculation that you were relying
15 on in the first meeting after the death was not correct?
16 And I put it into these terms: when you went to the
17 meeting a few days after -- that's the critical incident
18 meeting, a few days after the death, you said one of the
19 points you made in the notes was that you thought that
20 the fluid level, the fluid input was wrong, IV fluid was
21 wrong, when did you realise that what you're saying now
22 is correct?

23 A. The rate was wrong and immediately after the meeting
24 people sat down and actually totted it up. So I came in
25 a bit hot and heavy with the -- I mean, it was an

229

1 and the other mistake made was that we'd given far too
2 much fluid. But immediately after the clinical incident
3 meeting we knew that actually it wasn't an issue of too
4 much fluid, just the type of fluid.

5 Q. Forgive me for saying, was it not raised with the family
6 that one of the issues was that Raychel did get too much
7 fluid?

8 A. The amount of fluid -- as I've explained at length, the
9 amount of fluid in excess that she got over 35 hours
10 amounted to, at worst, 145 ml, which is a very small
11 amount, or 75 ml, which is even less. Like an egg cup
12 full. And you could have given far more fluid and still
13 have been within accepted guidelines.

14 THE CHAIRMAN: That would take account of the argument that,
15 as Dr Haynes said, conceded, it's not universal that the
16 rate of fluid would be reduced post-operatively.

17 A. The rate of fluid reduction post-operatively, as
18 a matter of course, is not followed by 90 per cent of
19 anaesthetists, and that is also in the Way report. So
20 they asked people: what fluid do you prescribe? Do you
21 reduce it post-operatively? And -- sorry, 87 per cent
22 said they did not reduce it post-operatively.
23 2 per cent actually increased it post-operatively. And
24 the remainder said it just depends.

25 So the notion that it was a widely accepted policy

231

1 emotional moment for me because I was really raw.
2 I could not believe what had happened. I came into the
3 meeting and I just looked and I saw the rate 80 ml
4 a hour and I thought, "Look, that's wrong, the litre,
5 that's wrong. Everything is wrong", but when you look
6 at it that was probably an overreaction and in fact
7 at the very end of the meeting people sat down and
8 looked at the amounts.

9 So immediately after the meeting -- and, of course,
10 I was still right, I wanted to stop No. 18 solution, but
11 it no longer became a problem of the amount that was
12 given rather than the solution itself. So it was the
13 solution itself plus the fact that there had been
14 a surgical insult, and then the ADH, and in my mind
15 that is how that was happening.

16 Q. So to encapsulate, you're saying that immediately after
17 the meeting --

18 A. Very soon after, yes.

19 Q. Was it days after, or hours after?

20 A. I believe it was in the next day.

21 Q. So the issue of volume became a non-issue with you,
22 a day or so after the critical incident meeting?

23 A. That's why at the meeting with the family there was
24 never -- I mean, it was raised why, mistakes made were
25 that we had not done U&E, and we did discuss all that,

230

1 of reduction is wrong. What I said was I anticipated
2 that if you were using 80 ml per hour to replace the
3 deficit, it would have to reduce, but only to the 65 ml
4 that would be normal.

5 MR QUINN: But in your mind at that time at that meeting you
6 had two issues in relation to fluid. One was volume of
7 fluid, which you've now told us you've later rethought.
8 The second one was that you'd given the wrong fluid,
9 solution No. 18. Is that correct?

10 A. At the time we thought it was the right fluid --

11 Q. Yes.

12 A. -- but my concern was that the fluid was implicated
13 in the problem.

14 Q. So would you agree that that would be -- what could be
15 defined as a shortcoming in Raychel's treatment?

16 A. Only if you knew that you shouldn't be giving that fluid
17 to children and you willingly did so, but we did not
18 know that and we said that on the day to the family --

19 Q. Apologies, apologies, you're not answering the question,
20 you've already discounted --

21 MR STITT: Mr Chairman, this witness has been going for
22 seven hours.

23 THE CHAIRMAN: Where are we going?

24 MR QUINN: What I'm asking is, he was aware at the meeting,
25 that is a critical incident meeting, that there was

232

1 a shortcoming in relation to the fluid volume, because
2 he only corrected that view the day or so afterwards.
3 THE CHAIRMAN: Yes, he went into that meeting on the basis
4 that there was an excess of fluid given and having -- on
5 leaving the meeting, there's some debate about it, he
6 recalculated it and thought there is a excess but it may
7 not be a significant excess.
8 MR QUINN: Yes. And where I'm going to with this is that
9 I know Mrs Burnside is coming up in the next few days
10 and in relation to what she said at the end of the
11 meeting that was held at the board level in relation to
12 the coroner suggesting there may be no liability on
13 behalf of the trust, I want to then get to the issue as
14 to whether or not shortcomings in any of the treatment
15 or care was discussed at the critical incident meeting
16 a few days after Raychel died. And I'm saying that --
17 because just hold on, I'll get to the matter
18 immediately. If WS032/2, page 15, could be brought up
19 I'll explain my point.
20 WS035/2, page 15. You'll see at (h) at the bottom
21 of the page, this question is a series of questions
22 relating to the critical incident review meeting and
23 whether or not consideration was given to various issues
24 listed below.
25 At paragraph (h) they've asked:

233

1 Mr Quinn put his points to you and if you would be so
2 kind to put them to the witness rather than berating the
3 witness after seven hours.
4 MR QUINN: I'm not berating the witness, Mr Stitt.
5 MR STITT: All right, I'm sorry. I retract that.
6 THE CHAIRMAN: Leave it, it's getting late. I understand to
7 a degree your frustration because it's not entirely
8 clear to me, having heard a number of witnesses, about
9 what exactly was faced up to at the critical incident
10 review, whereas I thought it had been established at the
11 clinical hearings in February and March that at the
12 critical incident review there were a number of
13 shortcomings faced up to, and that's now clouded, let me
14 put it that way.
15 MR QUINN: That's the point I'm making. Thank you,
16 Mr Chairman, you've got the point.
17 A. Mr Chairman, I do not accept that it's been clouded.
18 I do not intend to cloud it.
19 THE CHAIRMAN: Let me put it this way. I had a clearer
20 impression in February and March that various failings
21 had been recognised at the critical incident review.
22 A. The nurses admitted that the documentation was not of
23 the standard they might have expected, they could have
24 done better with the documentation. The recording of
25 the amounts of vomit.

235

1 "Possible shortcomings in the nursing care provided
2 to Raychel Ferguson."
3 You have said:
4 "I don't believe we mentioned shortcomings, but
5 documentation problem were discussed."
6 A. Yes.
7 Q. Why were no shortcomings mentioned when you were aware
8 of shortcomings?
9 A. The shortcoming was not a shortcoming because the fluid
10 that was used was accepted practice, it was used widely
11 in, as I've said earlier at length, in the UK and in
12 other hospitals in Northern Ireland. So the actual
13 solution we were using we believed to be perfectly good.
14 After the meeting, I was saying, "Look, this solution's
15 got a problem associated with it --"
16 Q. Sorry, you've misunderstood again. What about the
17 volume that you knew was incorrect when you entered that
18 meeting?
19 A. But I didn't know it was incorrect.
20 MR STITT: Sorry to interrupt for one second. This question
21 has got to do with nursing. The fluid balance issue is
22 a doctor's issue.
23 MR QUINN: I realise that. I'm coming to the next point.
24 I'll leave that point.
25 MR STITT: I insist at this point, Mr Chairman, that

234

1 THE CHAIRMAN: But I thought you said that that was the
2 standard recording system of plus or plus plus. So if
3 that's the standard system, that's not --
4 A. And if I might finish then. The U&E that should have
5 been done that wasn't done. That was something that
6 potentially could have shown the U&E problem. We don't
7 know if that's the case. If you'd done one in the
8 morning time you'd have had a normal U&E.
9 THE CHAIRMAN: So that may or may not be a shortcoming.
10 A. Well, it wasn't done and it should have been done, and
11 I think the admission in that meeting was that a U&E
12 should have been done.
13 THE CHAIRMAN: Sorry, but that wouldn't be a nursing issue
14 because the nurses don't do the U&E.
15 A. That's correct.
16 THE CHAIRMAN: So if that's a shortcoming, on whose part was
17 it a shortcoming?
18 A. It'd be on the medical staff or it'd be on the nurses
19 saying, "Look, if Dr Zafar had said he thought the
20 fluids were coming down and there was no need to do
21 a U&E in the morning because she was so well", and then
22 that wasn't the case, then the nurses would have told
23 the doctors "Look, we're continuing the fluids", and
24 then perhaps someone might have said at 6 o'clock "Well,
25 look, that's 24 hours or roughly that, maybe we should

236

1 do another U&E". One wasn't done and I think the
2 feeling was that it was always going to be discontinued.
3 That was the reason why it wasn't done. And I've
4 explained the doing of a blood test on a child is
5 unpleasant for everyone.

6 THE CHAIRMAN: Yes, but let me be more precise. In essence,
7 if I picked you up correctly, that's a shortcoming by
8 Dr Devlin at 6 o'clock-ish when he comes in and
9 administers the anti-emetic because Raychel hasn't made
10 the expected recovery and is vomiting to the extent that
11 she needs an anti-emetic. So the criticism that was
12 agreed in the absence of Dr Devlin at the critical
13 incident review was that Dr Devlin should have organised
14 a U&E.

15 A. Or the surgeons in charge of her case should have done.
16 He's not a surgeon, he was just a doctor on the ward who
17 was helping out, and he probably didn't look at the
18 fluid balance chart but the surgeons should have known.

19 THE CHAIRMAN: Yes, but for the surgeon to know that he
20 surgeon would have to attend her.

21 A. Yes, I believe that they should have contacted the
22 surgeons saying "Look, this is not going as we thought,
23 we should do a U&E here", and that wasn't done, and that
24 was discussed at the meeting, and also at the meeting
25 with the family, and we talked about the fact that U&Es

237

1 relevant point in her care and treatment?

2 THE CHAIRMAN: Let's start, we were discussing the
3 3rd September 2001 meeting with Mrs Ferguson and her
4 sister. I was concerned about your use of the phrase
5 "firing questions", which you then moved away from, but
6 was one of those questions or issues which was raised by
7 the family about what they believed to have been
8 Raychel's severe and prolonged vomiting?

9 A. Yes, it was. They said -- well, for a start it's
10 a statement they said, but Raychel was vomiting
11 profusely and there was blood in her vomit. And then
12 there was an explanation that vomiting does occur after
13 surgery, and I then explained how blood can get into the
14 vomit, and there was a lot of -- when I said the firing
15 of questions, what I meant was it was the -- it wasn't
16 the way the meeting --

17 THE CHAIRMAN: You don't need to -- don't worry about the
18 firing of questions, because we've already covered that.
19 Let's move on. When Dr Sumner's report comes in, he
20 appears to agree with the family's analysis of the
21 vomiting.

22 A. He does.

23 THE CHAIRMAN: Then Dr Warde's report comes in and he too
24 seems to agree with the analysis. Now, at that point
25 how come it doesn't occur to somebody "Look, actually

239

1 are very difficult, no one wants to do them and for all
2 the best reasons it wasn't done. Eventually one was
3 done, which showed the very low sodium, but by that
4 time, as we now know, it was too late. But not at the
5 time, we didn't know that.

6 THE CHAIRMAN: Okay.

7 MR QUINN: My second point is this, and the family have
8 asked me specifically to raise this point, and it is
9 a rather emotive point. Mr Chairman, the witness used
10 the term that the family were firing questions at the
11 people assembled in the meeting in September 2001, and
12 I want the witness to confirm that one of the questions
13 that they were firing at him was that Raychel was
14 vomiting in a severe and prolonged fashion. That's
15 point number 1.

16 And I then want you to ask, Mr Chairman, through
17 you, that when he got the report from the expert
18 witness, Dr Warde, did he not feel that the parents had
19 a point -- or Mrs Ferguson and her sister had a point in
20 raising this issue about severe and prolonged vomiting,
21 and if he did think they had a point that that was
22 correct after seeing both Dr Sumner's report and
23 Dr Warde's report why did he not go back to the parents
24 and confirm that in fact Raychel did suffer from severe
25 and prolonged vomiting and that it might be a very

238

1 the family's right. The family's right about the severe
2 and prolonged vomiting". So insofar as the
3 recollections of the critical incident review end with
4 Dr Fulton being unable to reconcile or you being unable
5 to reconcile the views of the family on the one hand and
6 the nurses on the other, there are then two experts'
7 reports which come in, which are pretty much in the
8 family's camp. So why wasn't that recognised and faced
9 up to?

10 A. For me, it was a matter of regret that we did not meet
11 again after that meeting. And I did say that I was --
12 I would go through the chart, I would feed back to them
13 about the fluid meeting on the 26th. I would do
14 everything in my power to make changes, all those
15 things. And the family didn't -- the meeting was --
16 there was no success from that meeting because they left
17 the meeting with a completely different view than I had.

18 I thought that we had been open and honest and
19 helpful, and I would have looked forward to helping them
20 with other questions that they might have had. And that
21 would have been an opportunity to say, "Look, it does
22 look like the vomiting was worse than we thought". But
23 that did not arise.

24 THE CHAIRMAN: No it didn't happen, and next time in fact
25 that the family saw the trust in any substantive way was

240

1 at the inquest when the nurses were giving the evidence
2 that this was normal post-operative vomiting.
3 A. That was their contention and that was the basis upon
4 which I did everything --
5 THE CHAIRMAN: I don't want to go over it again. But I've
6 made the point more than once before about if the nurses
7 are being unrealistic or not facing up to what went
8 wrong, and their records aren't reliable, does somebody
9 not say to the nurses, however sympathetically you do
10 it, "This just isn't the way it reads", rather than
11 simply adopt their line, which is not supported by
12 expert evidence. We've all been with people who make
13 mistakes and sometimes you have to say to them, "That's
14 just not right".
15 A. I accept your point you're making.
16 THE CHAIRMAN: And the fact that the nurses were holding to
17 this view, notwithstanding the fact that the records
18 were incomplete -- I mean, forget about the vomiting
19 plus or plus plus because I don't think that's the
20 family's big point, it's a way of measuring, and there's
21 always a degree of subjectivity in it. But the family's
22 big point is that the number of vomits wasn't accurately
23 recorded. And, of course, if the number of vomits isn't
24 accurately recorded it throws off any argument or it
25 certainly damages any argument that the nurses are

241

1 heard the nursing staff and you heard doctors, and you
2 formed a view.
3 The whole point of having witnesses turn up before
4 a coroner is so that he can be in the same position as
5 you are and form a view as to how much vomiting there
6 was.
7 THE CHAIRMAN: That's right up to a point.
8 MR STITT: But the two experts can't do that.
9 THE CHAIRMAN: No, but --
10 MR STITT: They're in a room somewhere doing their report.
11 THE CHAIRMAN: No, Mr Stitt, that's right up to a point.
12 But what happened here was that the trust went along
13 with the nurses' position without a proper investigation
14 of whether the nurses were right or not because they
15 weren't interviewed in the way that was asserted to the
16 coroner. And you don't just go in front of the coroner
17 and say, "This is the line that our nurses want to take
18 so we're putting it out to the coroner". Surely
19 a public body has a responsibility to say to itself
20 internally, "This is a line or a view which is held",
21 even if it's held honestly by the nurses, "But before we
22 advance that on behalf of the trust, let's examine it
23 closely and see if it actually stands up to scrutiny".
24 Now, I don't see any evidence that it was examined
25 before the inquest.

243

1 making about how severe the vomiting was, because the
2 more that Raychel is vomiting, the more one is driven to
3 conclude that this is prolonged and severe.
4 A. I agree. I think the documentation has to show more
5 clearly the volumes, estimated volumes, because the
6 point you made before was that different nurses are
7 recording at different times.
8 THE CHAIRMAN: Yes.
9 A. And if one nurse had observed the whole thing, then
10 maybe it would have been a different view that they
11 took. Each nurse had a smaller --
12 THE CHAIRMAN: Yes, but it's more than that, doctor, I'm
13 afraid, because some of the vomits simply were not
14 recorded. It's quite clear to me on the evidence that
15 we heard in February that a number of vomits were
16 missed.
17 MR STITT: Mr Chairman, may I respectfully suggest you have
18 summed it up well by saying, "It's perfectly clear to
19 me -- you've summed up your opinion well by saying "It's
20 perfectly clear to me on the evidence which we heard
21 in February". Now, those words are important "on the
22 evidence we heard in February".
23 You found yourself in a position to make a value
24 judgment, you heard the family on the one hand, you
25 heard other people who had been in the ward and you

242

1 MR STITT: I don't. I know the letter to which you refer.
2 We're all familiar with that.
3 THE CHAIRMAN: Yes.
4 MR STITT: But the fact of the matter is, nonetheless, the
5 nurses obviously had a view on the thing. They gave
6 their evidence and, on top of that, there's other
7 evidence, which may not be worth a candle -- I'm not
8 going to comment --
9 THE CHAIRMAN: Okay.
10 MR STITT: -- or it may be that parts of it are very solid
11 about the general condition about the child throughout
12 the day. I'm not here to make a case at this stage in
13 2013, especially in the light of last Friday. But what
14 I am saying is that if we go back in real time to the
15 coroner's inquest, I respectfully submit it was not
16 unreasonable of the trust to suggest to the coroner that
17 he might like to hear from the nursing staff, and he
18 accepted that invitation.
19 THE CHAIRMAN: Yes, but he accepted the -- well, we're going
20 over the ground. He accepted that invitation on the
21 basis that it was asserted to him that the nurses had
22 been interviewed and this was their evidence.
23 MR STITT: We haven't seen the basis for that, I accept
24 that.
25 THE CHAIRMAN: Okay.

244

1 Mr Quinn, does that cover your points?
2 MR QUINN: Thank you.
3 MS GOLLOP: Sir, may I ask just one question?
4 Questions from MS GOLLOP
5 MS GOLLOP: Very briefly, I'm here representing Dr Jenkins,
6 so you know what I'm doing here.
7 Can you tell us, in June 2001, when Raychel was an
8 inpatient at the hospital, did the hospital have
9 a protocol or a policy on fluid balance management?
10 A. Not that I'm aware of. A specific policy saying who
11 should prescribe it or ...
12 Q. I wouldn't know what the contents might be, but did it
13 have any sort of a protocol, practice, for the
14 management of fluid balance?
15 A. Not that I'm aware of. It may have had, I wasn't aware
16 of it.
17 Q. Did you see Dr Jenkins' report and letter?
18 A. I saw his report. I'm not sure which letter you're
19 referring to.
20 THE CHAIRMAN: Well, there were three exchanges with
21 Dr Jenkins: an initial report, a response to Dr Warde,
22 and then the report which went to the coroner. Did you
23 see all of those?
24 A. In the course of the gathering information for this,
25 I have. At the time I was -- to be honest, I was

245

1 A. I would have, and I suppose I would have gone to the
2 nursing side to see, "What documentation do you have for
3 that type of thing?" I don't recall having done that if
4 that's an answer to your question.
5 MS GOLLOP: Thank you.
6 THE CHAIRMAN: Anything else from the floor before I come to
7 Mr Stitt? No?
8 Mr Stitt, do you have anything for the doctor?
9 MR STITT: No.
10 THE CHAIRMAN: Doctor, thank you very much. It's been
11 a little bit longer than we'd hoped for, but unless
12 there's anything more that you want to say at the end --
13 A. Only to say that I've had a long experience of 34 years
14 in anaesthesia, and I consider myself to be very
15 experienced, and I have seen desperate situations,
16 disasters, bombings, shootings, awful situations where
17 you're dealing with relatives. So you never get used to
18 it, and it's always awful, but for me the story of
19 Raychel Ferguson is on a par with the worst thing that
20 I've ever seen.
21 And secondly, I did give a commitment to
22 Mrs Ferguson -- I don't know if she remembers it or
23 not -- but I did say that I would do my very best to
24 ensure that changes were made and I believe that I've
25 tried to do that and I'm hoping that she understands

247

1 unaware of the Jenkins report, I was unaware of the
2 Warde report, I was only aware of the Sumner report. My
3 recollection --
4 THE CHAIRMAN: Sorry, I thought you said to me earlier on
5 that you must have been aware of Dr Warde's report --
6 A. I --
7 THE CHAIRMAN: But you can't remember it now.
8 A. Well, I accept that, because I was the medical director,
9 and I would be very surprised if they hadn't told me.
10 It's just I have no recollection. I have never met
11 Dr Jenkins and didn't know much about him, and I don't
12 remember his being asked to do a report. I have a very
13 poor recollection about that, but I've seen them since,
14 so I have seen his report.
15 MS GOLLOP: And last question. He produced his first report
16 in November 2002. One of the things he said in that
17 report was that he would like further information about
18 whether the nurses had acted in accordance with proper
19 practices at the hospital for fluid balance observation,
20 management and so on, and asking if there was practice
21 or a protocol. If you had been asked whether there was
22 such a protocol and whether you could provide -- or,
23 through you, further information could be provided to
24 Dr Jenkins, you would presumably have assisted with that
25 request, wouldn't you?

246

1 that that's been my intention all along.
2 THE CHAIRMAN: Thank you very much, doctor. Thank you.
3 Tomorrow morning, ladies and gentlemen, at
4 10 o'clock, with Dr Fulton. Thank you.
5 (5.30 pm)
6 (The hearing adjourned until 10.00 am the following day)

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

248

I N D E X

1
2
3 DR GEOFFREY NESBITT (called)1
4 Questions from MR STEWART1
5 Questions from MR QUINN229
6 Questions from MS GOLLOP245
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25