

Monday, 2 September 2013

1
2 (10.00 am)
3 (Delay in proceedings)
4 (10.10 am)
5 THE CHAIRMAN: Good morning. Mr Stewart?
6 MR STEWART: I call Mrs Therese Brown, please.
7 MRS THERESE BROWN (called)
8 Questions from MR STEWART
9 THE CHAIRMAN: Is your name spelt Therese but you're called
10 Teresa?
11 A. Yes.
12 THE CHAIRMAN: Thank you.
13 MR STEWART: Good morning, Mrs Brown, you were good enough
14 to give us a witness statement WS322/1 on 28 June of
15 this year. Are you content that the inquiry should
16 adopt that as part of your formal evidence today?
17 A. Indeed, I think in the statement there are one or two
18 typos, but if you haven't picked up on them, yes, I'm
19 content.
20 Q. If there are any important errors --
21 A. No, I don't think there are. There aren't any of
22 importance.
23 Q. You have also given us a copy of your CV --
24 A. Yes.
25 Q. -- which appears at WS322/1, page 216. I wonder, could

1

1 coordinator and subsequently risk management director.
2 A. Yes.
3 Q. Your job description is also attached to your witness
4 statement. It appears at WS322/1, page 30. This sets
5 out, across several pages, your principal
6 responsibilities.
7 Can I take you to the bottom responsibility on that
8 page:
9 "To assist and advise senior management on the
10 formulation, maintenance and enforcement of related
11 policies and procedures."
12 Can I ask what those policies and procedures are
13 related to?
14 A. Well, I would believe that -- well, the job description
15 was written before I obviously took up post, it was
16 a new post, but I would believe that the intention was,
17 and my understanding of it when I did take up post, that
18 it was the formulation, maintenance and enforcement of
19 policies and procedures regarding risk management.
20 I would believe that I also would have been responsible,
21 as any manager in an organisation, to ensure the
22 enforcement of any policies that were not of my writing
23 but were in existence within the organisation.
24 Q. Yes, of course. I just wondered whether it might in
25 fact refer back to the previous responsibility, which

3

1 we see that, please. This is the first page. You
2 describe your career in the first paragraph, starting
3 work in the Health Service in 1976, workings a clerical
4 officer, and you remained in the employ of the Western
5 Health and Social Services Board for 20 years in various
6 administration posts, rising, to the time you left, to
7 the post of head of litigation.
8 How many years have you been involved in litigation
9 for?
10 A. Been involved in litigation probably since about 1978
11 in that -- as a band 3 in the department which I worked,
12 which was called the support services department of the
13 board, I would have been involved in receiving
14 litigation letters. So for that long.
15 Q. You move on in the second paragraph to describe how you
16 obtained a degree in 1992 from the University of Ulster
17 at Magee College in public policy and management. You
18 then took a law degree from the University of London in
19 1999, and you then achieved a master of laws degree from
20 the University of Northumbria in 2006.
21 A. Yes.
22 Q. Moving down the page to your career history, we see
23 again head of litigation 92 to 96, and then 1996 to
24 2007, which is the period we're dealing with, you were
25 with the Altnagelvin Trust as their risk management

2

1 was in relation to achieving optimum quality of care.
2 Was that part of your remit?
3 A. Well, the trust -- I'm not a clinician, but the trust
4 in the delivering of healthcare, the optimum would be
5 the delivery of high quality care. So yes.
6 Q. Right. Can we have page 31? At the top you were to be
7 responsible for establishing systems of assessing,
8 preventing and responding to risk, including clinical
9 risk. To what extent did you involve yourself in
10 assessing clinical risk?
11 A. Well, I wonder is it beneficial -- I believe that in
12 1996, when this job description was written, I took
13 a post in, I think it was, early January 2007. Risk
14 management, for all the reasons that have been outlined
15 by the inquiry, was a new and developing thing,
16 particularly in the mainland. I believe I was the first
17 clinical risk manager appointed in Northern Ireland in
18 an acute trust. You know, the first risk management in
19 an acute trust.
20 So obviously, an acute trust is involved in
21 delivering high clinical care. So that is where
22 I believe my responsibilities were for establishing
23 systems, for assessing, preventing and responding to
24 risk within the trust.
25 Now, it was such a new phenomenon, there was a big

4

1 aspect of it was -- in the creation of the post was
2 because we had become a trust in April 2006 -- or 1996,
3 there were lots of health and safety statutory
4 responsibilities as well, so it was -- I always believed
5 it was to be a total risk management role path crossing
6 clinical and non-clinical risk.
7 Q. Because one of the things you did after arriving at the
8 trust was to help, I think, Ms Duddy and Dr Fulton
9 actually produce a strategy for clinical governance.
10 A. Yes.
11 Q. So --
12 A. Clinical risk, I think it might have been called.
13 Q. Clinical risk?
14 A. Clinical risk, yes. Sorry, no, the strategy for
15 clinical governance, yes. Yes, you're right. Yes.
16 Q. That's right. You were said to have coordinated the
17 development of that strategy.
18 A. Yes.
19 Q. What did you do?
20 A. I would have been responsible for gathering --
21 researching the evidence that was in place in the
22 United States. Australia was very majoring in risk
23 management and across the world in the United Kingdom.
24 So it was about researching all of the evidence that was
25 around the world regarding risk management, and -- so

5

1 that was really what I saw my role in doing was, sorting
2 together all that evidence.
3 We had a few brainstorming sessions, if I recall
4 correctly, and then I would have done a first draft of
5 the paper based on all of that, trying to reference
6 articles, which I think are referenced in the document,
7 and then helped formulate the strategy on that basis,
8 and the strategy then would have gone to the senior
9 management team in the trust.
10 Q. You used Miriam Lugon's book, which we have referred to.
11 A. Yes.
12 Q. Presumably the NHS risk management manuals?
13 A. Yes. I remember on my very first day in post, I think
14 it was the chief executive or the then director of
15 nursing, but I remember being handed a copy of the risk
16 management manual in the NHS because I hadn't seen it
17 before that point.
18 Q. That's this booklet, isn't it?
19 A. Yes, I actually hadn't seen it --
20 Q. 1993, sir, Risk Management in the NHS.
21 A. I actually hadn't seen it before the interview which
22 I got, which I had -- so how did I manage to get an
23 interview without having seen it? But I hadn't seen it
24 before.
25 Q. Yes. So obviously you read it carefully and --

6

1 A. Yes.
2 Q. Because you were sent off to research what other people
3 were doing about clinical governance and risk management
4 elsewhere, in a sense when it came to writing the
5 strategy you were writing your own job, were you?
6 A. No, I wouldn't believe I was writing my own job.
7 I thought my job was in the job description. I think
8 whenever I was writing the strategy I was trying to
9 inform the senior management team with the medical
10 director and the director of nursing, I think we -- it
11 was -- you know, we were -- although I might have
12 physically typed it up, we were writing a strategy for
13 the senior management in the organisation, not --
14 I don't see it as writing my job. We were writing what
15 was being done elsewhere and what was being identified
16 as being good practice.
17 Q. Just to go back to the screen again. The second
18 paragraph you had responsibility to liaise with the
19 medical director --
20 A. Yes.
21 Q. -- on medical negligence issues.
22 A. That's right, yes.
23 Q. Were you and he really the two lead individuals on
24 medical negligence cases?
25 A. Well, there was a scrutiny committee that had been

7

1 established and -- well, again, there wasn't -- whenever
2 I came to the trust that was one of the first things we
3 did, establish a scrutiny committee. It was based very
4 similarly on -- well, the clinical claims committee is
5 what it was called, the scrutiny committee. I had
6 worked in the Western Board dealing with litigation
7 claims, so -- and I believe all trusts followed
8 a similar process for establishing a committee where
9 they would review new claims that were received, and the
10 medical director, the director of nursing in the
11 Altnagelvin Trust sat on it, which was unusual from
12 my -- in the board, the director of nursing hadn't sat
13 on that, and myself and the solicitor sat on the
14 scrutiny committee.
15 Q. I'm not sure that Ms Duddy told us the other day that
16 she did sit on that committee.
17 A. Yes, she did, yes.
18 Q. She did?
19 A. She did.
20 Q. I'm grateful. Can I refer to page 321-004fd-005. This
21 is the policy for management of clinical risk 1997,
22 which I assume was one of the documents you drafted, and
23 we can see there a description of the trust scrutiny
24 committee chaired by the medical director with yourself
25 and the trust solicitor and an ad hoc member as

8

1 required.
2 A. Yes.
3 Q. So I take it the ad hoc member was in fact the director
4 of nursing?
5 A. Yes, and she did say that she sat -- I'm sure she said
6 in her evidence that she did sit on it.
7 THE CHAIRMAN: It was also mean in a particular case, if it
8 was a paediatric case, a paediatrician might join for
9 that meeting or somebody from another department,
10 depending on what type of case it was?
11 A. Chairman that was always the plan that we would bring
12 individual clinicians. Yes, there could have been
13 a radiology or a radiography case. So, yes, that was
14 always the option.
15 THE CHAIRMAN: Thank you.
16 MR STEWART: Indeed, you can see halfway down that list of
17 square points, the paragraph beginning:
18 "Decide which cases to be settled or a defence
19 maintained ... delegated by the trust board, taking into
20 account the views of the consultant involved."
21 So there is a mechanism for taking the views of the
22 consultant.
23 A. Yes. Yes. That was probably -- and particularly if the
24 trust was considering that we should defend -- we should
25 perhaps settle a claim or negotiate a settlement, and

9

1 without an admission of liability in a particular case
2 then if a consultant or someone felt that they were not
3 happy with that, then you would always take their views
4 into consideration regarding what their views were on
5 the litigation.
6 Q. So the individual consultant could block your view
7 in relation to --
8 A. No, no --
9 Q. -- whether to defend a case or settle?
10 A. -- I'm not saying -- but you would want to take their
11 views into consideration as to how you may well discuss
12 the settlement and feed back to them. You wouldn't want
13 them just to hear in the press that a claim had been
14 settled if they had said they'd always wanted to defend
15 it.
16 Q. I see. Let's go back to your responsibilities at
17 WS322/1, page 31. Your responsibilities continue, it's
18 almost like a counsel of perfection.
19 To about the fifth paragraph down:
20 "To develop a systematic process for the
21 identification, assessment and control of actual and
22 potential risks and losses throughout the trust. That
23 sounds like a fairly broad undertaking. What did that
24 mean?
25 A. Well, the whole terminology of risk management is all

10

1 those terms. It is identification -- and this job
2 description was written before I went into post so
3 I didn't write it. But that is the term of risk
4 management, identify, assess. Once you've assessed you
5 see what the controls are for the risk and see how then
6 you will manage that risk in the future.
7 So it really is just using risk management terms,
8 that's what I would understand it meant and that's what
9 I understood my job was to do. So when you became aware
10 that a risk existed you assessed the severity of the
11 risk and then you assessed what the current control
12 measures were and whether they were appropriate or not
13 appropriate.
14 Q. So if, in other words, by whatever means, audit or
15 review or benchmarking, you became aware of an issue to
16 be addressed or problem area, potential risk, then your
17 responsibility was to do something about it, was it?
18 A. Well, I would believe that my responsibility was not
19 always to -- that the individuals if they were aware of
20 a risk, it was their responsibility to try to do
21 something about it. I think my responsibility would be
22 to let the trust know if I felt that the risk was not
23 being managed appropriately. I don't know that I could
24 physically always do something about the individual
25 risk, but perhaps make proposals to improve how it could

11

1 be resolved.
2 Q. You're aware of this extraordinary clinical governance
3 phrase of "closing the loop"?
4 A. Yes. Absolutely, yes.
5 Q. In other words, making sure that if you're alerted to
6 a problem --
7 A. Yes.
8 Q. -- that you put into place some sort of method of fixing
9 it and you make sure that's in place and working
10 properly. Was that part of your remit?
11 A. Yes.
12 Q. Over the page, finally, to page 32. We find you
13 responsible, I think the fifth paragraph down:
14 "To secure the monitoring and effective management
15 of risk across the trust."
16 The postholder is required to comply with all trust
17 policies. I take it that was an important part of your
18 job?
19 A. Yes. I think that is something that goes into every job
20 description at a management level, that you must comply
21 with all trust policies -- that's existing policies --
22 and standing financial instructions.
23 Q. It'd be fairly strange if it was otherwise, wouldn't it?
24 A. Yes.
25 Q. Your witness statement, which is at 322/1, page 1,

12

1 advises as to the various committees and panels that you
2 sat upon at the time. 2001 is the period we're
3 interested in, which starts off at the top there,
4 internal trust committees was the health and safety
5 committee, which doesn't concern us. Also you sat in
6 2001 on the clinical incident, clinical audit and, as we
7 mentioned the scrutiny committee.

8 A. Mm-hm.

9 Q. How often did these committees meet in 2001?

10 A. Um. Now, I -- sorry, do you want to talk about the
11 health and safety committee?

12 Q. Let's move on to the clinical incident committee. How
13 often would it have met?

14 A. Well, the clinical incident committee in actual fact
15 I know there was some discussion regarding that on
16 Thursday --

17 Q. Yes.

18 A. -- and there was a suggestion that it met every month,
19 and I know in my statement I've said it met every month.
20 I believe it did meet every month, but time goes on
21 because through -- I went back to the clinical incident
22 files in the trust on Friday morning and I discovered
23 in the files with -- because incidents were -- incident
24 forms were received, clinical incidents were received,
25 and they were filed in a file, and then we met and

13

1 discussed them; I believed it was every month, but that
2 was -- as the numbers increased it was quarterly, it
3 appeared to have been quarterly, because I've got -- so
4 ever three months, so you looked at the incidents that
5 have come in over the last --

6 Q. Would it have been at the end of March, end of June, end
7 of September?

8 A. That was the plan, yes. But then -- yes, but as it
9 moved on, and there was too many incidents to discuss,
10 then it became a monthly meeting. It's currently
11 a monthly meeting. Well, medicines governance is.

12 Q. Was it minuted?

13 A. No, it wasn't minuted. I've actually -- excuse me,
14 chair, but maybe just to clarify. In 2001, the
15 department of nursing and risk management -- the risk
16 management department was basically me. I mean, there
17 was no admin support. I'm not a secretary, you know,
18 I'm not a typist, but I can type, but -- so in 2001,
19 there weren't minutes done, the minute wasn't minuted,
20 but there were agendas, which I developed, and there
21 were action notes, and the incidents would all have been
22 summarised in a spreadsheet and they would come along to
23 the meeting.

24 Those have managed to be -- those minutes or those
25 action notes and agendas have been provided to DLS to

14

1 provide on to the inquiry. I found them on Friday
2 morning, just to clarify.

3 Q. I'm sorry; you found them on Friday morning?

4 A. Yes.

5 Q. And they will be forwarded in due course after your
6 evidence is complete; is that right?

7 A. Yes.

8 THE CHAIRMAN: No. I want to see them before then. When
9 are they available, Mr Stitt?

10 A. Well, the originals are here.

11 MR STITT: We thought we had forwarded them.

12 MR STEWART: I haven't seen them.

13 MR STITT: The witness no doubt can explain why it was
14 Friday morning, but that's not the point. The point
15 is that the documents are with the DLS, they've got to
16 be looked at purely from a confidential -- I mean,
17 a patient --

18 THE CHAIRMAN: To delete references to all the patients?

19 MR STITT: That's it, and that's being done.

20 THE CHAIRMAN: Okay. Do I take it from that, then, that
21 there are references in the records that you found from
22 2001 to Raychel?

23 A. No.

24 THE CHAIRMAN: So although other incidents, incident forms
25 were received in 2001 about other patients, there are no

15

1 references to Raychel?

2 A. No.

3 THE CHAIRMAN: If you delete the references to other
4 patients in the agendas and in the action notes, what's
5 left if you delete the references to other patients?
6 What's left for us to see?

7 A. You can see the agenda and you can see the action notes.
8 There were some general issues being discussed.

9 THE CHAIRMAN: Okay.

10 MR STEWART: We'll just go through this bit by bit. Were
11 there minutes?

12 A. No.

13 Q. Ms Duddy gave evidence the other day that all clinical
14 incident committee meetings were minuted.

15 A. I think she changed that and she recalled it later --
16 she --

17 THE CHAIRMAN: She did change that and said --

18 A. That is why I knew they weren't minuted. And, chair, if
19 I can apologise, I didn't believe -- I never believed
20 there were minutes of those meetings, so that's why they
21 were never provided before because I knew they weren't
22 minuted.

23 MR STEWART: Have you located, then, the agendas of the
24 meetings of 2001?

25 A. Yes, that's what I've located.

16

1 Q. Have you located the action notes?
2 A. Yes, as crude as they are, because, I mean, they really
3 are a one-page, you know, it's about the general issues.
4 Because each incident was put on to a spreadsheet and
5 the action against each one of those incidents is
6 documented on the spreadsheet, so it's really -- it's
7 really as crude as they are.
8 Q. All right. Was dilutional hyponatraemia discussed even
9 if Raychel Ferguson's was not?
10 A. No, not at those meetings. There's no record of it
11 being discussed at those meetings.
12 Q. Well, if her case wasn't discussed at this committee,
13 why wasn't it discussed at this committee?
14 A. Because it's very -- Raychel Ferguson case has been
15 discussed at length. You know, it's not -- it hasn't --
16 it isn't documented as being discussed at those
17 meetings. I'm not saying it wasn't discussed, it
18 doesn't appear on the agenda. It -- there was
19 a critical incident meeting for this incident. So it
20 was -- this wasn't a clinical incident, this was
21 a serious critical incident. So it didn't fall into the
22 routine clinical incident summaries where we were
23 discussing other incidents. That was the purpose of
24 that meeting, to look at the incidents that had come in
25 in the previous three months and look at those and take

17

1 action regarding those. That was the purpose of the
2 meeting.
3 THE CHAIRMAN: Does that mean that the incidents which were
4 reported on the incident forms and discussed by the
5 clinical incident committee were incidents which were
6 typically a lot less serious than Raychel's case?
7 A. Absolutely.
8 THE CHAIRMAN: So if Raychel's case is the subject of
9 a critical incident review, in effect it doesn't end up
10 before the clinical incident committee; is that the
11 distinction you're making?
12 A. Well, the thing is because the clinical incidents were
13 the summary of incident forms that had come in. If
14 something had been -- we had developed the critical
15 incident protocol, as you know --
16 THE CHAIRMAN: Yes.
17 A. -- later on in November. The clinical policy was
18 in February 2000 and then, later in 2000, we developed
19 the critical incident protocol. This was a serious --
20 this was the most serious incident you could get.
21 THE CHAIRMAN: Okay. Well, then, just by way of
22 illustration, Mrs Brown, the sorts of incidents that are
23 referred to on the clinical incident forms might be
24 what?
25 A. Well -- and the summaries, I have lifted them out. The

18

1 summaries are there, they would be some, perhaps, the
2 wrong patient's name on the patient, you know, a sticker
3 in their chart, a medication error, a patient almost
4 getting the medication for another patient. And why --
5 those, I know those -- and someone getting maybe
6 infusion running in too quickly, it's meant for four
7 hours and it runs in over an hour. I'm not saying
8 they're not serious incidents, they are serious
9 incidents, but the outcome would not have been serious
10 for the individual patient, and that's what makes them
11 not a critical incident.
12 THE CHAIRMAN: Right.
13 MR STEWART: So in other words, if a form had been filled
14 in, it would have come before the clinical incident
15 committee?
16 A. If a form had been filled in, it would have been on the
17 summary of the sheets, but that would have been probably
18 reviewing the summary of those sheets at the end of
19 three months. This had happened in June, it potentially
20 could have been discussed in July if you were waiting on
21 that process.
22 THE CHAIRMAN: I can understand that, how it would be wrong
23 to say that the clinical incident committee dealt with
24 minor issues, that's putting it too low, but they didn't
25 deal with anything as serious as the death of a patient.

19

1 A. Yes, chairman, and that's why we came up with the
2 terminology of critical incident. I know a lot of
3 people always struggle with that in the trust, wherever
4 a clinical incident then became a critical incident
5 because all clinical incidents are serious and
6 important.
7 MR STEWART: Was there a committee that would deal with
8 critical incidents?
9 A. No. No. Each critical incident was dealt with as a --
10 now, I mean, I'm -- can I say that I'm fairly content --
11 but there weren't a series -- there weren't a lot of
12 critical incidents, so a critical incident was a very
13 serious thing. Normally someone dying that you -- so --
14 I mean, this was the most serious of serious things. So
15 I don't know that you needed as a committee to meet to
16 discuss all of the -- because they would have been dealt
17 with individually.
18 Q. Yes, because we've looked in vein --
19 A. Yes.
20 Q. -- for reference to Raychel's case being discussed at
21 board level, being discussed in any other committee.
22 A. Chairman, I -- I have to tell you that I am so concerned
23 about the fact that the trust board minutes are missing
24 for the time when I believe it was discussed, which is
25 for the July 2001 board meeting. I'm sure it must have

20

1 been discussed there. The files are still there, there
2 have been -- I mean, there have been so many searches
3 done to try to find --
4 Q. What is your theory for why those particular minutes, as
5 opposed to others, have gone missing?
6 A. Well, can I tell you -- I mean, this is my theory, but
7 I mean -- because, chairman, I have been searching for
8 these for so long there's a trail of e-mails to the
9 chief executive secretary, could they have been typed on
10 their computer, but I think people used discs in those
11 days as opposed to type -- saving them on their hard
12 drive. My theory is that those minutes came out for the
13 purposes of this inquiry to give to -- you know, that's
14 my theory. And whoever took them out should never have
15 taken them out without taking a photocopy. I know it
16 wasn't me that took them out and didn't replace them,
17 but I know they must exist somewhere and there have
18 been --
19 Q. Who else could have got them out if it wasn't you?
20 A. I don't know.
21 Q. Because it was your job to --
22 A. I fully accept that, yes. Can I tell you, that I would
23 want them -- I would want them to be there, so it
24 doesn't help me not having them, so it does cause me
25 great concern that they don't exist. I can only

21

1 apologise, I cannot find them.
2 THE CHAIRMAN: I can't assume that there's something damning
3 of the trust in them, and that's why I haven't got them.
4 If I don't have a document it's dangerous for me to make
5 assumptions, but you will understand, Mrs Brown, how,
6 given some other events in the case, how it is
7 particularly unfortunate that these documents are
8 missing.
9 A. Yes.
10 THE CHAIRMAN: I put it no higher than that for the moment.
11 A. Yes, chairman, I fully accept that.
12 MR STEWART: You said a moment ago when I asked you about
13 whether her case was discussed, you said it was
14 discussed at length.
15 A. Yes.
16 Q. Where?
17 A. I know it's hard to say, you know, where and when it was
18 discussed. This -- this was -- as I said before, this
19 was the most tragic of tragic events. It's been
20 discussed since it happened. I mean, it's still being
21 discussed today, it's being discussed in this inquiry,
22 so it's been discussed -- it's been discussed at length.
23 It hasn't been documented that it's been discussed, and
24 I accept that.
25 Q. How many committees are there? Did you meet, for

22

1 example --
2 THE CHAIRMAN: Let me ask about one other particular
3 committee that Ms Duddy referred to. She referred to
4 the risk management standards committee, which does have
5 formal minutes.
6 A. Yes.
7 THE CHAIRMAN: Now, did that committee discuss Raychel's
8 case?
9 A. I believe -- Ms Duddy believed there was a risk
10 management standards committee at that time. I never
11 believed there was. I didn't think they sat until 2003.
12 And in the agendas that I have found on Friday morning,
13 there is a reference to trying to discuss the
14 relationship between the risk management in
15 October 2002, on the agendas, the relationship between
16 the risk management committee and the clinical incident
17 committee. So I still don't believe it sat until early
18 January 2003. I'm not sure if those -- if the minutes
19 of 2003 have not been found but I thought they had. I'm
20 not sure.
21 Q. Was there a clinical governance committee at that time?
22 A. No, there definitely wasn't a clinical governance
23 committee. And I know there is -- there's a clinical
24 governance steering group, and I know there's reference
25 in the annual report, but there wasn't a clinical

23

1 governance committee. I don't believe that there was
2 a clinical governance committee.
3 Q. The 1999/2000 annual report of the trust tells us under
4 "Clinical governance and quality":
5 "A clinical governance committee has been
6 established and will provide assurance to the trust
7 board the procedures relating to it are in place and the
8 trust is functioning effectively."
9 You say that didn't exist.
10 A. There was a clinical governance steering committee,
11 which was established, I believe, under the chair of the
12 chief executive. Well, no, the chief executive asked
13 for a clinical governance steering committee to be
14 established. That -- you saw the draft clinical
15 governance strategy, which -- which you've referred to,
16 in 1998, and then there was a further clinical
17 governance strategy, which was the final strategy, which
18 was approved, I think, in 2002 at hospital management
19 team. And that was the -- the clinical governance
20 committee I am sure, but I could be wrong, didn't sit
21 until February 2003.
22 THE CHAIRMAN: What makes you -- sorry, what leads you to
23 come up with the date of February 2003?
24 A. Because I think it's in the annual report, the annual
25 clinical governance report that it sat in February 2003.

24

1 MR STEWART: If we look at the page in front of you on the
2 screen, you'll see that you have given the date as 2002
3 for your membership of that committee.
4 A. Of the?
5 Q. Risk management standards committee.
6 THE CHAIRMAN: No, sorry, we're talking about --
7 A. We're talking about the clinical governance committee.
8 I think the earliest the risk management committee
9 was -- based on my recollection, was about December --
10 November/December 2002. I believe that, I'm not sure if
11 that's true. I can't find my diary to confirm that.
12 MR STEWART: Can I ask who writes these annual reports on
13 behalf of the trust?
14 A. Um. I don't -- I wasn't involved in writing -- I don't
15 know. Who wrote it in 1999/2000, I'm not sure who wrote
16 it.
17 Q. It'd be a very serious matter, would it not, for a trust
18 to claim things --
19 A. Yes.
20 Q. -- when they don't exist?
21 A. Yeah, I think that -- I do believe -- I do believe
22 that's a misinterpretation of the -- I think that should
23 have been a clinical governance steering committee.
24 I do believe the word "steering" is out of that. That's
25 my belief. I'm not sure if I'm right but that's my

25

1 belief.
2 THE CHAIRMAN: Mrs Brown, the difficulty for me and for
3 everybody here is that if you're right that the clinical
4 incident committee would not have discussed something as
5 serious and gross as what happened to Raychel, and if
6 you're right that the risk management and standards
7 committee didn't actually meet until late 2002/2003, but
8 you're right that Raychel's case was discussed at
9 length, what we're struggling to find is documentation
10 to show that it was discussed at length and what those
11 discussions were.
12 A. Well, chair, I fully -- I fully take your criticism, but
13 there was -- there was a critical incident review, there
14 was the update for the chief exec, there was -- there
15 was a lot of correspondence between clinicians. So
16 there was a file that was kept, and those documents that
17 were produced arose from discussions. They weren't in
18 formal meeting settings, that's the point I'm trying to
19 make. So they were meetings with clinicians, managers,
20 and then there were memos, letters. So, I mean,
21 everything isn't discussed in a formal meeting setting.
22 I understand, you know, that -- the importance of that.
23 THE CHAIRMAN: I don't think anybody would say that every
24 discussion about every point of Raychel's case has to be
25 recorded or that every discussion between doctors has to

26

1 be recorded, but what we should find are some records of
2 the essential meetings that did take place, and what we
3 don't have, by way of example, is we've got an action
4 plan for the critical incident meeting on 12 June, and
5 we've been told about people like Sister Millar speaking
6 out about lack of support from doctors and so on, but we
7 don't have records.
8 A. Well, I think in the update, which I gave to the
9 chief executive, I referred to the concern that
10 Sister Millar -- that was -- and that is referenced
11 where -- and Mrs Burnside, the chief executive, then
12 asked for that to be actioned. So that arose out of
13 a discussion that I had with Sister Millar. So --
14 MR STEWART: That arose out of a discussion you had with the
15 entire nursing staff, Mrs Doherty, Mrs Witherow,
16 Sister Millar, Sister Little, the auxiliary nursing
17 staff, where certain points were agreed, but yet
18 notwithstanding agreement of points, notwithstanding
19 undertakings by Sister Millar to train people, there was
20 nothing that was put in writing?
21 A. Well, there is the update for the chief executive.
22 I mean, I fully understand the concern that you have
23 that these are not minuted. Again, I'm stressing --
24 I mean, the admin support to do all of these things,
25 it would have been much better if there had been

27

1 a minute taken of that meeting.
2 Q. Let's go to 022-097-307. Is this what we're talking
3 about? This was your update to the chief executive --
4 A. Yes.
5 Q. -- on 9 July, and you see at point 4, a meeting has been
6 held with everyone of importance in the nursing -- and
7 to discuss in detail, the following has been agreed,
8 point, point, point, point, point.
9 Point (g):
10 "Sister Millar to be involved in the training of
11 staff."
12 A. Yes.
13 Q. That's a fairly detailed thing. That must have
14 generated paperwork, documentation, and a note of
15 precisely what was agreed before it was reduced by you
16 into typewritten form?
17 A. Sorry, I'm not quite sure what -- what paperwork are you
18 talking about?
19 Q. In order to produce this document, there must have been
20 a trail of paperwork. This didn't suddenly come out of
21 the ether.
22 A. Well, that was me, I wrote it. And it was, you know --
23 I don't know that there was a trail of paper -- there
24 were different fluid -- if I -- there were different
25 fluid balance charts shown, they weren't all attached,

28

1 I accept that. But there was -- I mean, I believe that
2 was a recording, for what it was worth, of the meeting
3 I had. I know it's not a perfect minute, it's not
4 a minute, but --
5 Q. This isn't a recording of a meeting, it's an update to
6 the chief executive.
7 A. Yes, but point 4 is summarising what had happened at the
8 meeting.
9 Q. You must have a terrific memory.
10 A. No, sorry, I don't remember it. I don't remember the
11 meeting at all. But that is the things -- sorry, I'm
12 not quite sure what point -- what your point is
13 regarding this.
14 Q. In order for you to draft this memo update to the
15 chief executive, in order for you to draft paragraph 4
16 in the detail you did, you must have had to hand notes
17 of that meeting and precisely what had been agreed at
18 that meeting.
19 A. That -- I don't have -- I don't have those notes. If
20 the notes had been there ... I ... I'm sorry, yes,
21 I can see your point.
22 THE CHAIRMAN: It starts off, the first line is:
23 "This is an update relating to the agreed action
24 highlighted by Dr Fulton."
25 A. Yes.

29

1 THE CHAIRMAN: So that's a reference to Dr Fulton's action
2 plan.
3 A. The six points.
4 THE CHAIRMAN: Okay. So the outcome of -- the documentation
5 we have about the meeting on 12 June is Dr Fulton's
6 action plan.
7 A. Mm-hm.
8 THE CHAIRMAN: What we then have is your update about what
9 has happened since over the intervening, say, two to
10 three weeks, and it's brought together by you in a very
11 specific, coherent form. But Mr Stewart's point is, in
12 order for you to reduce all these points to A, B, C, D,
13 E, 3, 4, 5, 6, you must be working from notes either
14 that you've made or other people have made. Because you
15 couldn't have written that on 9 July, Mrs Brown, without
16 having some note or history before you.
17 A. I believe I received it from Mrs Witherow. I can't
18 recall. There's no point in me speculating. I accept
19 your point.
20 THE CHAIRMAN: When it says about the meeting at point 4, of
21 the nurses' meeting in effect, was that a meeting you
22 were at?
23 A. I don't know. I may have been. I don't know the way
24 that's written. I don't recall the meeting. I do
25 remember seeing a lot of fluid balance sheets, and

30

1 I don't know if it was at that meeting that that
2 happened.
3 MR STEWART: I would assume that when you're engaged in work
4 such as this, which is preparing an update for the
5 chief executive no less, that you would have opened
6 a file in the office --
7 A. Yes.
8 Q. -- on Raychel Ferguson case.
9 A. Yes.
10 Q. Critical incident review, updates, progress.
11 A. Yes.
12 Q. Where's the file?
13 A. Well, that is the file. I mean, if I can just maybe
14 clarify for you. Every document that I had that was
15 provided to me and all -- and in a lot of my paper
16 notes -- I opened a file on the day that this started,
17 on the day that the critical incident meeting happened,
18 and every document was chronologically put into a file.
19 So I had what I called then an individual file. And
20 why it was called an individual file is because it
21 wasn't a medical negligence file, it wasn't -- you know,
22 it was an individual file, so it was a file numbered.
23 And I had a file and every document that I had went into
24 that file. And that file has been -- the -- it actually
25 became two files, and they were provided to the inquiry

31

1 as -- and they're on the website -- as individual file 1
2 and individual file 2.
3 Q. Perhaps as we go through your evidence, we'll bear in
4 mind whether individual points in the narrative would
5 have given rise to documents and whether or not they
6 would have found a place in your file.
7 A. Yes, yes.
8 Q. Can I ask you, did you customarily meet with the nursing
9 sisters or consultants as part of your work?
10 A. Well, I know we're talking -- we're talking 2001 and
11 I was in post since 1997. I would have -- I had
12 launched the clinical incidents policy. Something I was
13 really passionate about was trying to get a clinical
14 incident policy, and you might think three years is
15 a long time to get one, but it was getting evidence from
16 others across the water, trying to encourage incident
17 reporting.
18 So I know at the time that I launched that policy
19 I went round all the teams, all the team meetings, to
20 share the new incident form. Because, before that,
21 incident forms were mainly accident forms, it was really
22 for the health and safety purposes. So this was
23 something new, it was incident forms.
24 So I would have met a lot of people at meetings.
25 THE CHAIRMAN: Right. Just to get it clear, that's the

32

1 nursing team, the surgical team, paediatric team and so
2 on?
3 A. Yes.
4 THE CHAIRMAN: Thank you.
5 MR STEWART: But that was relating to one particular
6 initiative?
7 A. Yes.
8 Q. You didn't have regular periodic meetings with different
9 members of the clinical staff?
10 A. Depending on the circumstance of the risk that was
11 identified. It was very much dependent on after the
12 policy was launched it was a chance then to go and work
13 with individuals whenever an incident happened to see
14 maybe -- you know, particularly if a trend came through
15 in an area to see if something else could be done.
16 So, I mean, I have to say that it was all about
17 trying to sell the idea of risk management. It wasn't
18 particularly easy to sell this new idea of risk
19 management, I thought, but in actual fact I had a lot of
20 people who were interested. Dr Fulton was particularly
21 interested in trying to learn from incidents.
22 So in actual fact, we had a risk management
23 conference six months after I started post to try to
24 sell it. So it was about being seen and letting people
25 know the benefits of risk management.

33

1 THE CHAIRMAN: Sorry, just to go back to a point. That's
2 fine, and let me make it clear that the work that was
3 done on critical incident policy is at least keeping
4 Altnagelvin up to date, if not maybe in some respects
5 putting your head above what's going on. So there is
6 absolutely no criticism of that.
7 But the point that you were making a few moments ago
8 that you made a point of going to all the teams to show
9 them the new incident forms, was that so that a critical
10 incident would be reported in a coherent way and that
11 would be the trigger for the critical incident review?
12 A. Well, no, that was really for clinical incidents, chair.
13 I wasn't talking about critical incidents at that stage.
14 The clinical incident policy that I -- was launched in
15 February 2007, it was a fairly formal launch, if I can
16 recall, it was telling them to use the form, and the
17 purpose of the form was so whenever I saw it, I would
18 know -- it sort of led them to different headings and
19 the type of information you would want to know. So that
20 was the purpose of it.
21 MR STEWART: Let's just look at it. It's at 321-004ff-001.
22 This is the first page. Perhaps we can go to 002.
23 February 2000, the policy for the reporting of clinical
24 incidents.
25 There we are. We can see in the left:

34

1 "Clinical incident reporting is first and foremost
2 an opportunity to learn and to improve our practice and
3 secondly it acts as an early than warning of impending
4 clinical negligence claims."
5 And then at the top right-hand side:
6 "Procedure for reporting clinical incidents. It is
7 extremely important that any clinical incident should be
8 reported on the appropriate documentation."
9 So may I take it from the use of the word "any" that
10 that would in fact encompass a critical incident?
11 A. Chair, yes, it was always my -- you know, it was my
12 expectation that incident forms should be used for all
13 incidents, but it didn't mean that it must. I mean, the
14 purpose of the incident form was to provide the format
15 for reporting the incidents with -- the facts of the
16 information were there. Now, it was about alerting to
17 a report. It was making sure that the -- I knew that an
18 incident had occurred so that -- and the purpose of
19 saying that it should be reported on the appropriate
20 documentation was so that the facts were clear at the
21 time whenever the form came in. That was the purpose of
22 that.
23 Q. Yes. But, of course, it did not happen in this case?
24 A. No, it did not happen in this case. It was reported
25 directly to the chief executive.

35

1 Q. And it's a question of whether or not the policies and
2 procedures ought to have been followed or were followed
3 that we're interested in. Because if the protocols are
4 not followed, then things perhaps sometimes fall by
5 the wayside, aren't completed, and the end result is
6 that there are deficiencies.
7 A. I'm not quite sure ... I think the reporting of
8 clinical incidents was to make sure that incidents would
9 be reported. So I'm not sure that the fact that it was
10 reported, because it wasn't on the form on this
11 occasion, was a concern. I had always said -- and in my
12 going around perhaps -- in my going around to staff, to
13 try to encourage doctors in particular to report
14 incidents. I was very clear that I would accept an
15 incident in any way. I accept that form wasn't filled
16 in on this occasion.
17 Q. The paragraph continues:
18 "All incident forms will be sent to the risk
19 management coordinator [yourself] who will inform the
20 chief executive, medical director and director of
21 nursing as appropriate."
22 Why did you deem it inappropriate to inform the
23 director of nursing?
24 A. I don't know why. The director of nursing would have
25 been informed of this death. I believe I informed her

36

1 of the death the first chance I saw her. The
2 chief executive and the medical director had been
3 informed, and the critical incident meeting -- they were
4 informed on, I think, it was the Sunday. The critical
5 incident meeting was on the Tuesday. I think it was
6 later in the week, whenever the director of nursing --
7 she wasn't in the building, I believe -- came back.
8 I don't know why the director of nursing wasn't informed
9 but --
10 Q. She wasn't informed until after the critical incident
11 review meeting had ended.
12 A. Well, that's right. I can only say that the
13 chief executive was informed by -- immediately. The
14 medical director was informed and the critical incident
15 meeting was established. I wouldn't have -- I mean,
16 I know the chief executive wanted a meeting held as soon
17 as possible. So ... I wouldn't wait on all three
18 people to be told before an incident would be
19 reviewed --
20 THE CHAIRMAN: Her best guess is she that she must have been
21 out of the trust doing something.
22 A. Yes.
23 THE CHAIRMAN: Do you think that but for that it's
24 inevitable that Ms Duddy would have been at the critical
25 incident review?

37

1 A. Chairman, the thing is that Ms Duddy and I, her
2 secretary -- I more or less shared her secretary. So --
3 and her secretary's office was actually off my office,
4 and we were -- I mean, every morning we came in -- you
5 know, she came into her secretary's office and I was
6 there. So I would not have kept something like this
7 death that -- you know, so that minute I would have seen
8 her I would have told her about -- I didn't telephone
9 her. I accept I didn't telephone her.
10 MR STEWART: In fact, you wrote this document, did you?
11 A. I ... That is the final draft. I wrote -- there were
12 a few drafts of that document before. There was a lot
13 of discussion in the organisation regarding that
14 document based on documents that were in England, and
15 there wasn't a similar document in Northern Ireland. So
16 it was -- I mean, it's a very crude policy. Now, I mean
17 I look back now, it's not the way a policy should be
18 written, but it was a policy in 2001 --
19 Q. I'm not criticising --
20 A. I am.
21 Q. There is no criticism of the policy, merely adherence to
22 it. Did you also develop the protocol --
23 A. Yes.
24 Q. -- what's called the critical incident protocol?
25 A. Yes.

38

1 Q. That appears at 022-109-338.
2 A. I did, yes.
3 Q. You've described in your witness statement how in fact
4 you developed this and you based it upon Miriam Lugon's
5 suggestions and advice from her book Making it Happen,
6 Clinical Governance.
7 A. Yes, sorry, yes.
8 Q. We had a look at the advice in Miriam Lugon and it
9 appears -- we've got the pages. They appear at
10 317-034-002.
11 At the bottom of the page you will see the author
12 says:
13 "The claims manager ..."
14 I take it that would really be you?
15 A. Yes.
16 Q. "... will need to be notified immediately so a copy of
17 the documentation can be secured and a file created
18 identifying that patient's administrative details, the
19 list of staff involved, a chronological summary of the
20 clinical events, worksheets and other relevant legal
21 information. Staff must be interviewed and statements
22 taken."
23 A. Yes.
24 Q. Then it goes on through the rest to the bottom of the
25 page 95 there to describe the process of taking

39

1 statements, and then at the bottom:
2 "The actions of the organisation must be transparent
3 and if negligence is identified during the
4 investigation, this should not be hidden as it will
5 serve no purpose and undoubtedly these facts will come
6 to light during the legal process."
7 So this was the advice you got.
8 I wonder, can we go back to your critical incident
9 protocol at 022-109-338. You have chosen not to say
10 that statements must be taken.
11 In the middle of the page you suggest that staff may
12 be asked to complete a statement containing factual
13 information of their involvement to assist in the
14 investigation, but note these statements may be
15 discoverable in the event of future litigation.
16 Why did you choose to depart from the advice of
17 Lugon and not make statement taking a mandatory part of
18 the process?
19 A. This would have been in -- the reason why -- Dr Lugon in
20 her book, she is talking about the critical incident
21 meeting under the claims management process, so she's
22 very focused on claims management at that stage.
23 We were trying -- Dr Fulton, who was the medical
24 director, and I were both working very clear on looking
25 at the guidance that was coming out from America, from

40

1 some of the United Kingdom, and from the whole
2 Organisation with a Memory document that had come out in
3 2000, which was about trying to learn from incidents.
4 So it was really -- this -- the purpose of this
5 protocol was to try to follow a protocol that was
6 identifying learning. So it was about keeping the
7 processes separate, although interlinked, and I think
8 that's where the reference to the future of litigation
9 is mentioned in there. I mean, I can't recall -- that's
10 my general recollection of my thinking. I don't know
11 exactly why it was left, I can't remember exactly why it
12 isn't in there.
13 Q. Her advice could not be clearer: staff must be
14 interviewed and statements taken. It seems, might
15 I suggest, very strange that you've decided to ignore
16 her advice?
17 A. But she has put that under the claims management process
18 of it.
19 Q. No --
20 A. I know she's talking about a critical incident protocol,
21 but it's under the heading under the claims management
22 section in her book, if you see up at the top.
23 Q. Yes.
24 A. So this was about trying to identify systems failings
25 and learning. It wasn't about -- and absolutely,

41

1 I mean, statements should have -- you know, statements
2 are good because statements can reaffirm what people
3 say. I'm not saying that they shouldn't be done. But
4 the purpose of this protocol was about trying to have
5 a system for having what we'd heard was happening in
6 England, was these root cause analysis investigations
7 where people got together and tried to identify what
8 systems failings there might be, and that was the
9 purpose of this. It's probably not very clear now from
10 this in retrospect.
11 Q. In that case, staff should have been interviewed
12 individually. That doesn't find its place in your
13 protocol.
14 A. No, that -- in actual fact, again, this -- basing --
15 working on the guidance, it wasn't that staff should be
16 interviewed individually. What it was -- this was a new
17 way of everyone in the team getting together to
18 chronologically go through the history to have what we
19 at that time started calling round-table meetings. This
20 was the very first one of these that we did. So it was
21 about everyone getting -- chronologically trying to
22 identify what the systems failings might be.
23 THE CHAIRMAN: I think a concern might be that, yes, do have
24 a critical incident protocol, but when you specifically
25 add a note to the critical incident protocol that

42

1 statements which were made in the context of a critical
2 incident review may be discoverable in the event of
3 future litigation, you're militating against the
4 openness with which people will engage with the critical
5 incident protocol. Because in effect, you're saying on
6 the one hand we're going to have a full investigation
7 into this critical incident and we're going to learn
8 lessons from it, and on the other hand, you're saying to
9 them "But don't forget, whatever you say to us in the
10 context of this review might be used in any litigation
11 if the trust is sued". So isn't there an inherent
12 contradiction?
13 A. Well, chair, I fully accept the point that you're making
14 there, but in actual fact this was a step down to try to
15 prevent that. In my thinking, where Miriam Lugon had
16 suggested in her book, you know, about the trust
17 solicitor being there, and I do say there may be -- you
18 know, that -- she says a trust solicitor should be
19 present.
20 I was -- you know, my thinking at the time was about
21 trying to move away from that. I can understand in
22 retrospect how you can see that but that was not what
23 the thinking at the time was.
24 THE CHAIRMAN: Was that put in because -- I mean, you have
25 said that -- I think you said a few minutes ago that you

43

1 were advocating this policy and the clinical incident
2 policy and some people might have been a bit harder to
3 bring along with it than other people were.
4 A. Yes.
5 THE CHAIRMAN: Was that one of the reservations that people
6 had about it?
7 A. I think it was. I mean, chair -- I mean, this is
8 a fact. I mean, it is a fact that statements could be
9 discoverable in the event of future litigation. And
10 yes, there were reservations. And as late as, believe
11 it or not, 2005/2006, I think it was Dr Nesbitt and
12 I spoke to a group of staff from Dublin and they were
13 not even -- you know, they at that stage were not doing
14 this, and this was in 2005. So, yes, it was -- and it
15 was clinical staff.
16 THE CHAIRMAN: I understand that, this is one of the key
17 problems in the inquiry because Dr Carson says in terms
18 this still happens today, there's still the tension
19 between investigating things on the one hand and
20 doctors, primarily doctors but also nurses, being open
21 and candid about what has gone wrong on the other hand,
22 and it's this culture of defensiveness which he and
23 others have said have bedevilled the whole system.
24 As you'll know generally, Mrs Brown, one of my
25 concerns is that if you wanted an awful example of how

44

1 that culture has bedevilled the system, it's Raychel's
2 case, with people's reluctance or failure or refusal to
3 face up to and admit what happened. In a nutshell,
4 that's my big concern. And I think the big concern for
5 the families is that lessons aren't learnt because
6 people don't want to spell out what those lessons are,
7 because to spell out what those lessons are, you have to
8 face up to what was done wrong, and there's a reluctance
9 among doctors and nurses to do that.

10 Now, do you think that's unfair?

11 A. I do think that's unfair because, chairman, I have to
12 say I have never -- I mean from I launched in policy in
13 2000 -- and if you go back over the incidents I was
14 receiving 20 incidents -- clinical incidents in the
15 first -- you know, you can see them incrementally going
16 up. Staff did want to make -- I mean, clinicians --
17 I find -- I do find it harsh, but that's my view,
18 I mean, because I have never felt people saying to me
19 "I don't want to be involved in that investigation
20 because", you know -- you know, they do, they want to
21 learn from.

22 It. Perhaps I have the advantage of saying this is
23 about learning and trying to encourage learning and --
24 so ... But that's your view, chair.

25 THE CHAIRMAN: It's not. I mean, the reason I'm listening

45

1 to evidence, Mrs Brown, and the reason why I want to
2 hear from important people like you in Altnagelvin is to
3 say whether this view which is shaping is fair or
4 otherwise. I think that some people might think there's
5 a difference between, on the one hand, somebody being
6 willing to complete a clinical form, which of course
7 they should do, to say there was a wrong name on medical
8 notes, somebody almost got the wrong medication. Those
9 are important things to refer to make sure there isn't
10 some fault in the system, which can't be corrected.
11 That's one thing.

12 But when a child has died or a patient, maybe less
13 dramatically, has had inadequate or wrong treatment,
14 which has set back their health, that's perhaps a more
15 stark thing for people to face up to. And a lot of the
16 evidence I've heard -- Sister Millar came to this
17 inquiry and said that Raychel was recovering well on the
18 Friday afternoon, and she wasn't. She said that Raychel
19 received a very high standard of nursing care in Ward 6.
20 She didn't. Sister Millar came to the inquiry and said
21 that, and that statement is made in 2005, long after.
22 It's quite clear that both of those statements are
23 wrong. If that isn't a culture of defensiveness and
24 a failure to face up to the reality of what happened,
25 what is?

46

1 A. Chair, I accept your point. At the current induction of
2 junior doctors, I am a second person on to speak to them
3 in our trust now, after the medical director, and the
4 point that I make is about the importance of incident
5 reporting, the importance of learning. So that's
6 still -- that is my feeling and my view on what we
7 should be doing.

8 THE CHAIRMAN: Okay.

9 MR STITT: Mr Chairman, if I may respectfully say perhaps
10 and ask you to revisit the last observation.
11 I respectfully suggest perhaps you're being a little
12 harsh by pointing out one witness, whose evidence
13 you have correctly, if I may say so, surmised. That was
14 her opinion. Now, you may not accept that, that's
15 within your --

16 THE CHAIRMAN: But Sister Millar doesn't accept it.

17 Sister Millar said she was wrong. But my concern,
18 Mr Stitt, is she was still saying these things that she
19 can't stand over long after the inquest, and long after
20 it must have been blindingly obvious that things were
21 wrong.

22 MR STITT: Yes. I'm not going to argue that point. The
23 point is this, to go from the particular to the general,
24 which is what you're doing, and saying that's evidence
25 of a culture of defensiveness, in itself it could well

47

1 be, of course, but perhaps it's a little unfair to
2 target the whole trust because of that one piece of --
3 THE CHAIRMAN: My concern is that Dr Carson has said that
4 this was and remains a general concern. So when I make
5 the point about you're suggesting that I'm tarring the
6 trust, my point is even broader than that. My point is
7 this appears to me to be a significant problem within
8 the whole Health Service. It's not just Altnagelvin,
9 but Altnagelvin is part of it.

10 MR STITT: Certainly Dr Carson, when I listened to his
11 evidence, was talking provincially within the whole of
12 the province of Northern Ireland.

13 THE CHAIRMAN: Yes, and in a sense, on a general level I'm
14 not singling out Altnagelvin as being worse for being
15 defensive than any other trust is, but that appears to
16 be a general problem. We happen to have a rather stark
17 example of it with Altnagelvin in this incident.

18 MR STITT: With this witness.

19 THE CHAIRMAN: With that witness. I will listen, obviously,
20 to all the evidence, but the evidence I've heard to date
21 suggests that in this incident there was a reluctance to
22 face up to a number of things which had been done wrong.

23 MR STITT: I know you will consider all of the evidence.

24 THE CHAIRMAN: Thank you.

25 Mr Stewart.

48

1 MR STEWART: Just looking at the middle of the page in front
2 of us in relation to who should attend the critical
3 incident review, it finishes:
4 "On occasions the trust solicitors may be present."
5 Was there any consideration on this occasion to
6 involving the solicitors at this stage?
7 A. No, no, there wasn't.
8 Q. What type of occasions would prompt you to engage, to
9 include the solicitors?
10 A. We have never engaged the solicitors at a clinical
11 incident meeting. I mean, again, it's very hard to
12 really get across. The lack of evidence that there was
13 out there on what should happen, so this was from --
14 Dr Lugon talked about solicitors and the legal point.
15 We have never in the Western Trust -- or, sorry, in the
16 Altnagelvin Trust there was never solicitors present at
17 a critical incident meeting.
18 Q. What type of occasions would you have envisaged where
19 they might be present?
20 A. I don't know. I was probably using the guidance that
21 was in the document.
22 Q. This is a terribly rare case --
23 A. Yes.
24 Q. -- it's a desperate case. There's word coming back from
25 Belfast, which is critical, of the healthcare she

49

1 received at Altnagelvin, wrong fluids being mentioned.
2 A. Yes.
3 Q. Surely those alone would be an indication a solicitor
4 perhaps should be there.
5 A. I don't think so. I know the chief executive never
6 intended it, the medical director who I was supporting
7 in the meeting -- I don't think so.
8 Q. The medical director was Dr Fulton --
9 A. Dr Fulton, yes.
10 Q. -- who said that people were not willing to have the
11 meeting minuted, they would rather have legal advice on
12 that issue. Surely that alone, they'd rather have legal
13 advice, that would suggest that a solicitor might or
14 should have been present?
15 A. I believe that came from the people who were at the
16 meeting. You're saying -- the trust solicitor was not
17 invited. It was never my intention that they would be
18 invited. I don't believe it was the intention of the
19 chief executive or the medical director they be invited.
20 I don't ...
21 Q. Very well.
22 THE CHAIRMAN: Just to give me an idea of numbers, can you
23 give me an estimate offhand of how many critical
24 incident reviews there were in Altnagelvin from, say,
25 2000 to date? Would there be -- just give me an idea,

50

1 Mrs Brown. Are there two a year, three or four a year?
2 A. I think you're probably right on perhaps the three or
3 four a year. That might even be an exaggeration.
4 They've got increased now because there's now a category
5 of incident that we must report under the Health &
6 Social Care Board's guidance. So at that time there
7 wasn't really any guidance about what should be classed
8 as a critical incident. So there would have been maybe
9 two/three.
10 THE CHAIRMAN: Have there ever been solicitors present at
11 those meetings?
12 A. No, no. I have not been at a meeting where there's been
13 a solicitor present at a critical incident meeting.
14 I could be corrected but I can't recall it. Not one
15 that I've facilitated.
16 THE CHAIRMAN: Thank you.
17 MR STEWART: The whole purpose of these meetings is to
18 identify the problems if they exist and to learn
19 lessons.
20 A. Yes.
21 Q. And what Professor Lugon was very keen to point out was
22 that you create a file with a list of the staff
23 involved.
24 A. Yes.
25 Q. You didn't make a list of the staff involved, did you?

51

1 A. I didn't, no. I didn't at the meeting. I mean, I --
2 there was a list -- I believe there was a list of staff
3 involved -- drawn up at a later stage. But at the
4 meeting we chronologically -- I think Dr Fulton has put
5 down a list of some of the staff.
6 Q. He did that after the meeting.
7 A. Yes.
8 Q. First of all, can I ask, why did you not put that
9 advice, create a list of all involved in the protocol?
10 A. I don't know.
11 Q. And then why didn't you do it when you came to the
12 review?
13 A. The critical incident -- at the critical incident
14 meeting?
15 Q. Yes.
16 A. I believe Dr Fulton was doing that. And you're
17 completely right, at the moment, if you have a meeting,
18 there is a list goes round and everyone is asked to sign
19 their --
20 Q. But that's a list of those who attend.
21 A. Yes.
22 Q. It's not a list of those involved.
23 A. Sorry, yes. The chronology would now be prepared.
24 Should have been -- it was -- we went through
25 a chronology of the time and event and I know Dr Fulton

52

1 did notes of who the relevant people were.
2 Q. But he did that later.
3 A. I thought he actually wrote the note at the meeting,
4 but --
5 Q. If he'd wrote a note at the meeting, he has not provided
6 it to the inquiry.
7 A. I think the note that is provided, I thought he had
8 taken --
9 Q. The note that he has provided quotes, for example,
10 Dr Gund's statement, which was prepared in
11 December 2001. It was not contemporaneous.
12 A. I don't think he's quoting Dr Gund's statement, I think
13 he's quoting Dr Gund as being involved. I mean, that's
14 just -- Dr Fulton can clarify this, but I think what
15 he was doing there was identifying who all the staff
16 were. That is what I believe that document was.
17 Q. All right. In any event, you chose not to include this
18 in the protocol and you didn't do it. What about the
19 chronological summary, whose responsibility would that
20 have been? Lugon says it would have been you.
21 A. Yes, it would have been me.
22 Q. You didn't do that?
23 A. No.
24 Q. What about gathering together worksheets, for example
25 rotas in order to assist in the identification of the

53

1 staff involved?
2 A. That wasn't done. I didn't think there was an issue
3 regarding the -- I mean, it should have been done, it
4 wasn't done, and I don't -- I think we knew who the
5 staff were that were involved at the time, whenever we
6 went through the chronology.
7 Q. I don't think you did because when Dr Zafar's name
8 emerged in December of 2001, six months later, that came
9 as a surprise to you because you hadn't seen his name on
10 the notes.
11 A. I hadn't seen his name but I knew that Dr Zafar --
12 Dr Zafar and Mr Makar, had been -- there was discussion
13 at the meeting that they had come to the ward. I hadn't
14 requested a statement from him, I should have requested
15 a statement from him, and I had written -- I wrote to
16 the coroner to tell him that.
17 Q. We'll find you a letter in a moment. I think Dr Zafar's
18 involvement came as a surprise to you because you hadn't
19 seen his name in the notes, and you said that in
20 a letter, which I'll trace in due course.
21 A. I said I hadn't requested a statement from him as he had
22 not written in the notes. It didn't mean that I didn't
23 know that he had been there the next morning because he
24 had already -- I mean, I think there was discussion
25 at the meeting that he had come up to the ward, so

54

1 Sister Millar had mentioned him at the meeting.
2 Q. Can we go to 160-207-001. This is the very end of the
3 year, 31 December, and you got in Dr Johnston's
4 statement, which you're sending on to your solicitor,
5 and you note Dr Johnston makes reference to Dr Curran.
6 A. Yes.
7 Q. Mr Zafar:
8 "I have not requested reports from these doctors as
9 they have not written in the notes."
10 A. Mr Zafar had written in the notes.
11 Q. Yes, he was the only entry for 8 June.
12 A. That's right, yes.
13 Q. So you didn't know that he had written in the notes and
14 you hadn't asked him for a statement at that stage, six
15 months on.
16 A. No, I did know that he had been -- he had written in the
17 notes. He had not written in the notes wherever -- the
18 reference by Dr Johnston to Mr Zafar is at the time of
19 Raychel's collapse, which is about three -- sorry, I've
20 forgotten the times. So that is the reference to
21 Mr Zafar and Dr Curran that's mentioned within that,
22 is that it's regarding the collapse and he refers to
23 them in his statements, not in relation to their
24 treatment.
25 Q. You see, Dr Zafar was an important individual to any

55

1 assessment of this case because he was the most senior
2 member of the surgical team to examine -- to actually
3 examine Raychel on the entirety of the 8th. He was the
4 only person to make a note on the 8th and indeed he
5 attended Raychel after her collapse. Yet he wasn't at
6 the meeting.
7 A. No.
8 Q. It looks, I suggest, as though you hadn't previously
9 identified him.
10 A. No, I don't -- I believe I knew -- I believe I knew
11 at the meeting that Mr Zafar had attended Raychel in the
12 morning --
13 Q. Why did you not ask him for a statement before this
14 date?
15 A. I -- because -- I'm trying to -- if you go back to the
16 request from the coroner, he'd asked about the surgeon
17 who -- and I believed that to be the surgeon who had
18 operated.
19 Q. Well, first of all, let's go through the trail of how
20 you got a statement from Dr Zafar. We'll take it now
21 out of turn, but your first letter is the coroner
22 writing to you, 022-081-212.
23 17 October 2001, we are four months on from the
24 critical incident review, and the coroner says at the
25 bottom of the page:

56

1 "I will be holding an inquest. It would greatly
2 assist me if you would arrange to let me have as soon as
3 possible statements from all those concerned with the
4 care and management, including the consultant in charge,
5 the surgeon and the nursing staff."

6 So quite clearly, he's asking you, in very clear
7 terms, for statements from all concerned, including
8 Dr Zafar, obviously.

9 A. Yes. Whenever I realised that I hadn't -- I mean,
10 you will know that I then asked on 31 December for
11 a statement from Mr Zafar. I should have requested
12 a statement from Mr Zafar at that time, I didn't.
13 I accepted that to the coroner.

14 Q. Yes, but it's why you didn't ask Dr Zafar for the
15 statement that I'm interested in. And it looks from the
16 papers as though it's because you simply didn't know he
17 was involved in this case.

18 A. No, that is not -- that is not true. So I apologise,
19 but that ...

20 Q. Let's go through the process of getting Dr Zafar's
21 statement. So the coroner writes to you, 17 October.

22 You reply six weeks later, 27 November at
23 012-050u-261:

24 "Dear Mr Leckey. Just to update and advise, I am
25 in the process of gathering the statements from the

57

1 relevant staff and these will be forwarded to you as
2 soon as possible."

3 He responds to you soon afterwards to say he's still
4 awaiting the statements.

5 You then write to him again in December,
6 012-050r-258, to say:

7 "I have received reports from a number of medical
8 staff involved in the care of Raychel and these have
9 been forwarded to the solicitor CSA and she has advised
10 she will return the reports to me within the next few
11 days, I will forward these to you."

12 So there we are, December, still no report.

13 You then forward to the coroner on 19 December
14 a letter, 012-050p-255. And there you tell the coroner
15 in the final paragraph:

16 "I enclose a list of the staff that I have requested
17 statements from. There are five outstanding and I will
18 chase these up."

19 That appears at 012-050p-256.

20 There's the list of staff that in December,
21 mid-December, six months after the critical incident
22 review, that you got statements from. There's no
23 Dr Zafar there.

24 A. No, that's right. And that's why I then wrote
25 subsequently whenever I identified to the coroner. Can

58

1 I --

2 Q. The question is: why had you not identified him before?

3 A. To request a statement from him?

4 Q. Absolutely.

5 A. That was telling him who I had requested a statement
6 from and then -- can I refer --

7 Q. Sorry, please I must ask this again. Why had you not
8 asked for a statement from Dr Zafar before that date?

9 A. I don't know.

10 Q. Okay.

11 A. Sorry, can I just refer to -- I think it's document
12 022-066 -- I'm not sure.

13 THE CHAIRMAN: 022?

14 A. 066.

15 THE CHAIRMAN: Just give us one moment. 022-066-165,
16 please. This is a note from you to Dr Sumner?

17 A. Yes. I had sent the notes to Dr Sumner at the same time
18 as I sent -- and I sent him the list of staff that I'd
19 requested statements from. I knew he was -- I had --
20 I have identified the staff on the records so I went
21 through the records, letting him see who I had asked for
22 statements from.

23 MR STEWART: "I have identified the staff on the records."

24 You told Dr Sumner, but you hadn't identified
25 Dr Zafar from the statements. That's the point. That's

59

1 precisely the point.

2 A. So -- I didn't send -- but I'd sent a list to the -- I'd
3 sent a list off to Dr Sumner and to the coroner as to
4 who I'd requested statements from. So I believe
5 Dr Sumner was advising.

6 I hadn't requested a statement from Mr Zafar,
7 I fully accept that I hadn't requested a statement and
8 then realised that I did. I don't know if I did because
9 Dr Sumner was back in contact or how -- you know, and
10 I know doctor -- but the reference by Dr Johnston to
11 Mr Zafar is about the collapse, it's not about the --

12 Q. Let's move on. The reason why you eventually go to
13 Dr Zafar is that Mr Gilliland advises you to --

14 A. No, he doesn't.

15 Q. -- let's go to 022-060-159. You have now learnt of
16 Dr Zafar's existence, as we saw in that earlier letter,
17 and you now go to the coroner for advice but rather
18 you go to the surgeon involved in this case for advice
19 and you say you have:

20 "... enclosed a copy of Dr Johnston's report and
21 you'll not that Dr Johnston mentions that he bleeped the
22 surgical SHO who was unable to come immediately. I have
23 not yet requested a statement from Mr Zafar of
24 Mr el-Shaffie. Do you think I should seek statements
25 from them now or should I wait to see if the coroner

60

1 feels it is necessary?"
2 That would suggest that, first of all, you think
3 that a Mr el-Shaffie is involved in this case --
4 A. No, sorry, I didn't. It was Dr Johnston had referred to
5 him.
6 Q. Very well. But you, if you knew who was involved in
7 this case, would have known that he wasn't. And
8 secondly, you haven't requested a statement from
9 Mr Zafar as at 31 December 2001, and you ask
10 Mr Gilliland do you think you should get it. Why do you
11 go to Mr Gilliland?
12 A. I was checking with -- because -- I was checking with
13 Mr Gilliland regarding Mr el-Shaffie, if he had known
14 that he was involved with the case, because my
15 understanding was he wasn't.
16 Q. You write:
17 "Do you think I should seek statements from them now
18 or should I wait to see if the coroner feels it
19 necessary?"
20 In other words, if the coroner hadn't come back and
21 Gilliland had said, "Don't bother", you'd have done
22 nothing?
23 A. I'd also sent the list off to the coroner, and -- sorry,
24 I'm not quite sure -- I've sort of lost my train of
25 thought here. I'm not sure what the point is.

61

1 Q. Yes, you had sent a list to the coroner, we looked at it
2 a moment ago and Dr Zafar's name was not on it. All
3 right.
4 The next letter to the coroner is at the end of
5 January. We're really going quite a long time from the
6 review and quite a long time from when the coroner asked
7 you to get the statements.
8 25 January 2002, which appears at 022-054-151 and
9 022-054-152.
10 You enclose statements. The top of the second page
11 is the first time that the coroner learns about
12 Dr Zafar:
13 "It now appears [it now appears] there is another
14 clinician who I should have asked to prepare a statement
15 for me. Mr Zafar, surgical SHO, who is no longer
16 employed by the trust, saw Raychel on the ward in the
17 morning following her operation. I will now ask him for
18 a statement."
19 So it looks as if you're telling him you've only
20 just come by this information.
21 A. It looks as if I hadn't -- what I'm saying is that
22 I hadn't requested a statement from him.
23 Q. "It now appears that there's another, I should have."
24 A. That's my language there, which -- because I know I knew
25 Mr Zafar was involved.

62

1 Q. Well, then you must have known you should have got
2 a statement from him.
3 A. Exactly, yes.
4 Q. And you didn't.
5 A. I didn't no. I've accepted I didn't get a statement
6 from him and I should have.
7 Q. And had you created that list of individuals involved in
8 this case at the very outset, as Lugon suggested, this
9 problem would not have arisen.
10 A. I agree.
11 Q. If you'd formed a chronology of what happened at that
12 critical incident review meeting, you'd have known
13 exactly who saw her from the notes and you'd have got
14 a report from Dr Zafar immediately, wouldn't you?
15 A. Yes.
16 THE CHAIRMAN: And it's not just Dr Zafar, sure it isn't,
17 because Dr Devlin and Dr Curran aren't on the list.
18 A. Dr Devlin, Dr Curran are not on the list, no, and
19 I didn't request statements from them, they didn't write
20 in the notes at all, and, chair, the normal process --
21 THE CHAIRMAN: I'm sorry --
22 A. I didn't know they were involved, yes.
23 THE CHAIRMAN: The problem is that whatever the depth of the
24 discussion was, they were the last two doctors to see
25 Raychel before her collapse. They were the two very

63

1 junior doctors who were called in by the nurses to help.
2 A. Mm-hm.
3 THE CHAIRMAN: And if you're putting together a review of
4 what happened, your starting point must be to find out
5 exactly who was involved and who prescribed and gave
6 Raychel any treatment. But I understand from what
7 you're saying that you simply didn't know that Dr Devlin
8 and Dr Curran were involved.
9 A. I did, I knew there were junior doctors involved.
10 I wouldn't have identified them. The discussion was
11 around the role of the junior doctors at the meeting.
12 But the notes had gone to Dr Sumner, and this is where
13 I was hoping that someone like Dr Sumner would help
14 identify other clinicians who he felt we needed reports
15 from based on the statements that he'd received.
16 MR STEWART: You had to wait until the following March, the
17 end of March 2002, before you got Dr Zafar's statement,
18 didn't you?
19 A. Yes, he had left the trust and there was difficulty
20 finding an address for him.
21 Q. I'm not sure it was worth waiting for, but let's have
22 a look at it. It's at 160-239-001:
23 "Dear Mrs Therese. I saw Raychel Ferguson on
24 8 June 2001, who had appendicectomy operation on
25 7 June 2001. On my ward round she was free of pain and

64

1 apyrexial, plane [sic] was to continuous observation."
2 You then wrote back to Mr Zafar at 021-001a-002.
3 And you say:
4 "Inquest is now adjourned.
5 "2. I enclose draft statement. Please amend.
6 "3. I enclose a statement from Dr Johnston."
7 When you were asking this witness to amend, what did
8 you have in mind?
9 A. Well, there was discussion with -- I believe, with --
10 Mr Zafar's statement had gone off to solicitors for
11 advice and then Dr Johnston's statement had gone off to
12 solicitors for advice. So the solicitors had come back
13 and said, if I can recall, that Dr Johnston had
14 mentioned that Mr Zafar had come to the ward after the
15 collapse.
16 And then I -- so I was absolutely surprised myself
17 whenever I went back into the evidence and saw that I'd
18 actually sent someone else a statement off to another
19 person, but the reason being, I remember clearly trying
20 to speak to Mr Zafar. I had great communication
21 difficulties with Mr Zafar and he -- I wanted to be
22 clear -- let him see that where he was referenced, and
23 the solicitor had said, you know, for his consideration.
24 The "please amend", it was not ever -- I have never,
25 ever amended anyone's statement or told them that they

65

1 must amend a statement. I know this says "please
2 amend", but it was please amend following a discussion
3 on the advice of the solicitor, which I'd had with them,
4 I believe the solicitor had had with them as well.
5 Q. So do I take it that the solicitor is advising you to
6 advise --
7 A. Yes.
8 Q. -- the witness to amend the statement?
9 A. No, to consider further information and amend if he
10 requires. I mean, I know Mr Zafar said that, you know,
11 he -- clinicians are always reminded that the statement
12 is their statement. There's suggestions that they might
13 want to consider, but it is their suggestion. But he
14 clearly -- I'd had a conversation with him and he now
15 accepted that he hadn't recalled that he'd come to the
16 ward after the collapse.
17 THE CHAIRMAN: So the purpose of the request to amend was
18 for him to make a more complete statement --
19 A. Yes.
20 THE CHAIRMAN: -- by adding a reference to his second and
21 later involvement with Raychel?
22 A. Yes. It wasn't regarding the first one.
23 MR STEWART: Yes, and I take the point that in this case
24 that might have been innocent enough. But would you
25 agree that asking one witness to amend their statement

66

1 in the light of another witness's statement is a very
2 poor practice?
3 A. Well, that was -- I don't know what discussions go on
4 between witnesses whenever they are meeting with their
5 solicitor and who is advising them regarding their
6 statement. But I would believe that if something -- if
7 you've missed something out that you were involved in,
8 then you would want to draw that to somebody's
9 attention. I personally have drawn typing errors to
10 people's attention and, you know, it's up to them if
11 they want to change it or not change it.
12 Q. We're not talking about typing errors.
13 THE CHAIRMAN: No, no, I think it's the failings rather on
14 Mr Zafar's part by not making a rather fuller statement
15 in the first place.
16 MR STEWART: Indeed. And the statement he finally comes up
17 with is only augmented by one additional paragraph, and
18 he doesn't even sign it.
19 THE CHAIRMAN: And [inaudible] exaggerates the depth of it.
20 MR STEWART: Sir, would this be a convenient juncture?
21 THE CHAIRMAN: Yes, we'll take a break.
22 (11.40 am)
23 (A short break)
24 (12.00 pm)
25 THE CHAIRMAN: Mr Stitt?

67

1 MR STITT: Just to go back to the documents to which you
2 made reference earlier. Those are the documents which
3 Mrs Brown found on Friday. The position is that they
4 have been redacted in terms of personal details --
5 THE CHAIRMAN: Okay.
6 MR STITT: -- and they will be e-mailed to the inquiry.
7 I haven't seen the documents. My concern is that
8 there's a possibility that if one takes a date and
9 a certain something on the notes there's a possibility
10 that perhaps in the locale of the Derry, Londonderry
11 area, that somebody on the website one might be able to
12 identify a patient. I don't know that, I'm just
13 speaking from the Bar, as it were.
14 Would it be a worthwhile suggestion for the inquiry
15 obviously to have the documents but perhaps run them
16 past one of the inquiry experts, just to have him or her
17 satisfy themselves that they're sufficiently redacted,
18 because I don't think it's fair on my instructing
19 solicitor to have that responsibility?
20 THE CHAIRMAN: Do you know when they're going to be
21 e-mailed?
22 MR STITT: Any time now.
23 THE CHAIRMAN: If they're through with us by lunchtime, then
24 what I would suggest might be done over lunchtime is if
25 they are broadly along the description Mrs Brown has

68

1 indicated, then I think that will confirm that what
2 happened at these clinical incident meetings was not
3 relevant to Raychel's case.
4 Mr Quinn, sorry, if Mrs Brown's evidence from this
5 morning is correct, it would rather suggest that
6 what was discussed at the clinical incident meetings
7 which were on a quarterly, then monthly basis, is not
8 really relevant to Raychel.
9 MR QUINN: That's correct.
10 THE CHAIRMAN: What I was wondering is if there was a look
11 at the papers involving Mr Stitt, yourself and
12 Mr Stewart, and if that did appear to be what was
13 emerging from the papers, then we could agree that
14 that is the position and move on without necessarily
15 referring to that evidence later, other than to record
16 that the documents have been provided and that the
17 description given earlier by Mrs Brown is correct.
18 Now, that doesn't bring an end to the issue because
19 then we're looking to see where are more relevant
20 documents --
21 MR QUINN: Exactly.
22 THE CHAIRMAN: -- but it might dispense with that point.
23 MR QUINN: I totally agree that that would save time.
24 I agree with that point.
25 THE CHAIRMAN: If it doesn't dispense with that point, then

69

1 we will need to decide how to take it forward, but could
2 we maybe look at that as an idea at lunchtime first?
3 MR STITT: I think that's certainly, sir.
4 MR QUINN: Mr Chairman, I just want to record that I'm very
5 concerned, and I'm waiting for my learned friend
6 Mr Stewart to ask the questions in relation to how the
7 documents were discovered on Friday morning. Because it
8 strikes me that the point I made last week on two
9 occasions when I got on my feet, in relation to where
10 the documents are and why they can't be found now seems
11 even more relevant.
12 THE CHAIRMAN: Well, we'll see, but I'm not sure if the
13 answer to it isn't actually, yes, we have got these
14 documents but they're not relevant. So if what has been
15 described is correct, it means that the trust is now
16 providing us with redacted documents to show that there
17 was a system of clinical incident review but that
18 Raychel did not come within that system of governance.
19 MR QUINN: Yes, I fully accept that, but if one can find the
20 clinical incident review meetings, one could certainly
21 find the most important documents that we now know exist
22 somewhere, and that's the -- particularly the action
23 points because I would have thought, Mr Chairman, that
24 following up whether or not the action points were dealt
25 with is one of the main considerations of your inquiry

70

1 in relation to this part of Raychel's case.
2 THE CHAIRMAN: Yes, it is, and we'll come on to that.
3 I understand.
4 MR QUINN: Thank you.
5 A. Excuse me, chair, could I just perhaps re-clarify again
6 how those particular documents came up? It was
7 following Miss Duddy's evidence on Thursday when she
8 referred to the clinical incident meetings. The
9 clinical incident -- I knew they weren't documented so
10 I knew there weren't minutes taken of them. Whenever
11 I went into the clinical incident files, which were
12 retained, and in those files were the -- at the end of
13 each quarter were the agendas and the -- I went -- after
14 she gave her evidence I went on Friday morning at
15 7 o'clock and got them, exactly where I knew the
16 clinical incident meetings would be. So it's not that
17 they were something that were relevant that weren't
18 provided before.
19 MR STEWART: Had you ever previously checked through the
20 clinical incident committee documentation for reference
21 to Raychel, through the agendas, the spreadsheets and so
22 forth?
23 A. I didn't actually recall that there were agendas done,
24 I have to say.
25 Q. So you hadn't checked?

71

1 A. I hadn't checked those particular files, but I knew
2 Raychel wasn't discussed at those meetings whenever --
3 so I was fully aware that she wasn't discussed at those
4 quarterly meetings.
5 Q. Well, still keeping to the theme of documentation,
6 you have said that you opened a file on Raychel's case.
7 A. Yes.
8 Q. When did you open the file?
9 A. I probably opened it on 12 June.
10 Q. We've seen a number of documents that have come to us
11 recently. Margaret Doherty prepared a report which
12 looks as though it was made for the critical incident
13 review. I think she says that she made it afterwards.
14 It appears at 316-085-009 and 316-085-010.
15 Now, one would assume that that would have come to
16 you and would have been included in your file.
17 A. I never saw this document until after the clinical
18 evidence had been given at the inquiry, and I didn't
19 even know that this document had been found until it
20 came in to the evidence at the inquiry, because at that
21 point I'd received a witness statement and I wasn't
22 aware that this had been found.
23 Q. You were the principal person behind the coordination of
24 the critical incident review and you opened a file, and
25 this is the clinical services manager's report, and it

72

1 looks as though it's been done, I would suggest, before
2 the critical incident review, and it looks as though,
3 from the top of this, where it says, "MD copy", that's
4 presumably a medical director's copy, although I suppose
5 it could be Margaret Doherty, it looks as though there
6 might have been several copies of this.
7 A. Yes, it does. I've never seen it before. I'd never
8 seen it. I didn't know it existed, so ...
9 Q. Would you suppose in the normal course of events for
10 a clinical services manager to prepare a report and,
11 indeed, furnish copies maybe to the medical director and
12 it not to come to you?
13 A. No. I would have expected it would have.
14 Q. Yes. Now, do you see at the top of the right-hand page
15 she notes that Staff Nurse A Noble verbally reported to
16 Sister Little that she had checked pupil reaction and so
17 forth. That comes from notes taken by Sister Little at
18 Mrs Doherty's behest in order that Mrs Doherty might
19 prepare a resume for the meeting.
20 Were you shown copies of those interview notes,
21 telephone interview notes with --
22 A. No, all of these documents came to light, my
23 understanding is, whenever Mrs McKenna found them in
24 a cupboard.
25 Q. It was Mrs McKenna that found them, was it?

73

1 A. I think so. Maybe I'm wrong but that's what I heard
2 in the evidence her that she had discovered them.
3 Q. I haven't heard that.
4 A. Maybe I could be wrong, but I know they were found, and
5 I wasn't aware that they were found because I had
6 received a witness statement and wasn't allowed to
7 discuss it with --
8 Q. We'll come on to why you didn't find them in a moment,
9 but first of all, I'm interested in a moment in working
10 out why it was you had never seen them before, because
11 these are documents that you would have thought would
12 have gone straight into your file at the review stage.
13 A. You're exactly right. I didn't see them. I was never
14 given a copy of them.
15 Q. And why might that have been?
16 A. I don't know. I can't explain.
17 Q. You were coordinating this review.
18 A. Yes.
19 Q. You're not chairing it but you're coordinating it.
20 A. Yes.
21 Q. So you didn't make a list of those who were involved,
22 and now we find that the documents which you should have
23 had in your file weren't in your file.
24 A. Yes.
25 Q. Can you offer any explanation for that?

74

1 A. Just that they were never given to me.
2 Q. Tell me this. Staff Nurse Gilchrist made a statement,
3 which purports to be dated 10 June 2001, and that
4 appears at 098-293-771. Do you see?
5 A. Yes.
6 Q. You've in fact stamped it, the top right-hand corner
7 with your receipt --
8 A. Yes.
9 Q. -- of 25 November of 2002, when it says it's written on
10 10 June 2001. Had you ever seen that prior --
11 A. No.
12 Q. -- to the end of November 2002?
13 A. No. That was whenever I received it.
14 Q. And that was after you wrote to Staff Nurse Gilchrist
15 asking for a statement, wasn't it?
16 A. Yes.
17 Q. Do you think it was available on 10 June?
18 A. Well, it says on it that it was written on 10 June.
19 I don't know, I didn't receive it until 25 November, so
20 I'm not sure. It's quite possible it was written just
21 immediately after the event so that it would help
22 Sister Gilchrist remember the event.
23 Q. Indeed she told the coroner that she made a statement
24 immediately after the event. If she made the statement
25 immediately after the event, one might suppose it might

75

1 come to you as part of the review team.
2 A. That's right, yes.
3 Q. Did it?
4 A. I don't recall seeing it. I mean, I recall seeing it,
5 I have it stamped 25 November, so I would presume that's
6 when I received it and first saw it.
7 Q. Is it possible that you had a file that's now gone
8 missing?
9 A. No.
10 Q. So did you have any of Sister Little's interview notes,
11 her interview notes with Staff Nurse Noble?
12 A. No, Sister Little's interview notes, I didn't see
13 before.
14 Q. Okay.
15 A. I didn't know Sister Little had any involvement in doing
16 anything regarding Raychel's death because Sister Millar
17 was the ward sister. I didn't know Sister Little had
18 done anything.
19 Q. But Mrs Doherty, the clinical services manager, was
20 at the review.
21 A. Yes.
22 Q. She would surely have drawn the review's attention to
23 the fact that she had interview notes, that she had
24 prepared a report.
25 A. I can't recall her ever saying that.

76

1 Q. If she did, you'd have heard it and said "Well,
2 thank you, please give me a copy of that report for my
3 file".
4 A. I would have done, yes.
5 Q. Please continue.
6 A. I'm not sure if I've anything left to say.
7 THE CHAIRMAN: I think you were agreeing with Mr Stewart's
8 propositions that if these documents had been mentioned
9 at the critical incident review meeting, then the
10 expected reaction from you would have been to ask for
11 them.
12 A. Absolutely, yes.
13 MR STEWART: Tell me this. Can I refer you to
14 page 160-214-002. This is a document prepared by the
15 solicitor just before you go into the inquest and it
16 details all the reports held, the statements held and so
17 forth, and the dates which obtained. Apart from
18 Gilchrist at the very bottom there being 10 June, at the
19 very top, do you see it says "[Something] report --
20 A. I think that's autopsy report.
21 Q. "Autopsy report of 11 June 2001". What report's that?
22 A. I would believe -- I mean, I'm not sure, but I would
23 believe that is the -- that must have been from the
24 pathologist, the initial autopsy report.
25 Q. No, there's no autopsy report at June 2001 that I'm

77

1 aware of, unless I'm mistaken.
2 A. It's definitely something to do with whatever's come
3 from the -- I don't ...
4 Q. It's a "something report", isn't it? But the
5 "something" has been copied out of this particular
6 document. And I wonder -- I'm asking you what report
7 would there have been on Raychel's case dated
8 11 June 2001?
9 MR STITT: I do apologise to my friend. Just for the
10 record, the expression "copied out" has been used. It
11 does look to my untutored eye as though the page is
12 folded over.
13 MR STEWART: I didn't mean that pejoratively. It's been so
14 copied --
15 MR STITT: Yes, it doesn't appear, yes.
16 MR STEWART: It does look as though it's been copied and
17 unfortunately whatever it is, whatever report it is, is
18 now no longer legible.
19 A. I'm sure that can be sorted. It's not one of my
20 documents. It's not one of the documents ...
21 Q. But this is a list of documents that most of them have
22 come from you to the solicitor.
23 A. No, because there was something from Dr Loughery to
24 Dr Heron definitely didn't come from me on 24/10/01. It
25 definitely didn't come from me.

78

1 Q. Well, those are the sorts of dates, October 01, when you
2 might have expected post-mortem autopsy reports to date
3 from.
4 A. Is there not normally a preliminary report? I don't
5 know, I'm sorry, I can't help.
6 THE CHAIRMAN: Mr Stitt, if this is a DLS document, can that
7 be tracked through DLS?
8 MR STITT: Yes, we're doing that at the moment.
9 MR STEWART: That request, I think, was made some time ago.
10 I wonder if we might go to one of the notes of the
11 agreed action plan. That appears at 022-108-334. This
12 is a copy of the action plan that I think came to you.
13 A. Yes.
14 Q. It's stamped by your line manager, director of nursing,
15 and has your handwriting on it.
16 A. Yes.
17 Q. It also has written, do you see, in the bottom left-hand
18 quadrant:
19 "Bring back complete report."
20 A. Yes.
21 Q. What report does that refer to?
22 A. Um, I don't know. I would believe it is -- it's dated
23 15 June. It actually is the director of nursing's
24 secretary's stamp that did that, so that's probably the
25 director of nursing's copy, and it must have been the

79

1 director of nursing expecting that the completed report
2 would come to her, and, as we know, I didn't do
3 a completed report.
4 Q. I'm not sure she told the inquiry the other day that she
5 expected a report.
6 A. Well, that's -- well, that's ... It's not -- I don't
7 know if it's the director of nursing's writing or if it
8 could be the director of nursing's secretary's writing,
9 which in fact -- it probably is her writing.
10 THE CHAIRMAN: Did you not share the secretary?
11 A. Yes, we did. We did, that's why I recognise the stamp
12 as well. I had a different stamp, I had a risk
13 management stamp, and that was the director of nursing's
14 stamp, so that's her copy.
15 MR STEWART: This copy came to you because that's your
16 handwriting all over it, isn't it?
17 A. Yes, but that's a copy of my copy. I know it sounds
18 silly, but whenever I was gathering all the information
19 for the inquiry, as I was asked to do, this copy then
20 went into my file for the inquiry. So that's how that
21 came.
22 Q. When you saw --
23 A. I think there's more copies of this document. I think
24 there are more.
25 Q. There are indeed. When you saw that note on it "Bring

80

1 back complete report", what did that indicate to you?
2 A. I didn't see that. I would have seen that whenever
3 I was gathering evidence for the inquiry.
4 Q. Was --
5 A. Sorry. That's not my copy.
6 Q. Was there expectation of a report?
7 A. A report wasn't completed.
8 Q. I asked was there an expectation of a report.
9 A. Um ... I'm sure there was an expectation of a report.
10 If I look back at Dr Lugon's book, she says that
11 a report should have been done.
12 Q. Your own protocol says --
13 A. Yes.
14 Q. -- the risk -- I'll read it. It's at 022-109-338. Your
15 own protocol, which I believe you wrote yourself --
16 A. Yes.
17 Q. -- says in the penultimate paragraph:
18 "The risk management coordinator will provide the
19 chief executive with a written report with conclusions
20 and recommendations within an agreed timescale."
21 Was there an expectation that a report would be
22 written?
23 A. Yes. I'm sure there was an expectation.
24 Q. At what stage was it agreed that should be dispensed
25 with?

81

1 A. I don't ever remember anyone saying that we will
2 dispense with a report. I was never told "You don't
3 need to write a report".
4 A report was my responsibility. I didn't write
5 a report. I should have written a report. I accept
6 that.
7 The chief executive was -- this was a protocol that
8 was developed in November 2000, I think, but the
9 intention of developing a system of investigation,
10 learning -- systems learning and a report would have put
11 that in it. There was the action plan, there was the
12 update for the chief executive.
13 I -- everyone -- the chief executive was heavily
14 involved in updates, so there wasn't a report done, it
15 should have been done, and I can make no further
16 explanation other than that I didn't do it.
17 Q. Well, you're the only person who can give an
18 explanation.
19 A. Absolutely.
20 Q. But tell me, did your chief executive not say to you,
21 "Mrs Brown, when am I having my report?"
22 A. I don't recall the chief executive ever saying that to
23 me. The chief executive was regularly -- well, you can
24 see the update on -- there's an update on 9 July,
25 I think it was, for the chief executive. The

82

1 chief executive was asking about progress and actions.
2 She didn't specifically say the words to me "Where's my
3 report?" Having said that, it shouldn't have taken her
4 to ask me for the report -- to do a report, and a report
5 wasn't done.
6 Q. She didn't in any event. Did you at any time go to her
7 and say, "Mrs Burnside, in terms of agreeing with you
8 the timescale for the presentation of the report, you're
9 going to have to give me four weeks, six weeks?"
10 A. No, no. I had done reports for the chief executive
11 before. There normally were timescales on them. This
12 case, it is hard to explain how -- this was such
13 a tragic event, and the fact that a report was not done
14 is not good enough. I would accept it should have been
15 done.
16 Q. It's hard to understand given --
17 A. It is.
18 Q. -- that this was such a big and serious --
19 A. Absolutely.
20 Q. -- and important case.
21 A. I accept your criticisms regarding the report. I accept
22 the criticism of Professor Swainson regarding the
23 report.
24 I do think the one point that he makes is that --
25 and I think a report would have been very good,

83

1 probably -- it should have been done. The point that he
2 makes is that it would have -- it would have provided
3 a root cause analysis methodology, and we could have
4 identified a lot more learning out of the report.
5 I don't think I would have had the skills, or anyone
6 in Northern Ireland would have had the skills, at that
7 time to do a proper root cause analysis in a report.
8 I think a report would have been a summary of everything
9 we'd done to date with conclusions, actions and
10 recommendations. I don't think it would have been
11 a proper root cause analysis.
12 Q. That's fair enough. But at the very most basic level,
13 if the object of the review is quality improvement, then
14 you have to clearly define your conclusions in order to
15 make clearly defined recommendations.
16 A. I agree.
17 Q. And it's pointless up to a point otherwise.
18 A. I accept your criticism.
19 Q. Going to the six-point plans which did emerge from the
20 meeting, were you at the meeting for the entirety of the
21 meeting?
22 A. Yes, I was.
23 Q. And at the end of the meeting, did the people in
24 attendance agree the action points?
25 A. I'm ... I'm trying to think back. I know that what

84

1 happened was the action points were written down by
2 Dr Fulton. He probably went -- I can't recall if he
3 went over the action points there, but I know the very
4 next morning he and I met together and we typed up from
5 his handwritten note the action -- the one that
6 you have.
7 Q. Yes.
8 A. And that was shared with everyone who had attended the
9 meeting.
10 Q. So you typed it up?
11 A. Yes, I did.
12 Q. All right. Can we have on the left-hand side of the
13 screen, please, 026-011-014, and, on the right-hand side
14 of the screen, 022-108-335.
15 Here we have on the left-hand side the action sheet
16 in Dr Fulton's hand, dated 12 June, and, on the
17 right-hand side, the working copy presumably prior to
18 you typing it out on 13 June?
19 A. Well, I think we were -- I think I typed that version as
20 well.
21 Q. There are a number of versions.
22 A. Yes.
23 Q. Perhaps we could move on then, and on the right-hand
24 side of the screen put up 022-108-336, which is the next
25 page.

85

1 A. Yes.
2 Q. That's the way it ends up after you typed it up?
3 A. I think that's the final version, yes.
4 Q. You'll see point 1 on the 12 June version is:
5 "Evidence [tick] change to Hartmann's."
6 Point 1 on the following day's agreed action is:
7 "Review evidence for use of routine post-operative
8 low electrolyte IV infusion and suggest changes if
9 evidence indicates. No change in the use of
10 Solution No. 18 until review."
11 So on the left-hand side we have a change to
12 Hartmann's, on the right-hand no change in current use
13 of Solution No. 18. So there would appear, on the face
14 of it, to be a change.
15 A. Yes.
16 Q. Now, if you typed up the right-hand side on the 13th --
17 A. Yes.
18 Q. -- and the left-hand side was agreed on the 12th, who
19 agreed the right-hand side version on the 13th?
20 A. Dr Fulton -- I'm not completely sure about this because
21 it obviously happened without -- I wasn't there, but
22 I think there was a discussion between Dr Fulton and
23 Dr Nesbitt that -- well, I think -- was it we were going
24 to change to Hartmann's and then there must have been
25 a discussion that -- that was on the day, on that night,

86

1 the night after the meeting that it was going to change,
2 and then I think it was a discussion that review and see
3 if it should be changed ... I think it -- that was a --
4 I think that's how that came about.
5 Q. It does look as though there's been a change after it
6 was agreed and that the change wasn't agreed.
7 A. I don't really think -- I mean, this meeting happened at
8 4 o'clock. It went on about half past six at night, and
9 there was discussion about the fluids and the use of
10 Hartmann's and -- which was all totally foreign to me at
11 that stage. I had never heard anything about Hartmann's
12 and Solution No. 18. So Dr Fulton and I then were
13 typing this up, so there must have been discussion
14 between Dr Fulton and Dr Nesbitt regarding that.
15 Q. I see. So that would be an agreement between --
16 A. Yes.
17 Q. -- those two members of the review team?
18 A. Yes.
19 Q. What about point 4, where it seems that on the 12th it
20 was agreed that there should be a monitoring of urinary
21 and, query vomit, output? But by the following day, the
22 vomit has been omitted from the agreed action plan. How
23 might that have come about, do you know?
24 A. I read that differently. I thought that was to do with
25 pluses. You know, the pluses on the ...

87

1 Q. Well, it might be to do with how vomit is recorded.
2 That might be a plausible explanation, but in any event
3 it's left out as well --
4 A. Yes.
5 Q. -- because there's no mention of vomit measuring and
6 recording.
7 A. Well, I thought that actually encompassed -- I thought
8 point 4 encompassed what was being said there in the
9 final version.
10 Q. Sorry, there's no mention of vomit, vomiting at all.
11 A. Well, all urinary output should be measured and
12 recorded -- no, there is no mention of vomit, you're
13 right. I thought it should -- it should have been.
14 Yes, it should have been.
15 Q. And it seems from the accounts we've received that there
16 was agreement that surgeons were hard to get hold of in
17 terms of attending upon their paediatric patients. That
18 seemed to be agreed at the meeting.
19 A. I have to say, I don't recall that being discussed
20 at the meeting on 12 June. I thought that became a new
21 issue when -- after our previous discussions, whenever
22 I then updated the chief executive. I don't remember --
23 I remember the point at the meeting about the surgeons
24 were in theatre, whenever they tried to sleep the
25 surgeons whenever Raychel had collapsed. I believe

88

1 that's what the discussion was about. That's my
2 recollection of it.
3 Q. Of course, there will be several different --
4 A. Yes, yes.
5 Q. -- recollections, and Sister Millar gave her own account
6 of what happened.
7 THE CHAIRMAN: Sister Millar was referring, I think,
8 Mrs Brown, to a general problem about being able to
9 contact surgeons.
10 A. Yes.
11 THE CHAIRMAN: There's nothing on the agreed action plan
12 from 12 June about that.
13 A. I don't think -- my recollection of the meeting was that
14 that wasn't discussed at that meeting, but it was -- it
15 then came to my attention subsequent to that and that's
16 why it was on the update for the chief executive. So on
17 9 July.
18 MR STEWART: I think Dr Fulton has a different recollection
19 from you again when he says it was and indeed it failed
20 to find expression in the agreed action plan, and indeed
21 the whole question of who was responsible for the
22 supervision of the intravenous therapy was also
23 discussed.
24 A. I will bow to people's change [sic], but to me it was
25 a new point, and that's why I put it in as a new point

89

1 at 7 in the update. That's just my recollection.
2 Q. The reason why I'm drawing these discrepancies to your
3 attention is to highlight the importance of recording
4 the deliberations of a review, the outcome and
5 recommendations and conclusions of a review.
6 After the meeting itself on the 12th, was there any
7 further reconvening of that group of people to look at
8 it two weeks later, four weeks later?
9 A. Well, there were the nursing meetings, there were the --
10 I mean, the update that went to the chief executive,
11 I was meeting -- that came from -- I believe I met with
12 Dr Fulton. I think Dr Nesbitt had input into
13 conversations with Dr Fulton. There was no formal
14 meeting of the group two/three weeks later.
15 Q. Do you think there should have been?
16 Professor Swainson --
17 A. I know he does say that. I agree it would have been
18 very beneficial. It even still isn't really normal
19 practice at this stage that a group would get together
20 in a root cause analysis a few weeks later. What would
21 happen is that the meeting -- the draft report would be
22 sent out to staff and they would agree it or disagree
23 it. Obviously, meeting is always a good thing, it's
24 always a chance to review where you're at with
25 something, but it didn't happen.

90

1 Q. Were you aware at that time of the recommendations of
2 the NCEPOD 1999 --
3 A. No.
4 Q. -- report, which is at 220-002-023, which might have
5 been something that might have been useful to you in
6 these circumstances?
7 Do you see on the left-hand column at bullet points
8 3 and 4, this is in 1999 they are recommending:
9 "The death of any child occurring within 30 days of
10 an anaesthetic or surgical procedure should be the
11 subject of peer review, irrespective of the place of
12 death."
13 Next put point:
14 "The events surrounding the perioperative death of
15 any child should be reviewed in the context of
16 multidisciplinary clinical audit."
17 That would suggest to me a different type of
18 analysis from the one conducted by you at the critical
19 incident review.
20 A. Yes, I would agree.
21 Q. And do you think that that might be something you should
22 have incorporated in your practice?
23 A. That -- I believe that is something -- that's something
24 that we still discuss and talk about. I think that's
25 something that happens within the clinical team and

91

1 should be outside the risk management practice unless
2 that review would show that there would be a risk
3 management concern. That's almost like morbidity and
4 mortality meetings. That would still be, I believe,
5 what happens throughout the United Kingdom, that peer
6 reviews would happen under that process, and then the --
7 the processes should sit separately, I think.
8 Q. This refers not just to peer review -- I take your point
9 in relation to that -- but also multidisciplinary
10 clinical audit, and you, of course, sat on the clinical
11 audit committee.
12 A. Yes.
13 Q. So was the clinical audit committee aware of these
14 recommendations at the time?
15 A. Of the?
16 Q. Of the NCEPOD recommendations.
17 A. I don't -- I don't recall. I wasn't aware of them, so
18 I was a member of the committee and I wasn't aware.
19 Q. Was any audit conducted in response to serious clinical
20 incident reports?
21 A. Um ... Yes, but not through the clinical -- not through
22 the clinical ... At that time, not through the clinical
23 audit committee. This was really the first critical
24 incident investigation that we'd had.
25 Q. Sorry, this was?

92

1 A. This was the first since we launched the policy. It was
2 the first serious critical incident investigation that
3 we'd had.
4 Q. But you told the inquiry a moment ago that you had
5 prepared written reports before this.
6 A. Yes, I'd prepared written reports before for the
7 chief executive particularly under -- but it wasn't
8 reported as a clinical incident because it was pre the
9 clinical incident policy.
10 Q. But it's a report into the clinical incident for the
11 chief executive.
12 A. Yes, it was.
13 Q. It doesn't matter what protocol it comes under. You'd
14 had previous --
15 A. Yes. Yes, the sterilisation cases in Altnagelvin
16 Hospital. I was involved in writing that report for the
17 chief executive. That did create an audit. There was
18 an audit of a number of cases over a period of years,
19 comparing different consultants. So, yes, that had
20 happened and that had happened pre this.
21 Q. Can we go, please, to -- I hesitate to refer yet again
22 to the 1999/2000 annual report of the Altnagelvin
23 Hospitals Health and Social Services Trust, but it
24 appears at 321-004gj-042.
25 This is the clinical governance and quality report

93

1 for that year, and you can see coming down the page:
2 "Key achievements. The establishment of
3 a multidisciplinary clinical audit committee..."
4 And you sat on that:
5 "... which takes the lead in evaluating outcomes of
6 care. It aims to encompass two major activities; audit
7 of current practice against evidence-based standards;
8 audit in response to serious clinical incident reports."
9 So it looks as though the committee that you were on
10 did this, according to the report.
11 A. What year's that report?
12 Q. 1999/2000. It's the year preceding Raychel's admission
13 to hospital.
14 A. Yes, and that part was talking about the -- that was
15 talking -- I'm sure that was talking about the
16 sterilisation cases.
17 Q. I'm sure it's not because if we read the entire page,
18 we can find no reference to that.
19 A. I don't think you would put that into ...
20 Q. Well, not only are you putting it in but it seems to be
21 trumpeted as a key achievement.
22 A. I'm not quite sure of the point.
23 THE CHAIRMAN: I think the point is it's not saying this is
24 what we did in one instance, this is saying this is
25 a new committee which has been established, it takes the

94

1 lead in evaluating outcomes. It aims to encompass two
2 major activities. So you can't read that sensibly to
3 mean that we did that once and that's it. It's stating
4 what will now happen.
5 A. Yes. And that was the plan that should happen and
6 that is good practice, absolutely.
7 THE CHAIRMAN: Absolutely, yes.
8 MR STEWART: Why didn't it happen in Raychel's case?
9 A. It didn't happen in -- I'm not sure. What are you
10 asking me in relation to? I've lost the train of
11 thought.
12 Q. Why was there not an audit, multidisciplinary clinical
13 audit, into the case of Raychel Ferguson?
14 A. I don't know. There was a critical incident review.
15 There wasn't an audit that I can recall in relation to
16 it.
17 THE CHAIRMAN: But it's the last few words of this first
18 bullet point:
19 "Audit in response to serious clinical incident
20 reports."
21 A. Yes.
22 THE CHAIRMAN: Serious clinical, in effect, is critical,
23 isn't it?
24 A. Yes.
25 THE CHAIRMAN: So this says there will be an audit or the

95

1 aim is to have an audit in response to critical incident
2 reports.
3 A. Yes.
4 THE CHAIRMAN: Now, is that not different from the critical
5 incident review?
6 A. Yes, it is. Yes, it is.
7 THE CHAIRMAN: Right. What should that audit involve? That
8 should involve the multidisciplinary clinical audit
9 committee?
10 A. Yes. I would think -- well, I don't know that it ever
11 meant that they -- I think they should oversee the
12 audit, I don't think it ever meant that they should do
13 them.
14 THE CHAIRMAN: Was an audit conducted for them to oversee in
15 Raychel's case?
16 A. No.
17 THE CHAIRMAN: And can you help explain why not, if this is
18 being put forward at least a year earlier as a key
19 achievement in Altnagelvin?
20 A. No. There was a subsequent audit in relation to fluid
21 management, which was undertaken a few years later
22 whenever the new guidance came out from the Department
23 regarding fluids.
24 THE CHAIRMAN: To make sure that the guidelines were --
25 A. Yes.

96

1 THE CHAIRMAN: -- being properly implemented?
2 A. Well, this is in relation to the individual -- some
3 individual patients about the type of fluid that they
4 were receiving and how they responded to that. That was
5 a prospective audit on three years' data on children who
6 were getting particular fluids and how they responded to
7 that.
8 MR STEWART: Can we perhaps turn to your witness statement,
9 WS322/1, page 17?
10 MR STITT: This might be an appropriate time just to go back
11 to a point that was left in the air earlier, fairly
12 non-controversial. It's the page-turning point.
13 THE CHAIRMAN: 160-214-002.
14 MR STITT: Yes.
15 THE CHAIRMAN: Have you tracked it?
16 MR STITT: Yes. The original one will be e-mailed to the
17 inquiry, but just so that we can clear it up and get it
18 out of the way, it does say "autopsy". Mr Stewart had
19 indicated that he wasn't aware of an autopsy report at
20 that time, but if we could pull up this document,
21 160-235-001. That's the autopsy report and it's
22 dated -- the autopsy is 11 June.
23 MR STEWART: Yes, but this report is not dated 11 June.
24 Apart from anything else, the anatomical summary is only
25 signed by -- it must be one of the pathologists -- on

97

1 20 November.
2 MR STITT: One would have thought the person who was
3 conducting the index would start with the base document
4 and that was going to be the --
5 MR STEWART: Maybe that's the explanation, I take that
6 point.
7 MR STITT: I don't think it's controversial. There is an
8 autopsy report. They either did have it or didn't, but
9 it's clearly a relevant document. It was the starting
10 point.
11 THE CHAIRMAN: Okay, thank you.
12 MR STEWART: I'm grateful for that.
13 Your witness statement, please, at WS322/1, page 17,
14 where at question (v) at the bottom of the page there
15 you are asked indeed whether consideration was given to
16 performing a detailed audit of all aspects of the case,
17 and your response was that there was a realisation early
18 on that because the death had been reported to the
19 coroner, that an inquest would be held by the coroner.
20 Did you mean by that that because it had gone to the
21 coroner, there was no necessity to carry out an audit?
22 A. No. I think I've -- I have answered that question
23 wrong. I was not thinking on the purposes of clinical
24 audit in that answer. I know it's under the heading of
25 clinical audit, but that is -- there was never

98

1 a discussion that we would or wouldn't audit.
2 Q. I see.
3 A. Sorry, that's a misleading answer.
4 Q. Going back to immediately after the review, you were
5 copied into a letter on 14 June, passing from Dr Nesbitt
6 to Dr Fulton, and that appears at 022-102-317.
7 Here is your copy:
8 "Dear Therese."
9 And so forth.
10 Do you see the part of this we've been paying
11 particular attention to is the second paragraph about
12 the change -- move away from No. 18 solution to
13 Hartmann's:
14 "This change occurred six months ago and followed
15 several deaths involving No. 18 Solution."
16 When you received that letter, did that particular
17 passage catch your attention?
18 A. No.
19 Q. Following several deaths involving No. 18 Solution?
20 A. No, really, it didn't. I'm not ... I'm not a doctor,
21 so I wouldn't have believed that they were deaths, that
22 they were problems.
23 Q. Sorry, this change occurred six months ago and followed
24 several deaths. As a layperson, I suggest to you you'd
25 have read that saying there have been deaths from No. 18

99

1 solution and that's why the change occurred.
2 A. I don't -- it didn't ...
3 Q. Did you not read that letter?
4 A. I did read the letter.
5 Q. And did you not take it in? Because if ever there was
6 a wake-up call to do a report, it's getting information
7 like that. Did you talk to anybody in the hospital
8 about that?
9 A. I think that's why we -- the letter from Dr Nesbitt
10 clarified that we were going to change the solution.
11 That's what I was concerned about at the time in
12 Altnagelvin, and it changed that day.
13 Q. Did you talk to Dr Fulton about it over the weeks that
14 followed?
15 A. Talk about the deaths?
16 Q. Yes, about Raychel's case, about what was happening and
17 what was being done.
18 A. Yes.
19 Q. And did he tell you that he'd been to a meeting of
20 medical directors in Belfast?
21 A. Yes.
22 Q. And did he come back and tell you what he'd learnt at
23 that meeting?
24 A. I'm sure he did. I can't remember what he did tell me.
25 Q. Did he tell you about another death?

100

1 A. The first that -- the first, if I can remember, that
2 I was aware about another death was whenever the coroner
3 phoned me in December 2001. I mean, obviously, that was
4 in that letter from Dr Nesbitt, but the first I remember
5 being aware of another death was, I think, early
6 December.
7 Q. So you're saying that Dr Fulton didn't tell you about
8 that?
9 A. I can't -- I'm sure he did.
10 THE CHAIRMAN: The thing that strikes me as being curious,
11 Mrs Brown -- I mean, I understand that there's a bit of
12 soreness in Altnagelvin that the Royal had changed its
13 practice and hadn't told the area hospitals. Okay?
14 A. Yes.
15 THE CHAIRMAN: But what's far worse than that is Dr Nesbitt
16 telling Dr Fulton and you that the reason why the Royal
17 changed was because there had been several deaths
18 involving No. 18 Solution. Now, if you read that, would
19 you in Altnagelvin not have been shaking your heads in
20 disbelief that when children were dying and the Royal
21 knew about children dying and had changed its practice,
22 it didn't tell you in Altnagelvin what was going on?
23 A. I know there was great concern, there was great concern
24 that we had not been told about the No. 18 Solution.
25 That was -- that's what drove Dr Nesbitt, I believe, and

101

1 Dr Fulton to try to -- I know the working group was
2 established and Dr Nesbitt was very unhappy about this
3 No. 18 Solution not being cut off the list.
4 THE CHAIRMAN: That's one thing. But it makes it even worse
5 if you find out that the reason it's been cut off in the
6 Royal is because there have been several deaths. It's
7 one thing for the Royal not to keep you informed about
8 a change in practice. Isn't it a much worse thing for
9 the Royal not to keep you informed about a change in
10 practice which has been adopted because several children
11 have died?
12 A. Yes.
13 THE CHAIRMAN: Now, surely that must have registered, and
14 you must have thought, "Good God, what are they doing in
15 the Royal at all? Why aren't they telling us, why
16 aren't they telling Daisy Hill, why aren't they telling
17 the Erne what's going on?"
18 A. Well, we were very concerned that we were using
19 a solution that we believed was safe and other hospitals
20 weren't -- the Royal wasn't using it.
21 MR STEWART: Concerned? You must have been furious by the
22 idea that they might have told you about it and that the
23 death that happened in your hospital might have been
24 prevented, avoided?
25 A. Yes.

102

1 Q. Well, that would have been something you'd have talked
2 about?
3 A. Yes, well, we were talking about the No. 18 Solution.
4 Sorry, the point that I am thinking -- whenever I first
5 knew about Adam Strain's death was December. I'm trying
6 to get all my dates right. It was Adam Strain's death.
7 Yes, I did(?) know about previous deaths before that.
8 Q. Yes, but I'm asking, did Dr Fulton not come back from
9 his meeting in Belfast and tell you what he had learned
10 there --
11 A. Yes.
12 Q. -- which was about another death. In addition to the
13 several deaths that Dr Nesbitt writes to you about, he
14 comes back, it is thought, with information relating to
15 another death. Did that not come to you?
16 A. Yes, I'm sure -- yes, it did.
17 Q. It did. And what was done when you learnt that?
18 A. I'm not sure. There was ongoing discussion and concern
19 regarding -- there was ongoing discussion regarding the
20 use of Solution No. 18. On 14 June, following this
21 Solution No. 18, this poster was put up on the ward that
22 surgical patients should no longer have Solution No. 18
23 and they should have Hartmann's. And I knew that
24 Dr Fulton had raised it to the attention of the
25 chief executive, the chief executive had written to the,

103

1 I think it was the board. So there was a lot of
2 escalation going on at the most senior management level
3 within the organisation. The CMO had been contacted, so
4 that is exactly what was happening.
5 Q. And were deaths of other than children being mentioned
6 in the process of all this activity?
7 A. Yes, in -- I think in the e-mail from the
8 chief executive, she refers to previous deaths. I think
9 so. I can't recall it exactly, but I think she does.
10 Q. Which e-mail from the chief executive?
11 A. To the CMO -- is it the CMO or the -- someone in the
12 board.
13 Q. Which board?
14 A. The Health & Social Care Board. It might have been to
15 Dr McConnell or it might have been --
16 THE CHAIRMAN: The Western Board?
17 A. Yes. I know the chief executive wrote fairly soon after
18 it. This is the one where there's a reference to the
19 rumour e-mail.
20 MR STEWART: Yes, that's an e-mail that I think appears in
21 2004, some very considerable time later.
22 A. No, no, it was definitely 2001. It was before, it
23 was June.
24 Q. I'd be grateful if you could direct me towards that page
25 if it's possible to locate it.

104

1 Of course, your job was to keep the chief executive
2 informed throughout the investigation and afterwards
3 with updates, wasn't it?
4 A. Yes.
5 Q. That was you. Nobody else was reporting back to the
6 chief executive?
7 A. I wouldn't agree with that. I mean, I would believe
8 that the medical director should have been reporting
9 back to the chief executive, which I know he was.
10 I suppose I had a responsibility to coordinate
11 everything, but the medical director would have been
12 feeding back to the chief executive, Dr Nesbitt would
13 have been feeding back to the chief executive. It was
14 Dr Nesbitt that had actually raised the issue with the
15 chief executive. So it's not as if everything had to
16 sit in paper for it to be raised. It was all ...
17 Q. All right. 022-109-338. This is your protocol and it's
18 the third from the end:
19 "The chief executive will be kept informed by the
20 risk management coordinator throughout the
21 investigation."
22 A. Yes.
23 Q. So it's your specific task.
24 A. Yes.
25 Q. Your first update to the chief executive is four weeks

105

1 or so later, on 9 July 2001. That's at 022-097-307.
2 Was this the first update you had prepared?
3 A. It was the first written update.
4 Q. The chief executive would presumably have to go into
5 a board meeting and be prepared to answer questions
6 about the case, so he would require a briefing document?
7 A. Yes.
8 Q. And when would the July 2001 board meeting have been
9 held?
10 A. It normally was held on a Thursday. That may have been
11 prepared just -- I think it was due to be on 5 July, 4
12 or 5 July, going back to the board minutes that we had
13 tried to locate. I believe that would have been the
14 Tuesday, the Monday or Tuesday after that, I think. So
15 whether ...
16 Q. So this wasn't prepared for the board meeting?
17 A. No, I don't believe it was.
18 Q. Would you therefore have prepared a briefing minute for
19 the board meeting?
20 A. Um ... No. Well, I would have -- I wasn't required to
21 prepare for the board, I was preparing for the
22 chief executive.
23 Q. Exactly. The chief executive was going in to the
24 board --
25 A. Yes.

106

1 Q. -- there has been the death of a child. The
2 chief executive's got to know something about it.
3 You are specifically tasked with that duty under the
4 protocol. Did you do it? Did you give the
5 chief executive a briefing note before the board
6 meeting?
7 A. I -- sorry, I've lost that question. Sorry.
8 Q. Did you prepare a briefing note for the chief executive
9 before the July 2001 board meeting?
10 A. No, I didn't.
11 Q. Why not?
12 THE CHAIRMAN: How can the chief executive report to the
13 board in any coherent form what's happening unless she
14 has the benefit of an update along the lines of the one
15 which you now think post-dated the board meeting?
16 A. Yes. I believe it post-dated the board meeting, and my
17 thinking is, but I can't be certain, that it was done
18 after the first board meeting for the chief executive,
19 for the next -- you know, so that she would have it then
20 to brief the board the next time. I can't be sure.
21 THE CHAIRMAN: Yes, that might well be right, but how could
22 she brief the board for the July meeting unless she had
23 some form of coherent record or update along the lines
24 of the document which is on screen?
25 A. Well, she had had the action plan and she had regular

107

1 conversations with myself, with Dr Nesbitt, with
2 Dr Fulton.
3 THE CHAIRMAN: But the action plan was agreed on 12 June,
4 13 June, about what was to be done.
5 A. Yes.
6 THE CHAIRMAN: And she would want a note along these lines
7 to go into the board meeting.
8 A. Yes.
9 THE CHAIRMAN: Raychel's death was not unknown in Derry;
10 isn't that right? The fact that Raychel had died was
11 known in Derry?
12 A. It was well-known, yes.
13 THE CHAIRMAN: It was in the local papers. And your board
14 members would have been concerned to raise this, even if
15 it hadn't been raised as an item on the agenda.
16 A. Yes.
17 THE CHAIRMAN: So if I take your evidence as it is,
18 Mrs Brown, when Mrs Burnside went into this meeting as
19 chief executive, she had the action plan from the day or
20 day after, the critical incident review, and she had
21 verbal updates but nothing in writing.
22 A. She had nothing in writing, no.
23 MR STEWART: How could the trust board then be properly
24 informed themselves about what was being done to prevent
25 any possibility of a recurrence?

108

1 A. Well, Dr Fulton was on the trust board as well --
2 Q. Yes.
3 A. -- and Dr Fulton could have been -- would have been
4 updating trust board on the actions that were being
5 taken. He was the chair of the review, so he was
6 a member of trust board. So they would have had the
7 opportunity to question and ask him regarding what
8 action was being taken.
9 Q. Can you remember any incidents where the board would
10 have requested a report on an incident in hospital?
11 A. Um ... A specific report?
12 Q. A specific --
13 A. I can't think of a specific case off the top of my head.
14 Q. It didn't happen in this case. One wonders what sort of
15 case would have to happen before the board actually
16 required a report from somebody.
17 A. Yes. There's now a process for doing critical incident
18 reports.
19 Q. There was then.
20 A. There's a form -- Western -- there's a regional
21 requirement now to complete root cause analysis
22 investigations in certain categories of incidents.
23 There wasn't then a regional requirement. That was our
24 internal trust policy.
25 Q. When was the next meeting to review the progress made on

109

1 putting in place the action plan?
2 THE CHAIRMAN: The next meeting with who?
3 MR STEWART: The next meeting of the review group or indeed
4 any group within the hospital.
5 A. There was ... it's very -- there was a formal -- as
6 I said earlier, we were meeting regularly. I work
7 closely with Dr Fulton and we were reviewing the
8 actions. The chief executive's office was practically
9 beside mine as well, she was just down a corridor, and
10 then there was the meeting that had happened with the
11 nursing staff. A formal meeting of the review group did
12 not happen until April 2002.
13 Q. And that is now ten months after the death, and that was
14 in the face of the inquest, wasn't it?
15 A. That's right, yes.
16 Q. And indeed, when asked in a witness statement what
17 Dr Fulton's pre-inquest consultation was, you believed
18 that to be the same thing as the review of the review
19 meeting of 9 April 2002.
20 A. Yes, that's right, yes.
21 Q. So really, if it hadn't been for the necessity to appear
22 before the coroner in his court, perhaps there wouldn't
23 have been a review?
24 A. Well, I think the case was always going to be going
25 before the coroner, so I think there always would have

110

1 been a review. It was a death, so it would have been
2 reviewed. I'm not sure really what the point is there.
3 Q. Well, it was only going to receive that review just
4 before the inquest hearing. So in other words, the
5 implication is that you're rather more concerned about
6 knowing what your case for the coroner's going to be
7 than actually reviewing what had been done to prevent
8 a recurrence.
9 A. Well, I don't accept that criticism. I know that
10 Dr Fulton was keen to ensure that all the actions had
11 taken place so that -- he called a review meeting of
12 everyone in April 2002. It coincided with the coming of
13 the inquest, I accept that.
14 THE CHAIRMAN: If there's been a disaster in Altnagelvin,
15 which has led to a girl's death, you agree in fairly
16 quick order to make important changes.
17 A. Yes.
18 THE CHAIRMAN: Those are discussed between you and
19 Dr Fulton, Dr Nesbitt's involved, there's a separate
20 meeting with the nurses, but the next time people sit
21 down to confirm what has happened, what has actually
22 been done is 10 months later, and it comes about just on
23 the eve of the inquest.
24 A. Just on the, sorry?
25 THE CHAIRMAN: The eve of the inquest, or what's expected to

111

1 be the time for the inquest. So that's why it looks as
2 if it came about not as a coincidence with the inquest
3 but because the trust wanted to be in a position to say
4 to the coroner, "We have taken all these commendable
5 steps since then".
6 Why would you not review in October, November or
7 December 2001 what had been done and how effective those
8 steps were?
9 A. Well, I think if you go back to the update for the
10 chief executive, as far as I can see the action --
11 I believe the actions were in place then, following the
12 six points in Dr Fulton's action plan. Then I threw in
13 a new point. So I don't know how long you would keep
14 going over your actions if you thought you had taken
15 action on them.
16 MR STEWART: All right. Here's an example at 021-047-103.
17 It's a memo from you, May 2002, to Sister Millar, and
18 this is almost a year after the event.
19 A. Yes.
20 Q. "At the clinical incident meeting it was agreed that
21 daily U&E post-operative children would be undertaken.
22 Can you advise how you currently ensure that the above
23 is carried out on all these patients? In particular can
24 you advise that this is carried out when you are not on
25 the ward.

112

1 "Many thanks.
2 "There.".
3 So it looks as though you're waiting for almost
4 a year before you find out how it's being implemented?
5 A. Yeah, but, if -- I think, can -- sorry, can you put back
6 up the further document, the one that you had previously
7 there? Because my understanding was that they were
8 being done. I'm not sure if you -- sister Millar has
9 already actioned this. So I'm not sure if the document
10 in May then came about as a result of an incident where
11 someone else hadn't received a U&E.
12 Do you understand what I'm saying? So that then
13 I was saying, "Look, we'd agreed this way back in
14 July 2001 and yet there's still an incident", you know,
15 because I believed it had been actioned, so that was
16 just checking -- asking her in my job how can you assure
17 me that it is still being implemented.
18 Q. The point is, it's important to receive these
19 assurances --
20 A. Yes.
21 Q. -- in writing.
22 A. Yes.
23 Q. You clearly believed it so. That's why you write in
24 letter on 29 May 2002. That happens to be just after
25 a consultation in preparation for the inquest at the end

113

1 of April 2002. I want to know why you did not think to
2 write this self-same letter in the weeks and months
3 following the critical incident review, not a year
4 later?
5 A. Because I did believe that it had been actioned so that
6 it was happening.
7 Q. You may have believed that, but it's good to get it in
8 writing, isn't it?
9 A. But Sister Millar had told me she'd already actioned it.
10 THE CHAIRMAN: So are you saying then that what you were
11 really asking in the May letter was for confirmation
12 that something which you thought had been done was in
13 fact being done?
14 A. Yes.
15 THE CHAIRMAN: Okay.
16 MR STEWART: Sir, this might be a convenient juncture in the
17 evidence.
18 THE CHAIRMAN: We'll break for lunch, Mrs Brown.
19 Have the documents come through by e-mail? They
20 have? If we allow until 2.15 so you can get some lunch
21 and then Mr Quinn, Mr Stewart and Mr Stitt can have
22 a look at the documents.
23 We'll resume at 2.15.
24 MR STEWART: Thank you, sir.
25 (1.05 pm)

114

1 (The Short Adjournment)
2 (2.15 pm)
3 MR STITT: Mrs Brown, over lunch we've had chance to look
4 at the clinical incident meeting agenda and the
5 spreadsheets. Some of them do seem to refer to critical
6 incidents as opposed to minor matters.
7 Would it be possible for the 2001 material to be
8 gathered together so we might look at them?
9 THE CHAIRMAN: Sorry, there are two points from what we've
10 seen over lunch. The first is that the notes we've
11 received are from 2002 and 2003. There's nothing from
12 2001.
13 A. No, they are. They're from 01 to 02, I'm sure, 01 to
14 02, and then 02 to 03.
15 Q. I stand corrected --
16 A. They're from April 2001 to March -- that's -- absolutely
17 certain of that. Unless -- because that's what
18 I provided.
19 THE CHAIRMAN: I don't want you to read out anything. Do
20 you understand? But would you look at this? (Handed).
21 A. I have the original. I brought the originals, so
22 that's -- I'm sure they are ...
23 THE CHAIRMAN: I'll tell you what I'll do. I'll stop for
24 five or ten minutes and for this purpose, Mr Stitt, you
25 can speak to Mrs Brown. I don't think that in any of

115

1 the notes that I've seen over lunch we have anything
2 from 2001. So if Mrs Brown has the originals from 2001
3 here, perhaps you could confirm that and see what can be
4 done.
5 Thank you.
6 (2.17 pm)
7 (A short break)
8 (2.23 pm)
9 THE CHAIRMAN: Okay. What we'll do is rather than wait, at
10 the moment the 2001 papers are being copied, and after
11 the questioning is finished we'll break for a few
12 minutes and look at what's in the 2001 papers and pick
13 up anything that needs to be picked up at that point.
14 Otherwise we're going to be sitting waiting for copying
15 to be done, which is sort of pointless.
16 A. Thank you, chairman.
17 MR STEWART: Can we start looking at the whole process of
18 gathering material together to go to inquest. That
19 started off quite soon after the coroner wrote to you
20 asking you to get the statements, and here's an example
21 of what you did respond to. It's at 022-079-210.
22 This goes out a week or two later, 7 November, to,
23 in this case, Dr Nesbitt, asking him for his statement,
24 and your statement, you say:
25 "... will be provided to our solicitor prior 20 to

116

1 release to the coroner."
2 And he comes back very quickly, 14 November, with
3 his response and statement. That's at 021-066-157.
4 That is Dr Nesbitt's statement.
5 You'll see there he makes no reference at all to the
6 critical incident review or to the findings of the
7 review or to the action plan. Did you think that
8 perhaps he might or could or should have mentioned those
9 things?
10 A. No. I didn't think that was the purpose of a statement
11 for the -- I thought the purpose of the statement --
12 because Dr Nesbitt had been involved in Raychel's
13 clinical care, that that -- the statement was about his
14 clinical management. And any statements before or
15 since, even, that are for a coroner are, I believe --
16 I understood, was in relation to their involvement in
17 the treatment.
18 Q. Of course, you obtained a statement from Dr Fulton --
19 A. Yes.
20 Q. -- who --
21 A. Yes, so that was what his statement was, to inform the
22 coroner of the process.
23 Q. Yes. Why didn't you ask Dr Nesbitt if he had any
24 comment on the process as well?
25 A. I wasn't -- I was -- my role in getting statements for

117

1 the coroner is not about me asking people what I think
2 I should do. I mean, he's a consultant, he would have
3 been asked for statements for the coroner before. I was
4 only, I see it, as a post-box in getting statements,
5 sending them off to the solicitor if there's going to be
6 legal representation, and then coordinating in between
7 that and sending them off to the coroner.
8 THE CHAIRMAN: Can I just clarify this? Was Dr Fulton
9 involved in treating Raychel?
10 A. No.
11 THE CHAIRMAN: Okay.
12 A. That came very later on, almost before the inquest,
13 before he was asked for it.
14 THE CHAIRMAN: Right. And who asked him for it?
15 A. I think that -- if my recollection serves me right, that
16 was discussion between counsel and the coroner --
17 THE CHAIRMAN: Right.
18 A. -- and an additional statement would go in regarding
19 Dr Fulton's involvement.
20 THE CHAIRMAN: Right. This is to explain what happened
21 afterwards.
22 A. Yes, but I wasn't involved in that discussion.
23 THE CHAIRMAN: So it's not about how Raychel was treated or
24 how that led to her death, it's about what the trust has
25 done after the event to try to put things right to avoid

118

1 a repetition?
2 A. Yes.
3 THE CHAIRMAN: Right. So that gives the trust an
4 opportunity to explain to the coroner what positive
5 steps have been taken in light of the circumstances of
6 Raychel's death?
7 A. Yes.
8 THE CHAIRMAN: Right.
9 A. Can I just say that currently now, that role would often
10 fall -- because there is the formal -- the regional
11 process for incident review investigations, critical
12 incident reviews, which is a process, those are normally
13 shared with the coroner, the whole -- you know, there's
14 a formal(?) process and sometimes I would be called to
15 the coroner's court to give evidence on that. So that's
16 where that's captured normally, now, currently.
17 MR STEWART: For the purposes of clarification, you are not
18 suggesting, are you, that the coroner suggested that
19 Dr Fulton give evidence?
20 A. I don't -- I was not involved in discussions with --
21 I know there were discussions in chambers with the
22 coroner, I wasn't party to those discussions.
23 Q. No, but you were party to practically every single
24 pre-inquest consultation with Dr Fulton, were you not?
25 A. No, I wasn't. I don't think I was at them, I think

119

1 I was at some of them. I think the notes -- why I put
2 myself in -- think the notes weren't clear that I was at
3 them all and I have possibly me in, but I wasn't --
4 I wasn't at every consultation, but I wasn't at
5 consultation in chambers with the coroner and counsel.
6 Q. But the term --
7 THE CHAIRMAN: Sorry. Is that during the inquest or is that
8 before the inquest?
9 A. Before the inquest.
10 THE CHAIRMAN: Okay.
11 MR STEWART: And what was the consultation in chambers
12 about?
13 A. Sorry?
14 Q. What was the consultation in chambers about?
15 A. I don't know. I wasn't there. I'm not sure what --
16 sorry, I've lost the train of the question.
17 Q. The question is quite simple. You seemed to suggest
18 that it might have been the coroner who suggested that
19 Dr Fulton give evidence.
20 A. It probably was the trust.
21 Q. It was the trust.
22 A. Right, okay, I didn't ...
23 Q. Can we just come back to Dr Nesbitt. So you didn't
24 suggest to him that he ought to make any comment about
25 the process, as you call it. Do you remember that you

120

1 discovered at the critical incident review that
2 Dr Nesbitt and Dr Jamison together went and made
3 a retrospective annotation of the anaesthetic record?
4 A. Yes.
5 Q. Do you remember that?
6 A. Yes.
7 Q. Did you think it might be appropriate for Dr Nesbitt to
8 make reference to that in his statement?
9 A. No.
10 Q. Why not?
11 A. Because Dr Nesbitt's statement, I believe, at that
12 stage, was about his involvement in treatment of her.
13 Now, Dr Jamison had made a note in the chart about the
14 change, the retrospective note, had made the note
15 regarding the fluids. Or Dr Nesbitt had made that note
16 regarding the fluids.
17 Q. Yes.
18 A. And -- but that was, I think, the advice of the trust
19 solicitor that that should change or that she shouldn't
20 quote that in her statement.
21 Q. All right. So you made no request to Dr Nesbitt to
22 mention it. Can we now go to --
23 A. Excuse me, sorry. Chair, I wasn't -- I wouldn't have
24 been suggesting to anyone, you know, what should go into
25 the statements. I think there's a feeling that I should

121

1 have suggested -- I would have been telling people that
2 I thought they should say.
3 THE CHAIRMAN: When Mr Zafar made the supplement to his
4 statement, was that at the suggestion of DLS rather than
5 yourself?
6 A. I believe it was. I think because it was that there was
7 an additional -- he was referred to somewhere else.
8 THE CHAIRMAN: So just to get to your point, you say that
9 it would not be your role --
10 A. No, I was coordinator --
11 THE CHAIRMAN: -- to suggest changes, even blindingly
12 obvious changes? Sometimes a change can have a sinister
13 or suspicious interpretation, but let's suppose there's
14 a blindingly obvious point like, as it turns out,
15 Mr Zafar has mentioned his first role with Raychel on
16 the ward round but he hasn't mentioned being called back
17 in after the collapse. Would that be your role to
18 suggest to him, entirely properly and entirely
19 innocently: look, you had a second involvement with
20 Raychel, do you not think you should refer to it? Or
21 is that the role of somebody else?
22 A. I believe my role was in coordinating statements,
23 gathering them up from staff in consultation with our
24 solicitors, who would have been giving advice regarding
25 statement.

122

1 THE CHAIRMAN: I want to get this clear, Mrs Brown, it's
2 very important. Are you saying it would be DLS who
3 would be suggesting Mr Zafar needs to consider adding
4 something to his statement rather than -- and you would
5 relay that to Mr Zafar?
6 A. Yes.
7 THE CHAIRMAN: But it would not be at your instigation?
8 A. I don't believe it was at my instigation.
9 MR STEWART: At that time, did you see yourself as assisting
10 the coroner or assisting the trust in this process?
11 A. I saw myself as coordinating statements for the coroner
12 and in that -- I was -- and I've coordinated statements
13 for the coroner before. So I would see myself as being
14 someone who has got a request from the coroner, I am the
15 trust representative coordinating those statements for
16 him. So how you see it -- I'm an employee of the trust.
17 So it's about a trust representative assisting the
18 coroner in his investigations.
19 Q. Well, when he wrote to you, and we looked at the letter
20 this morning, and said, "Get statements from all the
21 staff involved", and you didn't do that, I wonder to
22 what extent you saw yourself as fulfilling
23 your objective of assisting the coroner?
24 A. Sorry, can you ask that question again?
25 Q. The coroner wrote to you and said, "Please get

123

1 statements from all staff involved", and you didn't do
2 that. You didn't go to Dr Zafar, who was the main
3 surgeon seeing Raychel on 8 June. So he asked you for
4 assistance and you didn't do it. To what extent did you
5 see that as assisting the coroner?
6 A. Well, I believe that I had -- well, I -- you're quite
7 right, I didn't ask for a statement time from Mr Zafar
8 until sometime in January. But I was informing the
9 coroner all the way along of the staff that I had
10 requested statements from.
11 Q. Yes, but he could not look at all the papers and
12 determine himself who was involved, he relied on you to
13 do that.
14 A. Well, he had copied me into a letter -- he had copied --
15 I'd copied him into a letter I'd sent to Dr Sumner.
16 He had advised me Dr Sumner was his expert. So
17 Dr Sumner was writing a report for the coroner. So
18 that's why I was very clear in my document. I think
19 there was quite a long list of staff that I told him I'd
20 requested statements from, so that he -- and Dr Sumner
21 got a copy of that so that he could see who else he
22 would potentially require statements from, and I had
23 annotated them on the notes.
24 Q. Yes, but the question remains, he is reliant upon you to
25 identify the relevant staff and --

124

1 MR STITT: These questions do seem familiar, Mr Chairman.
2 I thought we had gone from A to Z ending up with Zafar
3 this morning.
4 MR STEWART: We'll just visit another one, and that's
5 in relation to a matter that Mr Stitt drew attention to,
6 something he objected to earlier on. You've just drawn
7 attention to the fact that you did draw the statements
8 to the attention of Dr Sumner, and this is something
9 that Mr Stitt was concerned about, there is reference
10 in the correspondence to the earlier statements going
11 astray.
12 A. Yes.
13 Q. And Mr Stitt was concerned that that word "astray"
14 should have been put in inverted commas, as though it
15 carried with it a pejorative connotation. This is where
16 you may have told Dr Sumner who might have been involved
17 but you didn't tell the coroner.
18 A. No.
19 Q. Can we have 012-050 --
20 A. I copied the letter to Dr Sumner to the coroner.
21 Q. I am sorry?
22 A. I copied the letter to Dr Sumner to the coroner.
23 I thought I gave a list to the coroner of the staff
24 involved.
25 Q. This is the question, and maybe you can clear this up

125

1 terribly straightforwardly. 012-050g-246. This is the
2 letter where you -- we're now into March 2002.
3 A. Yes.
4 Q. And he's been writing to you, saying, "Where are the
5 statements?"
6 A. Yes.
7 Q. And you say:
8 "I enclose to you a copy of my earlier letter to you
9 of January 02 which refers to the nine statements which
10 I sent to you."
11 Of course, he hasn't got them, and you then go on to
12 say:
13 "This letter with the original statements appears to
14 have gone astray."
15 A. Yes.
16 Q. And the question is on your files that letter of
17 25 January appears. It's at 022-054-151 and
18 022-054-152, and the question is: if you sent the letter
19 to the coroner, how is it that the letter headed and
20 signed letter remains on your file?
21 A. That's a photocopy of the letter. The ...
22 Q. Sorry, can I just ask? Do you customarily photocopy
23 letters as they go out or do you keep a file copy?
24 Because there's no other single incidence of the
25 original remaining on your file, but maybe I'm wrong.

126

1 A. I don't know. I know for a fact that the letter had
2 gone to the coroner with the statements. I was
3 extremely concerned that it -- the coroner hadn't got it
4 because I was in telephone conversation with the
5 coroner. It had gone to a different address and the
6 statements then were copied to the coroner.
7 Q. Yes, but are you saying that you photocopied it before
8 sending it on 25 January 2002?
9 A. I photocopied the?
10 Q. You're saying that in order for this to appear on your
11 file, you're saying you photocopied it before you sent
12 it.
13 A. What's in my file is a copy. I would have got the
14 letter printed off and re-signed it again.
15 Q. Let's move on. So Dr Jamison --
16 A. Excuse me, chair, I know the statements went to the
17 coroner at the address that was previously -- it had
18 previously gone to. That's where it was sent to.
19 THE CHAIRMAN: Right, okay.
20 MR STEWART: All right. So your evidence previously was
21 in relation to Dr Nesbitt's statement that although
22 he was engaged with Dr Jamison in amending
23 retrospectively the anaesthetic note, you didn't ask him
24 to amend his statement but you did indeed ask Dr Jamison
25 for an amendment, and that appears at 022-056-154.

127

1 It says:
2 "Thank you for your statement regarding the care of
3 Raychel Ferguson. I have forwarded a copy of your
4 statement to the trust's solicitor for perusal prior to
5 forwarding it to Mr Leckey. I note that you do not make
6 reference to the post-entry note, which you made on
7 13 June 2001. I think it is important that you do refer
8 to it. Do you wish to amend your statement? I am
9 returning a copy for your attention."
10 Now, it looks as though you're making this
11 suggestion to her off your own bat, or does it?
12 A. Well, "I forward your statement to the trust solicitor
13 for perusal". I believe that then I had a conversation
14 with the trust solicitor.
15 Q. In which case you'd have said, "I've forwarded to her
16 for perusal and she indicates that she might think about
17 making an amendment", but you don't. You say "I note
18 that you do not make reference, I think it is important.
19 I am returning a copy for your attention."
20 A. Yes.
21 Q. That looks to me as though you're asking her to amend
22 a statement.
23 A. Yes, I mean, I was drawing attention to an entry which
24 may be of assistance to her if she was going to be
25 questioned at the inquest regarding the note. It might

128

1 help her to have it in and have it clarified in her
2 statement.
3 Q. But you've been at pains to point out that you never ask
4 people to amend their statements.
5 A. No, but that's -- I don't know if that was off my own
6 bat or -- I mean, I have written to Mr Zafar and asked
7 in writing that he amend a statement, but it was in
8 consultation with solicitors, legal advice.
9 Q. In fact, on the same day, you write a letter to your
10 solicitor, to Ms Carey. 022-057-155. The same day as
11 you write to Dr Jamison suggesting she amend, you write
12 to the solicitor saying:
13 "Please now find enclosed for your attention,
14 statements from Dr Date and Dr Jamison. I have written
15 to Dr Jamison and asked her to make a reference to her
16 post-entry note and Mr Gilliland has sent his statement
17 off to the defence organisation."
18 So there's absolutely no mention there of
19 conversation and no reference to it being the
20 solicitor's idea to ask for an amendment.
21 Does that jog your memory?
22 A. Yes. It's there, I did write the letter. I'm not sure
23 if I wrote it after having spoken to the solicitor or if
24 it was -- and it's dated the same day, so I accept your
25 point. I think it was a good thing that Dr Jamison put

129

1 it in.
2 THE CHAIRMAN: And that might well be the case. There's no
3 doubt, whatever criticisms there are, that Dr Jamison
4 has made it absolutely clear in the clinical notes that
5 she is making a retrospective note so there's no
6 pretence that this note was made at a much earlier time.
7 A. Mm-hm.
8 THE CHAIRMAN: Okay? But the point, I think, which is being
9 made from this is that since you were just sending
10 Dr Jamison's initial statement to the CSA for their
11 information, your letter which was written on the same
12 day to Dr Jamison suggesting that she should include
13 a reference to the post-entry note seems much more
14 likely to have been your own idea rather than the
15 solicitor's idea because the solicitor would not have
16 seen the statement.
17 A. Yes, that does seem ...
18 THE CHAIRMAN: Right. That's why I was asking you a few
19 minutes ago, and you were really quite clear, Mrs Brown,
20 that you would relay requests or suggestions for change
21 to witnesses at the behest of DLS but you didn't
22 instigate changes yourself. And these two letters on
23 25 January do rather suggest that this is at least one
24 instance of you instigating a change yourself.
25 A. Yes.

130

1 THE CHAIRMAN: Right, thank you.
2 MR STEWART: In fact, this trail of correspondence continues
3 at 022-047-134. We're into February now, you're writing
4 again to the solicitors saying:
5 "I await your views on the statements by Dr Jamison
6 and Dr Date. I have already asked Dr Jamison to include
7 her reference to the post-entry records. I enclose her
8 amended statement."
9 So she complied with your suggestion. Do you
10 remember asking her to make any further amendments to
11 her statement?
12 A. Yes, I think there was a subsequent request, which
13 definitely didn't -- I don't believe generated for me --
14 and she was clear she didn't want to make any further
15 changes, which is always what would be advised to staff
16 if they -- it's their statement.
17 Q. What further amendment did you ask her to make?
18 THE CHAIRMAN: That they don't have to?
19 A. Yes.
20 MR STEWART: What further amendment did you ask her to make?
21 A. I don't remember. You might have it there, I don't --
22 Q. I was asking you, because I thought you might
23 remember --
24 A. No, I don't. I don't remember. I think -- I do
25 remember seeing a letter from Dr Jamison at some point

131

1 where she says, "This is my final statement", or I say
2 doesn't she wish to amend her statement, or something
3 like that.
4 Q. Yes, indeed, that appears at 022-045-125. This is on
5 18 February, again you to the solicitor, saying:
6 "Please note that Dr Jamison was unwilling to amend
7 her statement further."
8 I suggest to you that this body of correspondence
9 suggests that you were actively engaged in seeking
10 amendments to witnesses' statements.
11 A. That was in consultation with the trust solicitor. I
12 know I wasn't. I don't know what you -- I don't know
13 what this question is suggesting. I'm not quite sure.
14 Q. I'm not suggesting any wrongdoing specifically on your
15 part, rather a system that may have been inadequate.
16 Because, to be fair to you, you do write to the coroner,
17 telling him this. It's at 022-055-153. This is a list
18 you put together of the clinical staff involved in
19 Raychel's care, and whilst the list may be itself
20 inadequate, you do asterisk a number of individuals, and
21 indicate that by the asterisks that you have received
22 statements that they've been returned for minor
23 amendments.
24 A. Yes.
25 Q. So you're quite open with the coroner and you tell him

132

1 that you have been seeking minor amendments. At any
2 stage, did you let the coroner know what those
3 amendments were?
4 A. Well, the amended -- the amended statements would have
5 gone off.
6 Q. Yes, but he wouldn't have known what they were amended
7 from. Did the coroner ever express any disquiet that
8 you were returning statements for amendment?
9 A. No. I think there was an early stage where I advised
10 the coroner of who are the trust's -- who the trust's
11 solicitor was. I mean, the coroner often suggested that
12 staff -- accepted, I believe, that staff would have the
13 right to send their statement for advice to their
14 solicitor and get advice on it.
15 Q. Okay. When you --
16 THE CHAIRMAN: Sorry. I just want to follow the sequence
17 properly, Mr Stewart. I'm just looking at Dr Jamison's
18 statement to the coroner, and it doesn't appear that she
19 made the amendment which was suggested by covering the
20 retrospective note.
21 A. She does. There's two statements.
22 THE CHAIRMAN: Sorry, it's in the second statement then.
23 I'm looking at 012-034-164 and 165, if they could be
24 brought up together, please.
25 So that's just a first statement, is it?

133

1 A. No, that's your final statement to the coroner.
2 THE CHAIRMAN: But where has she added in it?
3 A. You see, in the second paragraph there where she -- the
4 bit where she goes:
5 "A litre of Hartmann's' solution was run through and
6 connected to her cannula prior to induction of
7 anaesthetic of which Raychel received approximately
8 200 ml in total during the course of the anaesthetic."
9 So that's -- that's the added bit.
10 MR STEWART: It did read "300 ml", did it?
11 A. It did at one time, yes, but that -- even that was an
12 amendment, but I think the litre of Hartmann's piece
13 wasn't in for her statement, if I understand it
14 correctly.
15 THE CHAIRMAN: Okay. But what she didn't add was that the
16 note was made retrospectively, but she ends up on the
17 right page being questioned about that.
18 A. Yes, that's right.
19 THE CHAIRMAN: Okay, thank you.
20 MR STEWART: The post-mortem report arrived with you at the
21 end of 2001 on 5 December, I think you received it.
22 A. Yes.
23 Q. And you shared it immediately with the principal doctors
24 concerned, Gilliland, Dr Nesbitt and Dr McCord.
25 A. I think I also shared it with Dr Fulton.

134

1 Q. Maybe you did. At 026-017-032. This is your note --
2 A. Yes.
3 Q. -- it looks as though Dr Fulton received it, he's marked
4 there, 7 December. And you have written:
5 "I have copied to Mr Gilliland, Dr Nesbitt and
6 Dr McCord."
7 A. Yes.
8 Q. And the actual report itself -- I wonder can we go to
9 the last page of the report at 022-070-176.
10 You'll see this is the commentary, and if we can
11 look at the last sentence of that main paragraph in the
12 middle where the pathologists concludes and comments:
13 "The abnormality of sodium balance and thus the
14 cerebral oedema which led to her death was thought to be
15 caused by three main factors.
16 "1. Infusion of hypotonic fluids.
17 "2. Profuse vomiting, and.
18 "3. Antidiuretic hormone secretion."
19 Did you receive any objections from Dr Fulton,
20 Dr Nesbitt, Dr McCord or Mr Gilliland in respect of the
21 conclusion that profuse vomiting was involved?
22 A. No, no.
23 Q. You then received the report of Dr Sumner on 18 February
24 at 160-197-001. (Pause).
25 THE CHAIRMAN: It'll be in the coroner's file 12. Give me

135

1 a second.
2 MR STEWART: In any event, the report from Sumner is
3 received around about February of 2002. You circulated
4 it as well.
5 A. Yes.
6 Q. And did you circulate it again to the same group of
7 doctors, Fulton, Nesbitt, McCord, Gilliland?
8 A. I believe I did.
9 Q. Did they come back and point out any factual
10 inaccuracies in relation to the assertion that Raychel
11 suffered severe and prolonged vomiting?
12 A. I think there's a letter where I quote the factual
13 inaccuracies.
14 Q. Yes, indeed there is. It's at 160-183-001. This is
15 where you relay back to the solicitor on 11 March some
16 of the comments relating to the factual inaccuracies
17 drawn to your attention by Dr Nesbitt and Dr McCord.
18 They are detailed things in relation to the amount, the
19 timings and the nasogastric tube, but there's no
20 objection there to the reference to severe or prolonged
21 vomiting; is that correct?
22 A. Yes.
23 Q. And that is on 11 March 2002. Is it correct that
24 a consultation was held on 20 March 2002? It's referred
25 to by you in your witness statement that there was

136

1 a pre-inquest consultation on 20 March. That's at
2 WS322/1, page 23.
3 There we are, at the top of the page:
4 "Consultation, 20 March 2002. Present: Mr Makar,
5 your solicitor [Scott] Mr McAlinden, Dr Nesbitt,
6 Mr Gilliland, Dr McCord and possibly [yourself]."
7 Why have you, can I ask you, only included yourself
8 possibly?
9 A. Because I got that information from DLS whenever I was
10 preparing the statement. I didn't have a record of
11 those consultations so I wasn't sure who was in
12 attendance at them and I couldn't access my diary.
13 Q. Is it normal for there to be consultations with the
14 solicitor, with counsel, and the lead clinicians in
15 a case without you being there?
16 A. It is possible. It happens -- it happens on occasions.
17 I don't attend every consultation with counsel and the
18 solicitor.
19 Q. But at this consultation on 20 March, we have Nesbitt,
20 McCord and Gilliland.
21 A. Yes.
22 Q. And these are the individuals who had had the reports of
23 post-mortem and Dr Sumner circulated without any
24 objection to the reference to vomiting.
25 Now, I wonder, can we turn to the letter of very

137

1 very severe and prolonged vomiting. This conclusion is
2 strongly disputed by the trust. The nurses who were
3 caring for the deceased during the relevant period have
4 been interviewed in detail about this matter and they
5 are all of the opinion that the vomiting suffered by the
6 deceased was neither severe nor prolonged."
7 Can I ask you who was the first person to articulate
8 this dispute and to disagree with the opinion of
9 Dr Sumner?
10 A. I honestly can't recall who was the first person.
11 I believe the letter came after the consultation, as you
12 quite rightly say, and my --
13 Q. Was this the solicitor's idea?
14 A. Pardon?
15 Q. Was this the solicitor's idea to write this?
16 A. To write the letter?
17 Q. To express this opinion.
18 A. I would very much doubt it.
19 MR STITT: Mr Chairman, we are getting very close to me
20 having to make an objection on legal advice privilege,
21 which I'd prefer not to have to do.
22 THE CHAIRMAN: Okay. We'll be very careful how this
23 questioning continues, but let's put it this way, there
24 had just been a consultation at which doctors Fulton and
25 Nesbitt were present.

139

1 shortly after the consultation of 20 March, it's
2 a letter sent on 29 March by the solicitor to the
3 coroner and it's at 160-163-001.
4 This is a letter to set out for the coroner various
5 submissions and a statement of what the trust's case was
6 going to be at the inquest. Did you know that Ms Scott,
7 assistant director of legal services, was going to write
8 this letter?
9 A. I knew that she was going to make contact with the
10 coroner. So I'm not -- I haven't read over here what
11 the key points are.
12 Q. I draw your attention to the final page, first of all,
13 which is 004. The final page concludes with the advice,
14 the express advice, that the trust:
15 "... wished me to bring these matters to your
16 attention well in advance of the hearing of this
17 inquest."
18 So she's writing this letter expressly on behalf of
19 and in consequence of the trust's wishes.
20 I wonder, can we go to page 003 of this document,
21 160-163-003, and to the second paragraph, where Scott
22 writes:
23 "Another issue which is of concern to the trust is
24 Dr Sumner's conclusion in page 4 of his report in the
25 comments numbered 2 and 5, that the deceased suffered

138

1 MR STEWART: Sorry, no, Nesbitt, McCord and Gilliland.
2 THE CHAIRMAN: I'm sorry, right. And as Mr Stewart was
3 taking you through, there had been no previous objection
4 raised to a point taken about the pathologist's report,
5 saying that Raychel's vomiting was profuse.
6 A. That's right.
7 THE CHAIRMAN: So what we're interested to know is where the
8 notion came from after the consultation that Raychel's
9 vomiting was neither severe nor prolonged.
10 A. I -- I don't know. My recollection is that I had never
11 heard before that -- from the nursing staff. I think
12 part of this arose because at that stage the coroner may
13 well have sent out initial lists of people who he wanted
14 to call along to the inquest, and I don't think any
15 nursing staff were on it.
16 THE CHAIRMAN: That's right.
17 A. And I was concerned, so I think that's how the
18 conversation had started. I know I personally was
19 concerned that nurses -- that the statements had -- you
20 know the statements that we talked about, about going
21 astray, that the coroner still hadn't got those
22 statements, and -- so that's where I believe the point
23 of the nurses. I think there was a discussion regarding
24 that the medical staff felt they would not necessarily
25 be able to clarify the issues around the vomiting in the

140

1 notes, the pluses and the -- I can't exactly recall the
2 reasoning for that, but I think that's what was the
3 background to it.
4 MR STEWART: You see, the evidence is and has been, first of
5 all Dr Fulton has said that the critical incident review
6 acknowledged, recognised, that the vomiting had been
7 prolonged.
8 Staff Nurse Noble told this inquiry that it was
9 recognised that the vomiting was both severe and
10 prolonged at the critical incident review.
11 And Sister Millar the other day recognised that it
12 was prolonged and could indeed be categorised as severe.
13 So how is it that this letter is written when it was
14 known that the critical incident review did not make
15 these findings?
16 A. I have to -- I was at the critical incident review.
17 I remember it well. There was never any agreement
18 at the review that the vomiting was profuse or severe.
19 Q. Was there a difference of opinion at the review as to
20 whether the vomiting --
21 A. No.
22 Q. -- was prolonged?
23 A. No.
24 Q. Everyone was agreed it was not prolonged; is that what
25 your evidence is?

141

1 A. No, I'm not saying -- I'm not saying that any one person
2 said, "Oh, that was very prolonged". There was
3 discussion regarding the vomits, and there was
4 discussion regarding the documentation of the vomits.
5 I don't remember the discussion getting into that point.
6 That's my recollection of the meeting.
7 Q. You see, Dr Fulton did remember. Was this letter sent
8 to Dr Fulton for his approval before it went?
9 A. I -- I don't believe the letter was sent -- I didn't see
10 it before it went so I don't believe --
11 Q. Can I ask you further about this?
12 THE CHAIRMAN: Sorry, when you say there was no agreement
13 at the critical incident review about whether the
14 vomiting was profuse, prolonged or severe, is that
15 because the critical incident review didn't go as far as
16 to look for an agreement or a consensus on that point?
17 There were issues raised about vomiting, but there was
18 no consensus sought or reached about how severe the
19 vomiting was?
20 A. I -- I mean, being a non-clinical person, I recall the
21 discussion regarding the vomiting. There was
22 a discussion about the documentation, the recordings of
23 the vomiting, there was discussion, absolutely, that
24 Raychel's vomiting was not any more unusual from
25 vomiting of other children. So my belief of profuse

142

1 would be something that is very, you know, extreme. But
2 then I'm not clinical, so I don't know what the
3 clinicians would mean by that. It absolutely lasted
4 over a period of time. So from that point of view it
5 was prolonged. I'm sure most children will have
6 recovered. But there was no disagreement about the
7 period of time that it lasted over.
8 THE CHAIRMAN: So it was prolonged?
9 A. About the prolonged, but that it was severe, definitely.
10 That is the -- that was not -- a discussion point at the
11 meeting no one gave any indication that it was unusual.
12 THE CHAIRMAN: No, but if it's not a discussion point at the
13 meeting that means it's not dealt with at the meeting.
14 A. No, the vomiting was discussed. The vomiting was
15 definitely discussed because I remember it being
16 discussed and the point about the pluses and the points
17 about the recording of vomiting. But in relation to it
18 being severe, I don't recall it being mentioned that it
19 was severe. I recall discussion that it was not
20 unusual.
21 THE CHAIRMAN: Well, when this letter says that the -- let
22 me just get the wording.
23 MR STEWART: The second paragraph, third line down:
24 "The nurses who were caring for the deceased during
25 the relevant period have been interviewed in detail

143

1 about this matter and they are all of the opinion that
2 the vomiting suffered by the deceased was neither severe
3 nor prolonged."
4 THE CHAIRMAN: When were they interviewed in detail?
5 A. They were never interviewed in detail. The critical
6 incident review was the critical incident review. There
7 was never separate interviews of the individual staff.
8 I don't recall it.
9 MR STEWART: Well, how did this letter come to be written in
10 these terms if there was no interviews?
11 A. I can't explain that. I didn't write the letter so
12 I can't explain that.
13 Q. Could it be that your solicitor is off doing something
14 on her own without your authority or the authority of
15 the trust?
16 A. I don't know.
17 MR STITT: If we want to extend the list of witnesses and
18 compel a solicitor to come and give evidence --
19 MR STEWART: It's a fair question for this witness to
20 answer.
21 Was this written without the authority of the trust
22 and without your knowledge?
23 A. I know that the solicitor was writing -- I mean, after
24 the consultation I knew the solicitor was writing to the
25 coroner. I didn't formulate the letter, the letter

144

1 wasn't approved by me before it went. I don't know if
2 it was approved by anybody else. So that was based on
3 consultation, I believe.
4 Q. So you were at the consultation?
5 A. Pardon?
6 THE CHAIRMAN: I think the witness might have been at the
7 consultation. But let's summarise it then. Emerging
8 from a consultation is a letter to the coroner on behalf
9 of the trust, which is wrong when it says that the
10 nursing witnesses have been interviewed in detail, and
11 which is wrong when it says that the nurses are all of
12 the opinion that the vomiting was not prolonged. So the
13 only issue is whether there was agreement that the
14 vomiting was not severe. So in the three points that
15 are raised, on three issues that are raised about the
16 nurses, two are wrong. Is that correct?
17 A. Well, there weren't interviews.
18 THE CHAIRMAN: That's right, there weren't interviews, and
19 they didn't agree, from what you've said, insofar as the
20 critical incident review is somehow regarded as
21 interviews, which is something of a misnomer --
22 A. Yes.
23 THE CHAIRMAN: -- then there was no agreement at the
24 critical incident review that Raychel's vomiting was not
25 prolonged.

145

1 A. No.
2 THE CHAIRMAN: No. So the only issue is how extensive her
3 vomiting was.
4 A. Yes, and --
5 THE CHAIRMAN: The autopsy report, which already has been
6 referred to the trust, says it's profuse.
7 A. Chairman, I am satisfied in my own mind that the view
8 at the meeting was at that vomiting was not severe or
9 profuse.
10 THE CHAIRMAN: Let me put it this way. I've heard the
11 nurses over a number of days giving their evidence and
12 the nursing -- first of all, I do not understand how you
13 could reach that -- the nurses could reach that view
14 unless there were proper records, because there aren't.
15 A. I accept that, yes.
16 THE CHAIRMAN: And also, if there's coffee-ground vomiting,
17 that is at least a sign, if not more than a sign, that
18 vomiting is severe.
19 A. Yes.
20 THE CHAIRMAN: Right? Do you remember that being discussed?
21 Do you remember at the critical incident review meeting
22 the fact that the vomiting had become coffee-ground
23 vomiting being discussed?
24 A. Well, that document -- that reference was made to the
25 coffee-ground vomiting.

146

1 THE CHAIRMAN: At the critical incident review?
2 A. At the critical incident -- all the vomits, because it
3 was documented.
4 THE CHAIRMAN: Right. So was that not taken at the critical
5 incident review as at least an indication of severity?
6 A. I don't -- I know I came out of that meeting believing
7 that there was no concern about the severity of the
8 vomiting. That's my recollection of the meeting.
9 THE CHAIRMAN: Thank you.
10 MR STITT: Mr Chairman, one of the earlier questions which
11 brought this subtopic up was a reference to the critical
12 incident meeting, and Mr Stewart indicated that
13 notwithstanding whether the witness could remember or
14 not, whether there was discussion about the amount and
15 type of vomit that Dr Fulton could -- and was the letter
16 sent to Dr Fulton for his approval before it was being
17 sent. An entirely appropriate question to ask.
18 I think it's probably fair of me to suggest that if
19 one was to look -- and perhaps this could be pulled up,
20 043/3.
21 MR STEWART: Page 14.
22 MR STITT: Page 14.
23 THE CHAIRMAN: This is a witness statement, is it?
24 MR STITT: Yes, it's the Fulton witness statement. It ties
25 into the last questions. I hope that's the right

147

1 reference.
2 THE CHAIRMAN: Yes.
3 MR STITT: No, that's not, sorry.
4 MR STEWART: That's the wrong witness statement.
5 MR STITT: Sorry, I said 43. But it may have sounded
6 like --
7 MR STEWART: It's 043/3, page 14.
8 THE CHAIRMAN: WS043/3, page 14, please.
9 MR STITT: If I can go to the bottom half of that page and
10 the last paragraph, because this issue goes to this
11 letter and the provenance of the letter and the accuracy
12 or otherwise, and this is Dr Fulton, no doubt you will
13 ask him about this.
14 He says:
15 "Question. The extent type and duration of the
16 vomiting suffered by Raychel."
17 And the question is at the top of the page
18 in relation to the critical incident review meeting:
19 "Please also confirm whether consideration was given
20 to..."
21 And then we fast forward down to (e), down to --
22 it's not lettered, but it would be (f), the extent, type
23 and duration of the vomiting.
24 And the point to which I was going to refer was this
25 is answered:

148

1 "This was described by the nurses who clearly
2 believed it was due to prolonged post-operative
3 vomiting. They agreed that the vomiting was prolonged
4 but not unusual after this type of surgery. They did
5 not believe that the vomiting was excessive, though they
6 said they may not have witnessed all the vomit. The
7 nursing method of recording vomit."
8 Et cetera.
9 And then the last sentence. Could we go to page 15,
10 same reference, the next page.
11 The third sentence down:
12 "I was unable to reconcile the different views of
13 the nurses and the family over the severity of the
14 vomiting."
15 So I'm suggesting to Mr Stewart that really it's
16 unfair to suggest that this letter has no reasonable
17 provenance.
18 MR STEWART: Hang on a second. Just read the sentence
19 that's there above that one:
20 "The nurses said that the Ferguson family told them
21 during 8 June that they, the family, believed that
22 Raychel's vomiting was repeated and severe.
23 Accordingly, I was unable to reconcile the different
24 views of the nurses and the family."
25 So there's no determination on the issue, he wasn't

149

1 able to make a determination, but what he is able to say
2 is what he says at the bottom of page 14:
3 "They agreed that the vomiting was prolonged."
4 And that's the point I put to this witness, that
5 Dr Fulton recalled it as being identified as prolonged
6 at a meeting.
7 MR STITT: I don't take issue with the question of the fact
8 that the word "prolonged" clearly appears there, but
9 it's in the sense of the fact it was prolonged but it
10 was believed by them to be post-operative vomiting.
11 THE CHAIRMAN: But that's not the point. The DLS letter
12 says specifically the nursing witnesses have been
13 interviewed at length, which they weren't. It says they
14 agreed that the vomiting was not prolonged, which they
15 don't, and then it says that they agreed the vomiting is
16 not severe, and that's the only point on which this
17 issue is accurately raised in the DLS letter to the
18 coroner.
19 MR STITT: Prolonged and severe is a two part. And it's
20 clear that the word "prolonged", Dr Fulton's evidence
21 was adopted by the nurses, but with the proviso that
22 they felt, wrongly perhaps, it's a matter for you and
23 others, that that was normal but prolonged
24 post-operative vomiting.
25 But the context of the letter and the context of the

150

1 report from Dr Sumner is to take -- without reference to
2 the nurses, to take the conclusion that the vomiting was
3 prolonged in a bad way or in an unusual way, and that's
4 clearly the difference between the nurses and Dr Sumner,
5 whether prolonged was a bad prolonged or a normal
6 prolonged, for want of a better term.
7 THE CHAIRMAN: Okay.
8 MR STEWART: Do you think that this letter -- let's go back
9 to 160-163-003. This is a serious letter to write to
10 Her Majesty's coroner. It's a lengthy four-page letter.
11 I'm not sure whether you think -- is it normal to write
12 to the coroner, setting out an argument or a case before
13 the case is begun? Is that normal?
14 A. Well, I -- the letter is in relation to -- I think the
15 whole purpose of the letter is in relation to the
16 article 2 point of the --
17 Q. Well, it isn't the whole purpose because we've just been
18 dealing with one of the purposes of the letter.
19 A. Yeah, but I think it was following the consultation
20 there were a number of points going off to the coroner.
21 Q. Yes. This is the one we're dealing with. Do you think
22 that the coroner might have been misled by this
23 paragraph that we've been looking at?
24 A. I'm not sure.
25 Q. Might he have been misled into believing, for example,

151

1 that the nurses had all been interviewed?
2 A. I mean, I'm thinking back to this particular point here,
3 and that followed the consultation, so I don't believe
4 that -- there must have been communication at the
5 consultation that the nurses have been asked or the
6 nurses -- you know, so to say they've been interviewed
7 at length is not factually correct, but the nurses had
8 already -- had said -- I mean, this wasn't -- this was
9 information that was coming to the solicitor through
10 other people, which was that the nurses had --
11 Q. Let's go back to the nurses in a moment, but do you
12 think that the coroner might have been misled by this
13 letter?
14 A. I ... Well, if it's factually incorrect --
15 Q. Yes.
16 A. -- there's a potential to mislead.
17 Q. Yes.
18 A. But I don't -- I mean ...
19 Q. Because when we come to that -- the four lines up from
20 the bottom of that second paragraph, Ms Scott expresses
21 one of the reasons why she's writing:
22 "... because I would simply question whether the
23 requirements of procedural fairness are satisfied by
24 permitting such expressions of opinion as are expressed
25 in Dr Sumner's report."

152

1 It's taking a moral high ground here about
2 procedural fairness.
3 Do you think, in the light of the fact that it's
4 factually incorrect, that that is appropriate?
5 A. Sorry, I'm at a bit of a loss here, I'm not sure
6 exactly --
7 Q. When did this letter first come to your attention?
8 A. Oh, it's in the papers. I've seen -- I've seen it
9 in the papers.
10 Q. How many days after it was written did it first come to
11 your attention?
12 THE CHAIRMAN: Do you remember being copied into it or it
13 being copied on to you after it had been sent by DLS?
14 A. No. I wouldn't have expected it to.
15 MR STEWART: You wouldn't have expected a long letter,
16 setting out the trust's case to the coroner, to be
17 brought to your attention? Is that what you're telling
18 the inquiry?
19 A. I didn't expect to see -- I mean, I know I didn't see
20 the letter, so if I didn't see it and didn't request it,
21 I mustn't have expected to. I knew there was a letter
22 going regarding the issues, particularly around the
23 article 2 point and particularly around the Dr Sumner
24 report. So I knew a letter was going. I didn't ask to
25 see the letter and I wasn't copied into it.

153

1 Q. Who would have told Ms Scott that the trust wished her
2 to bring these matters to the coroner's attention?
3 A. I don't know. It probably ...
4 THE CHAIRMAN: I'll infer that that's done as a combination
5 of the trust witnesses and representatives on the one
6 hand, the trust counsel and trust solicitor. Okay?
7 A. Yes.
8 MR STEWART: And can I also ask, will you agree with me,
9 with this basic interpretation of that section dealing
10 with the vomiting, that essentially what you're saying
11 here is "this is the trust case, the vomiting wasn't
12 severe, the vomiting wasn't prolonged", and that's the
13 trust case because the evidence is that the nursing
14 staff don't have that view?
15 A. Yes.
16 MR STITT: Sorry to interrupt more than perhaps I should,
17 but very briefly, with respect, it's perhaps slightly
18 unfair to say that's the trust's case. The fact is that
19 if they're in possession of opinions, right or wrong,
20 that the nurses think this was prolonged but normal
21 after an operation and it wasn't severe, and there's
22 a difference with the family, the nurses may be
23 completely wrong in that, but the letter is saying,
24 "Look, just hear the nurses and form your own view", and
25 that's what the coroner was going to do and what he did

154

1 do.
2 MR STEWART: It isn't just requests to "Oh, just hear the
3 evidence please, make up your own mind". It is put
4 in the starkest of terms:
5 "This conclusion is strongly disputed by the trust.
6 The nurses had been interviewed in detail about this
7 letter and they're all of the opinion that the vomiting
8 suffered by the deceased was neither severe nor
9 prolonged ."
10 MR STITT: The coroner is his own master, he can form his
11 own view as to whether he believe there's any weight to
12 be given to any nurse or any doctor or any individual.
13 THE CHAIRMAN: He can. Okay. Let's move on.
14 MR STEWART: That all occurred as a result of a consultation
15 on 20 March.
16 The next consultation occurs, it looks like
17 in April 2002, the next month. That appears from your
18 witness statement.
19 And immediately after that, Dr Nesbitt then writes
20 a letter to the CMO on 1 May 2002, and that letter
21 appears at 022-091-298.
22 He writes to Dr Campbell, the CMO, to express his
23 interest to know if guidance was issued following the
24 death of the previous child in the RBHSC five years
25 before and whose death the coroner investigated.

155

1 Were you at that meeting, consultation, in
2 April 2002?
3 A. Possibly.
4 Q. Possibly. Because it seems that on that occasion it was
5 doctors Fulton and Nesbitt with the solicitor and
6 Mr McAlinden.
7 A. Yes, I think it was to go over their witness statements
8 in preparation for the inquest.
9 Q. So it was the two medical directors?
10 A. Yes.
11 Q. And this letter was the outcome of that consultation?
12 A. No, that letter's written to Dr Campbell, so I didn't
13 think it was.
14 Q. Was it discussed and planned at that consultation?
15 A. Well, Dr Fulton's statement was discussed --
16 Q. Yes.
17 A. -- at the consultation. So yes.
18 Q. And then also immediately after that consultation, you
19 write to the DLS on 3 May at 160-143-001. You ask -- in
20 fact, you ask your solicitor:
21 "Is it possible for you to ask the coroner to
22 receive a copy of any recommendations made by Dr Sumner
23 after he investigated the death five years ago? Perhaps
24 we cannot request this."
25 So it looks as though you and Dr Nesbitt are

156

1 following the same path of investigation about
2 information relating to what is probably Adam Strain's
3 case.
4 A. Yes.
5 Q. And what did you hope to do with that information, why
6 were you interested in it at that stage?
7 A. To have the information so that trust witnesses -- so
8 that Dr Fulton would know if there was information that
9 had come out. The guidance was all being discussed
10 at the time in April and May, so it was to see what
11 the -- the coroner had told me that Dr Sumner had
12 represented him at a previous inquest. So it was to see
13 what guidance he had. It was to gather all the
14 information together really.
15 Q. Yes. You see, Dr Nesbitt had served on the CMOs working
16 group himself. He knew precisely what guidance there
17 was in the mid-1990s in Northern Ireland, didn't he? He
18 didn't need to write to the CMO at that stage to ask him
19 this question.
20 Was this in fact an essay in damage limitation, you
21 were putting together mitigating circumstances to bring
22 to the coroner's attention?
23 A. I don't believe -- that's not how I see it. It was
24 about gathering information because Dr Fulton was being
25 asked to do a statement and it was so -- it was to

157

1 follow up on Dr Fulton's statement, I believe. I don't
2 know the exact reason.
3 Q. Is that because you possibly weren't there at the --
4 A. I wrote the letter, though, on 3 May.
5 Q. Yes. The next consultation then is Halloween,
6 31 October 2002. That appears from your witness
7 statement again, and you're there on 31 October?
8 A. Yes.
9 Q. As indeed is Mr Gilliland, Dr Nesbitt and Sister Millar.
10 A. Yes.
11 Q. Again with the solicitor D Scott and counsel,
12 Mr McAlinden. That was on 31 October. And it appears
13 that the next day, Dr Jenkins is briefed.
14 What I'm attempting to demonstrate here is that not
15 much happens in this case except when there's
16 a pre-inquest consultation and then there's a flurry of
17 activity. So Dr Jenkins was briefed on 1 November. And
18 also on 1 November you ask for nursing statements about
19 the vomiting.
20 Can we go to 022-017-056?
21 This is your letter to Nurse Gilchrist, who may
22 indeed have supplied you or somebody with a statement in
23 June 2001, and you say that you have the two-day inquest
24 listed, 26 November:
25 "Dr Nesbitt and I met with the barrister yesterday.

158

1 The barrister feels it is important that we counteract
2 the comments made by Dr Sumner, the independent expert,
3 in relation to the allegation of excessive vomiting and
4 to do this he feels it is important we bring along the
5 nursing staff."
6 And so forth.
7 And then the positive aspects of the case.
8 So the nursing staff are unaware until 1 November
9 that they have to go along and give evidence about the
10 vomiting?
11 A. Yes. The nursing staff weren't on the list of witnesses
12 the coroner had provided, and I believe that at that
13 consultation on 31 October that the medical staff felt
14 that if they were asked questions, which they would have
15 expected the coroner to ask about the pluses and
16 vomiting, you know, the process, so it is exactly as it
17 says, it was exactly what was discussed, which I put in
18 writing.
19 Q. Yes.
20 THE CHAIRMAN: The point of having Sister Millar at the
21 consultation on 31 October would be to explore this
22 issue.
23 A. Yes, try to explain it.
24 THE CHAIRMAN: And without going into too much detail about
25 what happened at the consultation, the outcome of

159

1 that is that the nurses who were involved in Raychel's
2 care are then asked for witness statements for the
3 coroner?
4 A. Yes -- no -- well, most of them had read -- this is only
5 one additional nurse. The other nurses had already all
6 been asked, but the coroner had been didn't and she had
7 also appeared in the notes. I'm not sure if she'd
8 written in the notes, but she's also been referenced in
9 somebody else's statement.
10 THE CHAIRMAN: Okay. So this is to complete the circle?
11 A. Yes.
12 MR STEWART: Then if you don't mind us just following the
13 trail in chronological sequence. The next important
14 thing is that Dr Jenkins furnishes you with his report
15 on 12 November 2002, and it appears at 022-010a-040 and
16 041.
17 Essentially, Dr Jenkins is unable to form a firm
18 conclusion, but he seeks more information, and he says
19 that on a number of occasions.
20 Going to the conclusion, he says:
21 "Having carefully studied the statements provided by
22 the doctors and nurses involved in Raychel's care ..."
23 So he obviously doesn't have the statements back,
24 for example from Gilchrist, who you just asked for
25 a statement from. He says:

160

1 " ... my impression is that they acted in accordance
2 with established custom and practice in the unit at that
3 time. It is, however, important that further details
4 are obtained of relevant nurses and medical procedures
5 and management in relation to fluid administration and
6 post-operative monitoring of fluid intake, urine output
7 and other losses ... In particular, information needs
8 to be obtained regarding the local policy for
9 post-operative fluid administration in children. Was
10 the prescribed regime in this case in keeping with this
11 guidance?"

12 What steps did you take to furnish Dr Jenkins with
13 all the information that he seeking? (Pause).

14 A. I can't recall providing Dr Jenkins with any
15 information. I never actually, as far as I can recall,
16 ever spoke to Dr Jenkins.

17 Q. Did you take any steps to provide him with any
18 information?

19 A. Well, it would have been done through -- I believe
20 it would have been done through DLS, but ... So
21 obviously statements will have been provided, but
22 I don't think there were any relevant nursing and
23 medical procedures in management in relation to fluid
24 administration. I don't think there were any written
25 procedures.

161

1 Q. Is there any correspondence between you and the DLS
2 in relation to this matter?

3 A. No.

4 Q. No. Then after that, on 3 December 2002, Dr Warde in
5 Dublin is briefed. That appears at 160-083-001.

6 Dr Declan Warde is given a brief synopsis of the
7 case, he's told of the dates for the proposed inquest,
8 and he's told that Sumner has been retained and a report
9 obtained and he's asked:

10 "I would be obliged if you could provide comment
11 regarding the treatment provided and the issues raised
12 by Dr Sumner in his report. I thank you for agreeing to
13 prepare a report and attend the inquest hearing on
14 behalf of the trust in respect of this matter. I look
15 forward to receiving your report as soon as possible."

16 So at that stage it was intended that Dr Warde
17 should give evidence at the inquest, was it?

18 A. Yes that was my understanding. I didn't know of --

19 I didn't know Dr Warde but I knew there was -- because
20 Dr Sumner was a paediatric anaesthetist, I think that's
21 why there was a suggestion that we should get the advice
22 of a paediatric anaesthetist. And my recollection
23 is that it was to do with a lot of the issues that
24 Dr Sumner was really -- he had made comments about,
25 I think it was about the nasogastric tube, some of the

162

1 discussions that he had made regarding managing
2 vomiting, which staff did not believe would be common
3 practice in hospitals in Northern Ireland.

4 Q. He's asked specifically to deal with the issues raised
5 by Dr Sumner, not a particular issue.

6 A. Yes. No, I know, but I think that's why there was
7 a suggestion that -- Dr Sumner made some discussions
8 regarding those things and I think that's why there was
9 a suggestion it should be a consultant paediatric
10 anaesthetist.

11 Q. In any event, his report is then received and it's
12 received by you from the DLS under cover of a letter of
13 20 January 2003, and he actually expresses an opinion.
14 It's at 022-006-023.

15 You see there:

16 "In my opinion [blank, that's Raychell] died as
17 a result of developing acute cerebral oedema secondary
18 to acute hyponatraemia, which was itself caused by
19 a combination of severe and protracted post-operative
20 vomiting."

21 Do you remember when this report was received by
22 you? Did you read it?

23 A. I remember -- I did receive it. You probably --

24 Q. Sorry?

25 A. The date I'm not -- I know it was some date in January,

163

1 yes. I got a fax, I think.

2 Q. Well, here we are, 022-006-026.

3 To you from D Scott:

4 "I refer to our earlier telephone conversation
5 regarding the above matter and now enclose herewith
6 a copy of the report which was received from
7 Dr Declan Warde for your attention."

8 So did you give it your attention?

9 A. Yes, I think I copied it to -- I believe I copied it to
10 Dr Nesbitt and Dr Fulton. So I know I did do that.

11 Q. Because almost immediately afterwards it's decided that
12 Dr Jenkins should be approached and his response to
13 Dr Warde's opinion sought.

14 A. Yes. I didn't do that, that was done through
15 a solicitor, yes.

16 Q. Of course, but she wouldn't do that without your say-so,
17 would she?

18 A. No.

19 Q. She would have to act to your authority to go to an
20 expert.

21 A. Well, Dr Jenkins was already instructed so the trust had
22 already instructed that he be --

23 THE CHAIRMAN: Counsel might suggest that. Counsel's

24 instructed, he's got a report in from Dr Jenkins, he

25 gets a report in from Dr Warde. He might suggest that

164

1 Dr Jenkins is asked. It doesn't have to come through
2 the trust.
3 MR STEWART: Were you normally asked for your authority
4 at the outset before retaining a consultant?
5 A. Yes, well, we had already -- I agree that I was involved
6 in the authority to instruct Dr Warde --
7 Q. Yes.
8 A. -- and Dr Jenkins.
9 Q. Yes.
10 A. That would have been part of my role in providing
11 authority on behalf of the trust.
12 Q. Well, let's look at the letter that the solicitor did
13 write to Dr Jenkins. It's at 160-045-001. And that's
14 very soon after, three days later, 23 January 2003.
15 This is a letter written to Dr Jenkins by the
16 solicitor, 23 January, and she writes -- I'll read out
17 the entirety of the letter:
18 "Dear sir, re Raychel Ferguson deceased.
19 "I refer to the above matter enclosed herewith
20 a copy of the report which has been received from
21 Dr Declan Warde, the consultant paediatric anaesthetist
22 retained to advise the trust. I would be gratefully
23 obliged if you could consider Dr Warde's report and
24 provide me with any further comments which you have,
25 which might assist the trust. As a matter of urgency,

165

1 please revert ..."
2 So in consequence of that, Dr Jenkins comes back
3 a few days later with his second report. That appears
4 at 022-004-013.
5 There in the middle of that page, he refers to
6 Dr Warde, makes reference to the significance of
7 vomiting:
8 "I pointed out in my report of 12 November the
9 importance of seeking further information regarding the
10 frequency and severity of Raychel's vomiting in the
11 opinion of senior staff given the comments in the report
12 by Sister E Millar. I have also not been provided with
13 any further details of relevant nursing and medical
14 procedure and management in relation to fluid
15 administration of post-operative monitoring of fluid
16 intake, urine output and other losses such as vomiting."
17 At that stage was any attempt made to tell him that
18 you hadn't attempted to locate this information and you
19 probably couldn't supply him with it because it didn't
20 exist?
21 A. I can't recall that. I don't see any documentation on
22 my file of me doing that. I didn't have any direct
23 communication with Dr Jenkins, it was through DLS, so
24 I'm sure I would have been asked for it by DLS but
25 I don't have any record of it.

166

1 Q. Well, the next thing to be noted, next development, is
2 at 160-044-001. This is from the DLS file.
3 This is somebody saying:
4 "[Asterisk] I left a message with Dr Warde's wife
5 and advised that he was not required to attend the
6 inquest hearing."
7 Dated 28 January 2003.
8 Who decided that Dr Warde shouldn't come to the
9 inquest?
10 A. I believe it was a decision taken in consultation with
11 counsel and the clinical staff that --
12 Q. Sorry, who decided?
13 A. I don't know who exactly made the decision, but I --
14 I think that came -- that came from DLS, so it was
15 probably in consultation with our legal advisers that
16 the report from Dr Warde wasn't saying anything
17 different to Dr Sumner's report. So that's my
18 recollection, so that Dr Sumner was already being called
19 as a witness. I think that was the rationale behind
20 that.
21 Q. Are you saying there was a consultation after Dr
22 Jenkins' second report came in on 27 January prior to
23 this message --
24 A. No, there was definitely wasn't a consultation.
25 Q. So there wasn't a meeting --

167

1 A. No, there wasn't a meeting --
2 Q. Who discussed it?
3 MR STITT: Might I repeat an objection and a claim which
4 I made previously in this inquiry dealing with any form
5 of legal advice and I --
6 THE CHAIRMAN: Okay. I understand, unfortunately, this is
7 an area we can't get into, but let me make this
8 absolutely clear. I find it very hard to accept that
9 a decision was taken that Dr Warde should not be called
10 to give evidence simply because he agreed with Dr Sumner
11 and wasn't adding anything further.
12 MR STITT: That's part of the problem. That's part of the
13 problem in trying to distil a complicated issue into
14 a short conclusion.
15 It's quite clear that there has been legal input and
16 legal advice input into the decision as to which
17 evidence would be relied upon and which would not.
18 I have already made my points in relation to the
19 appropriateness in law of so doing, and I note your
20 views in relation to that, Mr Chairman. But the point
21 simply is this, one cannot without having a full
22 discussion on the matter, and without doing that it's
23 just simply impossible to sum up in one sentence.
24 THE CHAIRMAN: Okay. We'll move on, Mr Stewart.
25 MR STEWART: Very well.

168

1 THE CHAIRMAN: I'm sorry, let me just ask one point. You're
2 the risk management coordinator in the trust.
3 A. Yes.
4 THE CHAIRMAN: Do you have any input into a decision about
5 which experts are called, since you've given authority
6 for these experts to be engaged?
7 A. Yes.
8 THE CHAIRMAN: And it is your authority, you made that clear
9 a few minutes ago --
10 A. Yes.
11 THE CHAIRMAN: -- do you not, then, have some input into the
12 decision about which experts are called or not called
13 at the inquest?
14 A. From the trust's point of view?
15 THE CHAIRMAN: Yes.
16 A. Well, only -- it's very unusual that the trust does
17 actually look for experts. Normally, now, we would
18 suggest to the coroner that he should perhaps get an
19 expert in another particular field. That would be the
20 normal --
21 THE CHAIRMAN: Let's look at this scenario.
22 A. Yes. So it's not a usual thing to do. I have to say it
23 is very unusual.
24 THE CHAIRMAN: All the more reason why you might remember
25 it.

169

1 A. Yes.
2 THE CHAIRMAN: You gave authority on behalf of the trust to
3 the trust's lawyers to get both Dr Jenkins and Dr Warde
4 to report.
5 A. Yes.
6 THE CHAIRMAN: Right. And the trust has to give that
7 authority for the expenditure involved.
8 A. Yes.
9 THE CHAIRMAN: So a decision is then taken not to use
10 Dr Warde in any way at the inquest.
11 A. Yes.
12 THE CHAIRMAN: Did you have any input into that decision?
13 A. I wouldn't have had the clinical knowledge to have an
14 input into that decision. I wouldn't have had --
15 THE CHAIRMAN: With all due respect, Mrs Brown, I entirely
16 accept that you might not have had the clinical
17 knowledge, but if the trust had declared through DLS
18 that it was going to challenge Dr Sumner's conclusion
19 about vomiting --
20 A. Yes.
21 THE CHAIRMAN: -- and to that end, and to cover a number of
22 issues, the trust then engaged Dr Warde, and Dr Warde
23 comes back and significantly endorses what Dr Sumner has
24 said, you don't have to have the clinical knowledge to
25 understand that Dr Warde is largely in agreement with

170

1 Dr Sumner so that if you're going to challenge
2 Dr Sumner, your case isn't helped if there's a second
3 report before the coroner from Dr Warde, which is along
4 the same lines. That's pretty obvious, isn't it?
5 A. I accept that, yes.
6 THE CHAIRMAN: So let me ask you again. Did you then have
7 any input into the decision that Dr Warde would not be
8 used as a witness at the inquest?
9 A. I don't recall. I knew that Dr Warde wasn't coming, so
10 yes, I knew he wasn't coming. Whether it was my
11 instructions to the solicitor not to call him or not,
12 I knew he wasn't coming to the inquest.
13 THE CHAIRMAN: When you answer it like that, does that
14 indicate that there's at the very least a possibility
15 that you had some input into the decision or that in
16 fact it might have been on your say-so that Dr Warde
17 wasn't called?
18 A. But I am not a doctor so I don't believe I could have
19 said that Dr Warde's report was any -- you know, the
20 coroner had Dr Sumner's report.
21 THE CHAIRMAN: Yes.
22 A. So this was information to go -- Dr Warde is
23 a witness -- calling him as a witness.
24 THE CHAIRMAN: The coroner had Dr Sumner's report.
25 A. Yes, and he was calling Dr Sumner.

171

1 THE CHAIRMAN: All right. Dr Sumner's going to give
2 evidence. The trust has written through DLS to the
3 coroner to say: there are some points that Dr Sumner
4 makes which we don't agree with. Right?
5 A. Yes.
6 THE CHAIRMAN: So the trust to strengthen its response to
7 Dr Sumner, Dr Warde is engaged --
8 A. No, Dr Jenkins was actually got initially.
9 THE CHAIRMAN: Right, but Dr Warde is also engaged --
10 A. Yes.
11 THE CHAIRMAN: -- and he sent Dr Sumner's report and he's
12 asked to respond to the issues raised by Dr Sumner.
13 A. Yes.
14 THE CHAIRMAN: So he comes back with a report, which I will
15 broadly, crudely summarise by saying it broadly endorses
16 what Dr Sumner is saying.
17 A. Yes.
18 THE CHAIRMAN: So if the trust is going to contest at least
19 some of what Dr Sumner has concluded, then that's why
20 it's going to call for instance the nurses. Right?
21 Because Dr Sumner says the vomiting was severe and
22 prolonged, the nurses say it wasn't, so the nurses are
23 going to be called to give evidence.
24 But you now have a report from Dr Warde, which says
25 the vomiting was severe and prolonged. So somebody

172

1 decides "Let's not call Dr Warde", I'm asking you, did
2 you make that decision or have some input into that
3 decision?
4 A. I do not recall having Dr Warde -- to call him as
5 a witness but I accept that --
6 THE CHAIRMAN: Well, DLS called him --
7 A. Yes.
8 THE CHAIRMAN: -- and spoke to his wife --
9 A. Yes.
10 THE CHAIRMAN: -- and told his wife that Dr Warde was not
11 required. I'm looking to find out who made that
12 decision that Dr Warde was not required.
13 A. I don't know whose advice it was to DLS that we would
14 not require Dr Warde.
15 MR STEWART: Who made the decision?
16 A. Pardon?
17 Q. Who made the decision?
18 A. Not to?
19 Q. Call Dr Warde.
20 A. I don't remember. I'm sure I would have instructed DLS
21 that he wasn't being called. I don't know. I don't
22 remember who made the decision.
23 Q. Who else apart from you would have made the decision?
24 MR STITT: Well, we all know, and Mr Stewart knows, that one
25 of the persons who could make -- one of the bodies of

173

1 people that could have made the decision were legal
2 advisers --
3 THE CHAIRMAN: Yes.
4 MR STITT: -- or it could have been the trust or it could
5 have been a combination of the two.
6 THE CHAIRMAN: That's why I'm asking the witness. I accept
7 your point about going behind the decision. What I'm
8 simply asking is who made the decision.
9 MR STITT: That's why I didn't interrupt, sir, when you were
10 asking those questions, and the witness, I thought, had
11 answered as best she could.
12 THE CHAIRMAN: I'm sorry, the witness said -- Mrs Brown,
13 sorry, I don't mean to crude referring to you as the
14 witness, Mrs Brown, it's rather disrespectful, but you
15 said a few moments ago -- I'm just looking to see
16 exactly what you said. Sorry, what you said was:
17 "Whether it was my instructions to the solicitor not
18 to call him or not, I knew he wasn't coming to the
19 inquest."
20 A. Yes.
21 THE CHAIRMAN: That suggests that it is at least
22 a possibility that you instructed DLS that Dr Warde
23 should not be called as a witness at the inquest.
24 A. Yes, I accept that, after advice and discussion with --
25 I'm sure Dr Warde, Dr Jenkins -- I mean, after

174

1 discussion with our legal advisers and clinical input
2 into that discussion.
3 THE CHAIRMAN: Okay. Thank you.
4 MR STEWART: Perhaps now we'll move into a slightly related
5 question in a more minor key.
6 Dr Jenkins then produces two days later another
7 report, a third and this time a final report which
8 appears at 022-004-010.
9 This is the report that ultimately goes to the
10 coroner and forms the basis of his deposition.
11 A. Mm-hm.
12 Q. This is obviously not the same as the second report,
13 which dealt with Dr Warde's opinion, but it's an amended
14 version of his first report, and he leaves out several
15 sections and he adds one additional section. And he
16 leaves out the bit where he concedes the possibility
17 that it might be possible to agree with Dr Sumner. Did
18 you know anything about Dr Jenkins going off to write
19 a third report?
20 A. I had no input -- I knew there were consultations with
21 Dr Jenkins. I had no input into Dr Jenkins, you know,
22 discussions with his counsel, with our counsel regarding
23 Dr Jenkins' second report.
24 Q. I'm asking you a different question. Did you know that
25 he was writing a third report?

175

1 A. I'm sure I received a copy of it on the -- I think
2 that's the fax enclosing it to me, I think.
3 Q. The third report is an amended version of the first
4 report. Were you aware of the fact that he had amended
5 his initial opinion?
6 A. Yes, because I saw the statement, the two statements,
7 and it was -- he was going along to the inquest to give
8 evidence so he was giving his -- going to be giving his
9 evidence to the coroner, so that was a statement for the
10 coroner.
11 Q. Do you think it appropriate to give a coroner one
12 version of a witness's statement, not all the versions?
13 A. I don't -- I'm -- I believe that was the process.
14 Q. Well, that is not what the coroner told this inquiry.
15 In fact, he --
16 A. Excuse me, sorry. I didn't provide the copy of this
17 statement to the coroner. So I didn't --
18 Q. You didn't, the DLS did. The DLS wrote to the
19 coroner -- 012-070b-386 -- to forward the report but
20 they term it:
21 "I refer to the above matter and enclose for your
22 attention a copy of the independent report prepared by
23 Dr John Jenkins. The original report will be forwarded
24 to you upon receipt."
25 The coroner was given no inkling of the fact that in

176

1 fact this was one of a number of reports, as opposed to
2 the single sole report.

3 Do you think that was right?

4 A. Chair, I am -- I feel that these are questions that are
5 for, you know -- it came through legal team, so it was
6 an advice of the legal team. I didn't know the practice
7 was that you shouldn't give the final statement. He was
8 being called as a witness. So my understanding was that
9 witnesses could amend their statements before they go in
10 to the coroner and the coroner was aware of that.

11 Q. This is an expert, and Mr Leckey, the coroner, gave
12 evidence to the inquiry on 25 June 2013.

13 At page 110 at line 8, he says:

14 "Can I just add this, that I usually get expert
15 reports from hospital trusts and I do so on the basis --
16 that I hope isn't mistaken -- that there has been
17 complete disclosure because I, in turn, provide complete
18 disclosure of anything that I've obtained."

19 The chairman:

20 "So you'd like to think that the reports and the
21 statements which you receive are in fact the original
22 reports and statements?"

23 "Answer: That is correct."

24 Ms Anyadike-Danes:

25 "So therefore you don't want to have version 3,

177

1 which removes some of the caveats that may have been
2 present in version 1?

3 "Answer: Not at all."

4 So you can see what the coroner thinks about this.

5 THE CHAIRMAN: Did you know at that time, Mrs Brown, that
6 in the High Court, in a medical negligence claim, you
7 wouldn't have been able to do this?

8 A. Yes.

9 THE CHAIRMAN: So you were conscious of the fact that -- and
10 there was no rule, there's no coroner's rule against
11 this, but you knew that in the High Court if you were
12 going to ask Dr Jenkins to give evidence, you would have
13 to produce Jenkins 1, Jenkins 2 and Jenkins 3?

14 A. Yes, but I wasn't -- I would have believed that legal
15 advice.

16 THE CHAIRMAN: Yes.

17 MR STEWART: So you're saying really that everything that
18 was done was done on the advice of the lawyers; is that
19 what you're saying?

20 MS GOLLOP: I hesitate to interrupt, sir. A moment ago you
21 just told us that in the High Court in a medical
22 negligence claim you wouldn't have been able to do this.

23 THE CHAIRMAN: Yes.

24 MS GOLLOP: Could you just explain so we understand your
25 thinking what it is you're saying would have been

178

1 prohibited in the High Court?

2 THE CHAIRMAN: I'm subject to correction from members of the
3 Northern Ireland Bar here present. If a doctor is used
4 to give evidence in cases, the doctor's reports, the
5 full exchanges in the reports have to be provided. You
6 cannot exchange report 1 -- you cannot provide report 3
7 and not disclose that there are previous reports.

8 MS GOLLOP: For an expert witness?

9 THE CHAIRMAN: Yes.

10 MS GOLLOP: Thank you.

11 THE CHAIRMAN: Just for the assistance of our friends --

12 MR STITT: I'm not taking any point in relation to it.

13 THE CHAIRMAN: But what the witness has said is that she
14 knew that that was a rule in the High Court and was
15 taking advice about what happened in the coroner's
16 court.

17 MR STITT: Might I respectfully suggest that the witness has
18 been going for an hour and a half and could you consider
19 giving her a short break.

20 THE CHAIRMAN: At the next convenient point, we'll certainly
21 do that, Mr Stitt. Is this now?

22 MR STEWART: Yes, I'm quite happy.

23 THE CHAIRMAN: I don't think there's much left, Mrs Brown,
24 but we'll take a break for a few minutes.

25 (3.50 pm)

179

1 (A short break)

2 (4.07 pm)

3 THE CHAIRMAN: Just to give you some indication, as best
4 we can, Mrs Brown, we'll certainly finish this
5 afternoon, and hopefully we'll finish comfortably before
6 5 o'clock.

7 A. Thank you, chair. Thank you.

8 MR STEWART: Sir, we left -- we were considering Jenkins'
9 third and final report, and I was indicating one or two
10 of the things it omits to mention. And, of course, it
11 omits to mention any reference at all to Dr Warde or his
12 report. Neither Dr Warde's existence in relation to
13 this case nor his report were brought to the attention
14 of the coroner.

15 You were at the inquest?

16 A. I was, yes.

17 Q. Who else from senior management was at the inquest? Was
18 Mrs Burnside there?

19 A. No.

20 Q. Dr Fulton and Dr Nesbitt?

21 A. I believe they were, yes.

22 Q. So --

23 A. Excuse me, they were witnesses to the inquest, so --

24 Q. Yes. Who decided that nobody would mention Dr Warde's
25 report?

180

1 A. Um, I wasn't -- I didn't give evidence at the inquest,
2 so --
3 Q. No, I asked who asked that nobody would mention
4 Dr Warde's report.
5 A. There was no decision made to my recollection that
6 Dr Warde's report should not be mentioned.
7 THE CHAIRMAN: Okay.
8 MR STEWART: It seems to be a coherent approach, nobody
9 mentioned the report. Nurses gave evidence that they
10 were unconcerned about the vomiting, they didn't think
11 it unusual, and nobody mentioned Dr Warde as having
12 a view in line with Dr Sumner.
13 A. Yes. I didn't give evidence, I couldn't have mentioned
14 it. I don't -- but there was no decision not to --
15 I don't -- it was a coroner's inquest, so ...
16 Q. Yes, because you know what the coroner thought about
17 this approach and he expressed it to this inquiry on
18 25 June 2013 at pages 108 and 109.
19 At line 23, it has just been revealed to him that
20 there was another expert report in the possession of the
21 trust at the inquest in relation to Raychel, and it
22 hadn't been brought to his attention.
23 So at line 23 he asks by way of an answer:
24 "Can I just clarify that there was an expert report
25 from a Dr Warde in Dublin --

181

1 "Question: Yes.
2 "Answer: -- which I didn't -- I wasn't provided
3 with a copy?
4 "Question: Exactly, exactly, you weren't provided
5 with it, and the explanation of why you weren't provided
6 with it because that is subject to privilege, they've
7 got the report and they didn't have to show it to you.
8 "Answer: Anyone who appears in any inquest
9 I conduct will be aware of my practice, and that is that
10 any expert report that I get will be disseminated to all
11 involved and my expectation is -- and I've said this on
12 a number of occasions -- that I would expect an exchange
13 to be provided with a copy of my expert report they
14 obtain. There may be an issue raised of privilege.
15 What I would say is, are we not investigating in this
16 case the death of a child and let's not dwell on legal
17 niceties first. We want to get to the truth."
18 So that's his view.
19 A. Yes.
20 Q. What do you think now about the trust approach of not
21 telling him about Dr Warde's report?
22 A. Chairman, I have to tell you that I always believed that
23 Dr Warde's report would automatically go to the coroner.
24 I thought it had to go to the coroner.
25 Q. When you sat there that day at the inquest and it didn't

182

1 go, did you send a note to the solicitor saying,
2 "Please, please, before this ends, make sure the coroner
3 is informed about Dr Warde's report"?
4 A. I didn't know that the coroner didn't know that --
5 Q. You sat at the inquest, didn't you? How many days did
6 the inquest go on for?
7 A. I think it was three, and he didn't mention Dr Warde's
8 report.
9 Q. And didn't you think he ought to be informed about it?
10 A. I believed he should -- I believed that a copy would
11 have gone to him.
12 Q. Well, you had no reference to it. Why didn't you draw
13 his attention --
14 A. I don't know. It was not in my mind to think about
15 Dr Warde's report at the inquest.
16 Q. Was it perhaps because nobody from Altnagelvin had the
17 remotest intention of bringing this rather embarrassing,
18 contradictory report to the coroner's attention?
19 A. I don't believe that's the case. I believe that's an
20 unfair assumption.
21 Q. And there was nothing more than a concerted conspiracy
22 to withdraw it from his attention, to bury it?
23 A. I believe that's an unfair assumption.
24 Q. What other assumption would be fairer?
25 MR STITT: The assumption, Mr Chairman, that every party,

183

1 whether they be a public body or an individual has legal
2 rights. You, sir, if your report does change the law,
3 we'll go with that. We are dealing with 2001 and my
4 clients, the trust, had a legal right.
5 THE CHAIRMAN: They did, and I said this last week,
6 Mr Stitt, and I come back to it again, the trust had the
7 right to claim privilege for the report. My query is
8 why the trust chose to exercise that privilege. The
9 trust could simply have presented the report to
10 Mr Leckey and it chose not to, and it's one thing to
11 have legal privilege, it's another thing not to. And
12 particularly another thing not to do it when the coroner
13 operates on the misunderstanding that the parties are
14 disclosing to him, those who are interested in these
15 events are disclosing to him what they know.
16 MR STITT: Reference has been made by the coroner to not
17 wishing to dwell on legal niceties. Phipson on Evidence
18 makes it absolutely clear that no one is to be
19 criticised for exercising a right of privilege, and
20 that's the law whether we like it or not, and that
21 includes a public body.
22 THE CHAIRMAN: It does. You're quite right. It does.
23 A. Chairman, I just want to say that my understanding was
24 that it would go to the coroner. I accept I didn't
25 mention it at the inquest. It didn't enter my head to

184

1 enter it to the inquest. But my understanding of the
2 law was different, regarding -- I thought he
3 automatically got it.
4 THE CHAIRMAN: Let me explain it this way. We don't need to
5 go on about this issue much longer. Mr and Mrs Ferguson
6 go to the inquest to find out what happened to their
7 daughter.
8 A. Yes.
9 THE CHAIRMAN: Dr Sumner's given a report in which he says,
10 among other things, that she had prolonged and severe
11 vomiting.
12 A. Yes.
13 THE CHAIRMAN: A number of nurses give evidence to say,
14 "We have seen children with the same vomiting, we might
15 even have seen children with worse vomiting, and nothing
16 happened to them which is in any way comparable to what
17 happened to Raychel". Right?
18 A. Mm-hm.
19 THE CHAIRMAN: Do you see from the Fergusons' perspective
20 that it might more difficult for the trust and for the
21 nurses to run that argument that this wasn't prolonged
22 and severe vomiting if there wasn't one expert's report
23 in front of the coroner but there were two expert
24 reports in front of the coroner? Because it's not just
25 Dr Sumner out on a limb saying about the vomiting, it's

185

1 a second expert who's saying exactly the same thing.
2 A. I accept your point, chairman.
3 THE CHAIRMAN: And that's why the Fergusons must be
4 suspicious about why the trust exercised its legal
5 right.
6 A. Chairman, I have to tell you, the thinking that it was
7 a legal right being taken at the time was -- I believed
8 it was going to be shared. I hadn't sent --
9 THE CHAIRMAN: You believed the contrary?
10 A. I believed the contrary, and I was never instructed by
11 anybody within the trust not to share it. I believe
12 they believed it would go. They may have thought that
13 I was going to send it. It wasn't sent. I accept it
14 wasn't sent. But I was never instructed not to send it
15 and I believed it had to go.
16 MR STEWART: You believed it had to go?
17 A. Yes, I believed all reports would go to the coroner.
18 Q. Leaving aside the legal technicalities of the matter,
19 do you believe that when Dr Warde's report was not
20 mentioned that the trust was being entirely candid with
21 the Ferguson family?
22 A. Sorry, can you just ask me that question again?
23 Q. Leaving the legal niceties on one side --
24 THE CHAIRMAN: I'm not sure you can do that because I'm not
25 sure that Mr Stitt would agree that it's a legal nicety

186

1 to claim privilege. It's arguably more than a nicety.
2 MR STEWART: All right then. Can I put it in this way. Did
3 you think it was morally appropriate that that report
4 should not have been referred to the coroner?
5 A. Chair, the difficulty for me is now that I'm being asked
6 about something that -- so I wasn't thinking morally
7 at the time that there was something being withheld.
8 THE CHAIRMAN: Because you thought it wasn't being withheld.
9 A. Yes.
10 THE CHAIRMAN: Okay.
11 MR STEWART: After the conclusion of the inquest, litigation
12 started, and a letter of claim was written at the
13 beginning of May of 2003.
14 A. That's right, yes.
15 Q. At that time you were sitting on the scrutiny committee.
16 A. Yes.
17 Q. And you were charged with reviewing the clinical
18 negligence actions and deciding what to do about them?
19 is that right?
20 A. Yes, yes.
21 Q. One of the things you might have to do is to request
22 additional information or statements.
23 A. Yes.
24 Q. I know there's some correspondence with the solicitor.
25 Did you in fact obtain any additional statements?

187

1 A. No, no.
2 Q. Did you obtain any additional reports?
3 A. No.
4 Q. No additional reports?
5 A. I think there's a letter there saying that we wouldn't
6 request statements or -- statements because the matter
7 had already been the subject of an inquest.
8 Q. Okay. So, therefore, in that committee, you had to make
9 a decision about whether to defend the case or settle
10 the case?
11 A. Yes.
12 Q. And was a decision taken at that time in 2003 about
13 whether to defend or settle?
14 A. I think there was --
15 MR STITT: That's clearly -- it goes to the absolute heart
16 of legal advice privilege.
17 MR STEWART: In my respectful submission, it doesn't,
18 because I'm asking was a decision taken, because under
19 the policy they have to do that. I wasn't asking on
20 what basis the decision was made, I was asking was the
21 decision made and who makes it.
22 MR STITT: You're asking for confidential information about
23 a meeting where people were going to address a legal
24 action which had started. It couldn't be clearer.
25 THE CHAIRMAN: Let's do it this way. Have you got the DLS

188

1 letter from last Thursday, Mr Stewart?
2 MR STEWART: Yes, this is the letter of 30 August that
3 Mr Stitt read last week and he said -- it says, it's
4 signed by Mr McGuinness, chief legal adviser:
5 "I can confirm to you that my client, having taken
6 into account the evidence heard during the inquiry,
7 including national independent expert evidence and the
8 interim comments of the chairman, formally admits
9 liability. The trust apologises unreservedly for
10 Raychel's death and regrets any further hurts and
11 distress that the delay in admitting liability has
12 caused the family."
13 Can I ask you, who made the decision to admit
14 liability?
15 MR STITT: I object to that. That is clearly a question
16 which begs an answer which I'm indicating would involve
17 legal advice privilege.
18 THE CHAIRMAN: The trust has admitted liability.
19 MR STITT: Yes.
20 THE CHAIRMAN: We're not asking for the legal advice which
21 it received on the basis of which it decided to admit
22 liability, we're simply asking for the name of the
23 person or persons in the trust who decided to admit
24 liability. Why is the identity of the individuals
25 a matter of professional legal privilege?

189

1 MR STITT: The admission of liability, which I hope was
2 frank.
3 THE CHAIRMAN: Yes, it was, absolutely it was. And you will
4 have heard, and to be fair to you, Mr Stitt, and to be
5 fair to Mr and Mrs Ferguson, it was very much welcomed
6 last week.
7 MR STITT: I hope it was.
8 THE CHAIRMAN: It was.
9 MR STITT: The phrasing of the first two paragraphs of the
10 letter was done with considerable thought to deal with
11 not just the liability but also the delay in admitting
12 liability, which has obviously been a problem, and we've
13 acknowledged that. My point is this, and again it's not
14 a legal nicety, but the sort of discussions that have
15 gone on have been detailed, but they have involved at
16 their absolute heart legal advice from a number of
17 sources, including more than one counsel and solicitors
18 and certain representatives of the trust.
19 By admitting liability in a frank manner, we weren't
20 waiving privilege to the discussions which had gone on,
21 which include --
22 THE CHAIRMAN: I'm not asking that to be --
23 MR STITT: No, but by asking who was the person that decided
24 to admit liability, it's a trust decision on legal
25 advice, it's as simple as that.

190

1 THE CHAIRMAN: Yes, but it's not the cleaner in the trust
2 who decides it; right? It's not a cardiologist who
3 works for the trust who decides it. There's an
4 identifiable person or persons in the trust who decided
5 to go with the legal advice or to go against the legal
6 advice, whatever. Let's assume to go with the legal
7 advice to admit liability.
8 Now, I'll still not entirely clear --
9 MR STITT: I won't pursue my objection. Now that you have
10 articulated it in that way, I won't pursue the objection
11 to the question.
12 THE CHAIRMAN: Just to make it clear, Mrs Brown, we're not
13 asking you to break any legal confidence or to say this
14 barrister said this, that barrister said that, that
15 solicitor said something else, I'm not asking any of
16 that. I'm just asking you whose decision was it in the
17 trust to decide to accept legal liability?
18 A. The chief executive.
19 THE CHAIRMAN: Thank you. Going beyond Raychel's case into
20 other cases, is it inevitably the chief executive who
21 has to approve an admission of liability?
22 A. No, it's not.
23 THE CHAIRMAN: But it was in the particular circumstances of
24 this case?
25 A. Yes. There are certain delegated levels of authority

191

1 within the organisation.
2 THE CHAIRMAN: Right.
3 MR STEWART: Normally, small-ish cases would be dealt with
4 by you?
5 A. The scrutiny committee, yes. Yes. Chair, from my
6 personal view, which is totally my personal view because
7 I didn't give in September, whenever that letter was
8 written -- my view was that we should try to resolve
9 this case because a child had died in our care, she
10 shouldn't have died, and that is why I wrote the letter
11 I wrote to the letter to the solicitor and didn't
12 request and additional statements, which would be the
13 normal process of requesting statements with all the
14 doctor and I didn't see the point -- that was my
15 personal view at that time that I wrote that letter.
16 THE CHAIRMAN: In September what year?
17 A. After --
18 MR STEWART: Is that 024-005-005?
19 A. "This case... I feel it is better that we discuss this
20 at the review meeting and then see what outstanding
21 information is needed."
22 I didn't want to be -- I believe the letter of claim
23 came in in May.
24 Q. 1 May.
25 A. And that was my personal view and I wrote that personal

192

1 view.
2 Q. But you've told us that no --
3 THE CHAIRMAN: Sorry.
4 A. Yes.
5 THE CHAIRMAN: Forgetting --
6 A. Yes, yes.
7 THE CHAIRMAN: You're volunteering something which --
8 A. Yes.
9 THE CHAIRMAN: -- I don't want to get into about the views
10 you expressed internally and what advice was received.
11 A. This is before there was a scrutiny committee. I accept
12 that. I'm just telling you, I didn't want to delay the
13 process.
14 THE CHAIRMAN: Thank you.
15 MR STEWART: It's 10 years ago. I wonder, can I raise with
16 you the question of documentation, which has so vexed us
17 all.
18 This morning you told us that the clinical incident
19 committee didn't really deal with anything like
20 a critical incident and that the records, agenda,
21 spreadsheets, reviews from 2001 to 2003 had no reference
22 to Raychel.
23 A. That's my understanding.
24 Q. And then you provided the records but not the 2001
25 records, and when this was pointed out to you, you have

193

1 now provided the 2001 records, and we find on looking at
2 them --
3 A. Excuse me, chair, I had provided the 2001 records.
4 I believed I had handed them --
5 MR STITT: I think somewhere along the line in the e-mail
6 trail they weren't picked up in Belfast. I think to be
7 fair to this witness, she had given everything in one
8 go.
9 THE CHAIRMAN: Okay.
10 MR STEWART: And we find, on looking at them, interestingly,
11 in Ward 6, on 4 June 2001, some child received the wrong
12 amount of fluid.
13 A. Yes.
14 Q. And we find on 12 June 2001, a critical incident review
15 following the death of a child on Ward 6, an
16 investigation was undertaken. That's clearly Raychel's
17 case, isn't it?
18 A. Yes. I didn't believe there was any reference to
19 Raychel's case at that --
20 Q. Well, did you look very hard? Because there are so many
21 documents that should exist but have not been provided
22 and have not been provided on your assurance that no
23 such documents exist?
24 A. I didn't believe -- until Ms Duddy mentioned it on
25 Thursday, I didn't believe there were any notes of --

194

1 there weren't any minutes. I knew --
2 Q. You're on the committee, why didn't you check?
3 A. I knew there weren't any minutes, I don't think there
4 are minutes --
5 THE CHAIRMAN: Sorry, it's not quite the point. What you
6 told us this morning, and let's forget the ambivalence
7 for a moment or the mix-up about 2001 documents on the
8 one hand and 2002, 2003, you told me this morning
9 absolutely clearly that Raychel would not have been
10 raised as a clinical incident because she was a critical
11 incident.
12 A. Yes.
13 THE CHAIRMAN: The documents which we got just after the
14 toing and froing around lunchtime has in effect
15 a specific reference dated 12 June 2001, almost exactly
16 on the right date, for a critical incident following the
17 death of a child on Ward 6. Now, I'm assuming that's
18 Raychel?
19 A. It must be, yes, it is, yes.
20 THE CHAIRMAN: Just for reassurance, that is the extent of
21 the note. There's no other entry, Mr Quinn. So it's
22 not something which advances the investigation, save to
23 say that it is raised and noted on the list of clinical
24 incidents reported.
25 What I'm bound to ask you, Mrs Brown, is how could

195

1 you have missed that?
2 A. Are you asking me how could I have missed it when?
3 THE CHAIRMAN: This morning when -- in fact, if you look
4 through these records for 2001 to 2003 and you forwarded
5 them to DLS, how could you have missed the fact that
6 in June 2001, the very month Raychel died, there's
7 a reference in the clinical incident records to the
8 death of a child on Ward 6?
9 A. Is that -- that's not in the action notes. Is it on the
10 spreadsheet?
11 THE CHAIRMAN: Is that the spreadsheet? (Indicating).
12 A. Yes.
13 THE CHAIRMAN: It's there.
14 MR STITT: Could I just help the witness? Could she have
15 a brief look at it to refresh her memory?
16 THE CHAIRMAN: Of course. (Handed).
17 MR STEWART: I've lost the thread. What entry is that?
18 THE CHAIRMAN: It's the one which says "12/6/01 Ward 6
19 critical incident following death of child".
20 MR STEWART: It's the one that has the handwriting on the
21 right-hand side.
22 A. No.
23 Q. I think it's Mrs Brown's handwriting. I'd like her to
24 interpret it.
25 A. That's not my handwriting.

196

1 THE CHAIRMAN: Is the first piece of handwriting in relation
2 to a different entry?
3 A. Yes.
4 THE CHAIRMAN: "No further action"?
5 A. Yes.
6 THE CHAIRMAN: And then there's an arrow down, it says
7 Ward 6, and then below that "PU, vomit, IV fluids
8 management, U&E taken post-op".
9 A. Yes.
10 THE CHAIRMAN: Then it says "Solution No. 18 Ulster" on the
11 left-hand.
12 A. Yes.
13 THE CHAIRMAN: That's not your writing?
14 A. No.
15 MR STEWART: Can I ask you to move four pages further on
16 in that document. You'll find another document on the
17 same page with handwriting annotating it. Do you see
18 the entry, the same entry, 12 June 2001, Ward 6,
19 investigation undertaken, and it looks like your
20 handwriting, Mrs Brown?
21 A. Yes.
22 Q. And have you written there "Reinforced in writing by
23 Raymond?"
24 A. Yes.
25 Q. "Research of evidence". Now, That must be

197

1 Raymond Fulton?
2 A. Yes.
3 Q. So something must be done in writing by Raymond Fulton.
4 A. Yes.
5 Q. What's that?
6 A. I'm not sure. I believe it's -- I believe it's
7 regarding the -- sorry, what was the heading? It's gone
8 again.
9 THE CHAIRMAN: There it is. (Handed).
10 A. "Research of evidence". I think that was regarding the
11 use of the solution.
12 MR STEWART: Yes. And when would this note have been taken?
13 A. I don't know.
14 Q. Sorry?
15 A. I'm not sure.
16 Q. Well --
17 A. It probably was -- probably July 01. It must have been
18 July --
19 Q. July 01. Okay. When it says reinforce in writing it's
20 obviously not the six-point plan?
21 A. No.
22 Q. And who was it who did the research into the evidence?
23 A. Dr Nesbitt.
24 Q. Why do you say Dr Nesbitt?
25 A. Because that was the -- that was the research of the

198

1 evidence regarding fluid management.
2 Q. Well, let's have a look at the 9 July 2001 update to the
3 chief executive. It appears at 022-097-307. Do you see
4 the first paragraph, which is emboldened in bold type.
5 It says:
6 "Further action required. Mrs Brown to undertake
7 a more extensive review of the research."
8 That's you, isn't it?
9 A. Yes.
10 Q. There's note here "Research of evidence" in your
11 handwriting, a note there from you that Mrs Brown is to
12 do it. So did you do further research?
13 A. Yes, I do recall somewhere there's somewhere in the
14 documentation where I was in contact with the library,
15 Ciaran Cregan in the library and got a lot of
16 research on articles that there were regarding --
17 Q. The director of nursing did that, not you.
18 A. No. Well, she did it with me, I was sent off to the
19 library to get the evidence. I know I went down to the
20 library and he gave me a whole printout of it.
21 Q. And did you research the evidence?
22 A. Well, he did for me because --
23 Q. He got you the material but did you research it?
24 A. I believe the research of the evidence for me would be
25 to find it, not understand it.

199

1 THE CHAIRMAN: And then what happens? Okay, that's a start.
2 A. Yes.
3 THE CHAIRMAN: So you have identified materials, the
4 librarian has helped you get them. Has he printed out
5 a series of articles?
6 A. Yes.
7 THE CHAIRMAN: And what's the next step?
8 A. That would be for the clinical people to meet.
9 THE CHAIRMAN: So you would provide that to, what, doctors
10 Fulton and Nesbitt?
11 A. I'm sure I would have done, yes.
12 MR STEWART: So when you wrote of yourself "Mrs Brown to
13 undertake a more extensive review", you didn't mean
14 that, you say. What you meant was Mrs Brown to go off
15 and find the books and somebody else to undertake
16 a review?
17 A. Yes. I wouldn't have had the clinical knowledge to do
18 anything.
19 Q. So where in writing does that review of all the
20 literature exist?
21 A. I don't think there is anything in writing regarding
22 that.
23 Q. You don't think there is? Tell me, when you, the trust,
24 receive the letter from the Permanent Secretary,
25 Mr Gowdy, asking for all documentation to be located and

200

1 secured -- let's have a look at that again. It's at
2 021-017-035. He says:
3 "There is a need to ensure that all relevant records
4 and documents are secured so that if necessary they can
5 be made available for independent examination. The
6 Department now requires you to take whatever steps were
7 necessary to secure and keep safe all documentation."
8 You were then charged with the job of going off and
9 securing the documentation, weren't you?
10 A. Well, if you look at the letter that then came from
11 Mr O'Hara himself on 1 December --
12 Q. What's the reference for that?
13 A. 021-004. That's Mr O'Hara's letter.
14 Q. Mr O'Hara's letter.
15 THE CHAIRMAN: Me.
16 MR STEWART: 1 December.
17 A. It's the letter from Mr O'Hara, asking for the
18 information. I think it was to be sent off on
19 10 December to the inquiry. So that was a request for
20 the information to come in.
21 Q. This is the Permanent Secretary's request and in
22 response to that this is what you do, and it appears at
23 021-012-029?
24 THE CHAIRMAN: If you've got 021-004-015 and 6 together,
25 please. It's the penultimate paragraph on the first

201

1 page, I think, Mrs Brown. Sorry, it's the last
2 paragraph on the first page:
3 "Therefore I would ask you to arrange for all notes,
4 documents, records and reports relating to Raychel to be
5 delivered to [the address]."
6 A. Yes. I sent those off -- well, there was, I think, six
7 different files went off on the -- I received that on
8 6 December and I think they went off on the -- we were
9 late. It went off on 13 December to your office.
10 I think there were six box files went off of the case
11 notes and the individual files that I'd retained the
12 communication files other documentation, the information
13 on Lucy Crawford that the Altnagelvin Trust held and the
14 medical negligence file all went off.
15 MR STEWART: There's no doubt whatever that you did submit
16 considerable quantities --
17 A. Yes.
18 Q. -- documentation.
19 A. Yes.
20 Q. The inquiry's very much interested to know whether or
21 not there yet exists quantities of information that
22 you have not provided the inquiry and that is why I'm
23 asking this series of questions. Can I ask please to
24 have a look at 021-012-029, because this is your direct
25 response to --

202

1 A. Yes.
2 Q. -- what you were asked to do in consequence of
3 Mr Gowdy's letter to secure all documentation
4 in relation to those three individuals,
5 Raychel Ferguson, and you say:
6 "I have secured all the paper records relating to
7 the matter."
8 A. Yes.
9 Q. Did you go and get the director of nursing,
10 Miss Duddy's, paper records relating to the matter?
11 A. Yes, I think I did because there is a copy of
12 Ms Duddy's -- she had very limited information, but
13 there's a copy definitely of one of her papers in the
14 papers that went off because you showed it earlier. So
15 yes, I believe I did.
16 Q. Okay. What about the clinical services manager who was
17 also at the meeting, did you get her paper records?
18 A. I didn't. I accept that I didn't. But this information
19 was going to Tom -- this was going to Tom Melaugh to try
20 to get information off people's computers.
21 Q. Sorry, can I just stop you?
22 A. Yes, I didn't --
23 Q. You did not go to the clinical services manager --
24 A. No.
25 Q. -- who was part of your critical incident review team,

203

1 who was part of the nurses' meeting that you updated the
2 chief executive with, who had collected together
3 information from interviews and who prepared a report
4 for the critical incident review, and you didn't go and
5 ask her about her paper records?
6 A. No, I didn't believe she had any.
7 Q. What about Mrs Witherow, the clinical effectiveness
8 coordinator? Did you go to her?
9 A. No.
10 Q. Well, she was at the critical incident review, she was
11 at the nurses' meeting, she was involved in these issues
12 and sat on these committees. Why didn't you go to her
13 either?
14 A. I didn't believe she would have any information on
15 computer. I mean, I can't explain why I didn't go to
16 her.
17 Q. What about the following list towards the bottom of the
18 page:
19 "I understand that information may be held on the
20 following computers."
21 You don't have Ms Duddy there, do you?
22 A. No.
23 Q. Why not?
24 A. Ms Duddy's secretary and my -- was my secretary as well
25 at the same time. I don't believe --

204

1 Q. So?
2 THE CHAIRMAN: But that doesn't mean that the information
3 which is held on your computer is the same as the
4 information which is held on Ms Duddy's computer.
5 A. No, I accept that.
6 THE CHAIRMAN: Because there has to be a separation between
7 you, doesn't there?
8 A. That was the -- yes.
9 THE CHAIRMAN: Okay.
10 MR STEWART: Do you think you should go back to the trust
11 and perhaps look for any more documentation?
12 A. Yes. In actual fact, since we've had -- we have done
13 that. There has been requests through our IT department
14 to track back Ms Duddy's computer, and they have been
15 trying to pull off information and documentation off
16 those computers, they were trying to track back the hard
17 drives. So yes, that has happened. That's happened.
18 There have been searches on all of those computers.
19 Mrs Burnside's secretary's computer has been searched.
20 The IT have been asked to contact and go through all of
21 that. This has been going on for the last six months
22 since the inquiry have been asking for information.
23 Q. This is something you should have done almost 10 years
24 ago.
25 A. I agree. It should have --

205

1 Q. What about the board minutes? Board meeting minutes?
2 The chairman made a point on --
3 A. Yes.
4 Q. I think Thursday --
5 A. Yes.
6 Q. -- that there would be more than one set of minutes
7 circulating because clearly the individual members of
8 the board, the directors, have to be able to read them
9 and signify their agreement with them. So what efforts
10 have been made to track down the missing board minutes?
11 A. The very point that you're make something that I have
12 gone back to the then chief executive's secretary, who
13 still happens to be in the trust in a different role,
14 asked them to try and identify who all would have been
15 at the board meeting. I understand that for
16 non-executive directors who would have been at the board
17 meeting -- because there would have been hard copies,
18 they wouldn't have been emailed -- the non-executive
19 directors were always asked to hand back their papers,
20 I believe for shredding if they wished, or -- you know,
21 so that was -- so we wouldn't go to the non-executive
22 directors, they no longer are non-executive directors.
23 We have checked -- the other trust members are no
24 longer employed and Dr Nesbitt is the -- no, Dr Nesbitt
25 wasn't on the board. No one who was on the board

206

1 in July 01 is still working in the trust.
2 Q. Do you think, given your concession that you didn't go
3 to the clinical services manager for records and you
4 didn't go to the clinical effectiveness manager for
5 records and you didn't go to the director of nursing for
6 computer records, do you think in the light of that that
7 you have co-operated with this inquiry?
8 A. I do believe that the evidence will show from the
9 documentation from the e-mails that I have sent round
10 the organisation and before I was no longer allowed
11 to -- well, I was asked that I would no longer take part
12 in that, the e-mails, there are hundreds of them, trying
13 to assist and provide and -- the inquiry in all their
14 documentation requests.
15 Q. In your position within the trust, do you belong to any
16 professional association or organisation of Health
17 Service managers?
18 A. No.
19 Q. So you're not subject to any codes of ethics or
20 behaviour?
21 A. I'm subject to my contract of employment. If I was --
22 and if I was failing to provide information, I would
23 believe that would be a disciplinary matter. If I -- so
24 that is -- it's the code of employment and my own
25 personal views on being honest and truthful. So that's

207

1 what I stand by.
2 Q. And do you also subscribe to the public service values
3 of those who work for the Health Service --
4 A. Yes.
5 Q. -- that there should be sufficient transparency about
6 NHS activities to promote confidence between the NHS
7 authority or trust and its staff, patients and the
8 public?
9 A. Yes.
10 Q. You do?
11 THE CHAIRMAN: Okay.
12 MR STEWART: Thank you. I have no further questions, sir.
13 THE CHAIRMAN: Mr Quinn, have we covered all the ground?
14 Questions from MR QUINN
15 MR QUINN: We've got a couple of questions to ask.
16 Mr Chairman, in relation to the Jenkins report and
17 the Warde report, the witness has said that she would
18 have relied on the DLS to furnish the reports to the
19 coroner. We know -- and I don't want to go into this in
20 any great depth, it is late -- we know that this witness
21 was tasked with collecting and coordinating the
22 provision of statements to the coroner. We've seen
23 a lot of information, e-mails and letters on that, and
24 I want to ask then, setting that as a background --
25 I want you to ask, sir, who did send the Jenkins report

208

1 to the coroner.
2 THE CHAIRMAN: Can you recall if that went from DLS or from
3 the trust?
4 A. It absolutely -- it didn't go from the trust.
5 MR STEWART: We've looked at this, sir, and it was DLS. It
6 was at 012-070b-386.
7 THE CHAIRMAN: Yes, that's dated 20 --
8 MR STEWART: 30 January 2003 is the letter from --
9 THE CHAIRMAN: Yes, 30 January 2003, thank you.
10 MR QUINN: And would you have been copied in to that letter?
11 A. No, I don't see that I was copied into it.
12 Q. Would you have made any enquiries from Donna Scott as to
13 what reports had been sent?
14 A. I don't recall doing so. I should have done so.
15 I understood that the Warde report was going and that
16 Dr Jenkins report -- that was my knowledge at the time.
17 I didn't -- I should have done and I didn't.
18 THE CHAIRMAN: Thank you.
19 Before I come to Mr Stitt, any other questions from
20 the floor? No?
21 Mr Stitt?
22 Questions from MR STITT
23 MR STITT: One thing through you, sir. If I could ask you
24 to go back, you may or may not want to go back, I can
25 read it, but it's page 21 of today's draft transcript.

209

1 THE CHAIRMAN: I'm afraid, Mrs Brown, this is the only
2 document we can't bring up for you, today's transcript.
3 Bear with us for a moment.
4 MR STITT: The background, while you're scrolling that -- it
5 was to do with the statement made by the witness that:
6 "I mean, it's still being discussed today, it's been
7 discussed in this inquiry so it's been discussed at
8 length."
9 And Mr Stewart asked how many committees has it
10 been, and the witness wasn't able to or didn't provide
11 any further -- I think you came in at that point:
12 "And let me ask you about one particular committee
13 that Ms Duddy refers to."
14 And you refer to the risk management standards
15 committee --
16 THE CHAIRMAN: Yes.
17 MR STITT: -- which does have formal minutes, you see? And
18 I wanted to come in on the back of that through you,
19 sir, to ask if you would consider asking the witness --
20 if a document could be pulled up, which -- bear with me
21 one second. If the witness could be asked if she is --
22 yes, this document, inquiry reference 316-006j-004.
23 THE CHAIRMAN: Okay.
24 MR STITT: I'm advised that this is a minute of the hospital
25 management committee, and I wonder if you would consider

210

1 asking the witness to tell the inquiry what level of
2 committee that is and whether the reference to the
3 report on fluid balance is at all germane to this issue.
4 THE CHAIRMAN: Right. So the first point, if you could
5 outline who's on the hospital management committee.
6 A. I wasn't on it. I believe it was -- I think Ms Duddy
7 outlined for you earlier last Thursday. It would have
8 been the clinical directors and the clinical services
9 managers, and the chief executive didn't always sit on
10 it, I think, a deputy chief executive may have sat. So
11 it'd have been the management team, the clinical
12 services managers and the clinical directors.
13 THE CHAIRMAN: Thank you. So --
14 A. Mrs Burnside obviously did sit on it, but I don't think
15 she was on every meeting. Sometimes it was herself or
16 the deputy chief exec.
17 THE CHAIRMAN: But in other words, it's a very significant
18 committee with that line-up of members.
19 A. Yes.
20 THE CHAIRMAN: And then --
21 A. I wasn't senior enough to sit on it, chair.
22 THE CHAIRMAN: And then the report on fluid balance, is
23 this -- this is Raychel-related, isn't it, because it
24 says below the three bullet points that that Dr Nesbitt
25 referred to the recent death of a nine-year-old child.

211

1 A. Yes.
2 THE CHAIRMAN: And in brackets at the end of that there's
3 a copy of the presentation made could be obtained
4 through the offices of the chief executive.
5 MR STITT: Dr Nesbitt no doubt will be asked about this
6 tomorrow. I can't take the witness any further. She
7 wasn't present. But could I ask you, sir, to consider
8 asking her one further question?
9 Could she in the same vein help the inquiry
10 in relation to the drugs and therapeutics committee,
11 could the witness perhaps explain to the inquiry the
12 level of seniority and what that does? It's the same
13 point and Dr Nesbitt will deal with it.
14 A. It's more or less -- again, I do sit on it now in the
15 current Western Trust but in the Altnagelvin Trust
16 I didn't sit on the drugs and therapeutic committee. It
17 was the -- I believe the medical director chaired it,
18 I could be wrong, the head of pharmacy and a number of
19 senior clinicians in the organisation, and it was very
20 doctor orientated, I think. Some nurses were on it as
21 well, some senior nurses, but I think it was mainly very
22 doctor orientated and pharmacy orientated.
23 MR STEWART: And the clinical services manager played
24 a major part in it?
25 A. In the drugs and therapeutic? I'm not sure -- I could

212

1 be wrong. Dr Nesbitt may well say I'm wrong but
2 I believe they were in the hospital management team.
3 I'm not sure they were all in the drugs and therapeutic
4 committee.
5 THE CHAIRMAN: Okay. Thank you very much.
6 MR QUINN: Mr Chairman, just before the witness leaves the
7 witness box, could I ask just for some clarification on
8 the documents that were recently discovered just after
9 lunch? That is a document, Mr Chairman, that you held
10 up, which is the spreadsheet with the written
11 instructions on the side, PU vomit, IV fluids
12 management, U&E taken post-op. It's about halfway
13 through your bundle, Mr Chairman.
14 THE CHAIRMAN: I've got it.
15 MR QUINN: We're not quite sure what this means and what the
16 instruction is. The 04/06/1, Ward 6, did you take that,
17 Mr Chairman, to refer to Raychel even though it is the
18 wrong date?
19 THE CHAIRMAN: No.
20 MR QUINN: It's another child we're talking about?
21 A. It's a different case.
22 THE CHAIRMAN: But I'm taking it as that, because it's not
23 a child who may be identifiable there's a limit to --
24 MR QUINN: Of course.
25 THE CHAIRMAN: Am I right in taking it to be a different

1 child?
2 A. I believe it is and I do believe it is.
3 MR QUINN: Can we ask the witness, then, were these
4 instructions then, these bullet point on the side of the
5 page, were they written in relation to the child of
6 04/06?
7 A. No, I think they were written in relation to Raychel.
8 MR QUINN: That's where the confusion's arising on our team.
9 THE CHAIRMAN: Thank you very much.
10 MR QUINN: And Solution No. 18 Ulster, that was Raychel?
11 A. Yes.
12 THE CHAIRMAN: Okay. Thank you very much indeed. We've
13 finished everything we want. Mrs Brown, thank you very
14 much for coming, unless there's anything you want to
15 say --
16 A. No, chair, just that I didn't get reading Dr Carson's
17 evidence and I was surprised -- was slightly surprised
18 for somebody working on the ground your comments that he
19 said things hadn't changed. My experience working on
20 the ground is that doctors particularly are very keen to
21 learn from mistakes.
22 THE CHAIRMAN: Yes. Sorry, maybe I've overstated it or
23 maybe you picked it up wrong. I think he said it had
24 improved but it's still a problem.
25 A. Right.

1 THE CHAIRMAN: Okay?
2 A. Okay. Thank you.
3 THE CHAIRMAN: Tomorrow morning, 10 o'clock, for Dr Nesbitt.
4 Thank you.
5 (4.52 pm)
6 (The hearing adjourned until 10.00 am the following day)
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3 MRS THERESE BROWN (called)1
4 Questions from MR STEWART1
5 Questions from MR QUINN208
6 Questions from MR STITT209
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

