

1 Tuesday, 13 November 2012

2 (10.00 am)

3 (Delay in proceedings)

4 (12.35 pm)

5 THE CHAIRMAN: Good afternoon. I'm sorry for the late
6 sitting. Let me explain on the record how that has come
7 about. Yesterday afternoon, after we reached the later
8 stages of Dr Scott-Jupp's evidence -- which will be
9 finished in a few weeks' time -- I expressed concern to
10 inquiry counsel, Ms Anyadike-Danes, about the fact that
11 I had now heard extensive evidence from
12 Professor Neville, Dr Aronson, Professor Cartwright and
13 Dr Scott-Jupp. We have to finish Professor Neville and
14 Dr Scott-Jupp and then we are to hear from Dr MacFaul
15 today.

16 I asked her to explore with the parties whether
17 there was any consensus about the extent to which it was
18 necessary to go through with Dr MacFaul all of the
19 issues which we've already gone through over a number of
20 days with the expert witnesses because I feel that
21 I have a fairly clear grasp and, in fact, there's fairly
22 significant consensus about many of the things which
23 went wrong during Claire's treatment between 21 and
24 23 October 1996.

25 What I wanted to happen this morning was to find if

1 there was a trimmed way in which we could go through
2 Dr MacFaul's evidence while recognising that there are
3 specific issues which will have to be raised with him,
4 not least the issue about his criticism, which is based
5 on a textbook which was not the current edition in 1996.

6 I was therefore extremely surprised and very
7 disappointed to learn that when that meeting started
8 today, it progressed into Ms Anyadike-Danes being
9 advised that there were objections being raised from at
10 least two parties to the very fact of Dr MacFaul giving
11 evidence and to his qualifications and experience in the
12 sense of whether they qualified him to be an expert
13 witness.

14 As you all know, issues have been raised in
15 correspondence which we have circulated about
16 Dr Waney Squier and whether her evidence should be
17 accepted by the inquiry, and that correspondence is
18 ongoing. There has not been a single piece of paper
19 received by me to suggest that there was any reason why
20 Dr MacFaul should not give evidence. Not one. And this
21 morning I understand that issues have been raised about
22 the basis on which he is qualified to give evidence.

23 I will not tolerate this inquiry being disrupted by
24 last-minute objections about the qualifications of
25 experts. It's utterly unacceptable. And what I'm now

1 going to do is, between now and lunchtime -- which may
2 be a little bit late -- to ask Dr MacFaul to give
3 evidence in detail about his CV, which you all have, and
4 after we hear that evidence, I'll break for lunch and
5 anyone who wants to make observations or wants to make
6 a submission about Dr MacFaul continuing to give
7 evidence as an expert can do so after his CV evidence
8 has been heard.

9 So Dr MacFaul, please could I ask you to come
10 forward?

11 DR RODERICK MACFAUL (called)

12 Questions from MS ANYADIKE-DANES

13 MS ANYADIKE-DANES: Good afternoon, Dr MacFaul. Do you have
14 a copy of your CV there with you?

15 A. Yes, I do.

16 Q. Thank you. Can I first ask you to confirm when you
17 became a consultant paediatrician?

18 A. In 1978.

19 Q. Before then, can you confirm where you had carried out
20 your training?

21 A. Well, I trained in general paediatrics in military
22 hospitals. I had done my first paediatric post in
23 Leeds, on the academic unit.

24 Q. Sorry, can I ask you please to keep your voice up
25 a little bit?

1 A. Sorry. During my senior registrar years, I trained in
2 paediatric neurology in Great Ormond Street and
3 a portion of the time in Guy's.

4 Q. And that was between 1975 and 1976; would that be right?

5 A. Yes. But I continued ... As far as I know, I was still
6 up to -- to 1978 ...

7 Q. Yes. If we go to 311-039-002, which is the second page.
8 Perhaps we'll pull that up. Then you will see:
9 "1976 to 1978, senior registrar in paediatric
10 neurology, Hospital For Sick Children, Great Ormond
11 Street."

12 So after your registrar year, you carried on for
13 a further period until 1978.

14 A. Yes. Half of my time in the military hospital in
15 Aldershot and half of my time in Great Ormond Street.

16 Q. Thank you. If we go over the page to 003, we don't see
17 it there, we see at the top where it has "1978,
18 consultant paediatrician". When did you stop full-time
19 clinical work?

20 A. In March 2006.

21 Q. Thank you. Just so that we have it for a point of
22 reference: from your appointment at Pinderfields General
23 Hospital as a consultant paediatrician, have you done
24 all your clinical work at that hospital?

25 A. Yes.

1 Q. And can you help us with the size of that hospital?
2 Perhaps when you first were appointed and perhaps up
3 until you retired in 2006.

4 A. When I was first appointed, we had something like 55
5 children's beds. I also had supervision of children
6 in the local hospital for children with severe learning
7 disability -- at the time, called "mental handicap".

8 Q. What size hospital was that?

9 A. The mental handicap had long-term residential care for
10 about 30 children.

11 Q. Thank you.

12 A. And Pinderfields Hospital also had a burns unit on which
13 there were children's beds and we had a paediatric
14 intensive care bed allocated in the intensive care unit
15 because the hospital housed the regional neurology and
16 neurosurgical unit.

17 Q. I was going to ask you about that.

18 THE CHAIRMAN: Sorry, just slow down for a moment.

19 MS ANYADIKE-DANES: Is it possible for the microphone to be
20 brought slightly closer? Sorry.

21 Just to recap, in addition to the number of beds
22 in the children's department proper, if I can put it
23 that way, there were also children's beds in specialist
24 units that you and your paediatric colleagues would be
25 responsible for?

1 A. Yes.

2 Q. And you also had, outside of that, a responsibility for
3 the beds in the mental hospital for children?

4 A. Mental handicap hospital.

5 Q. Thank you. I wonder if you can help explain how you
6 came to take up your position as a consultant in
7 Pinderfields General Hospital.

8 A. I was interested in paediatric neurology. I did not
9 want to do it full-time. There were very few paediatric
10 neurology posts anticipated in the country when I was
11 due to finish my training and I was steered towards
12 Pinderfields Hospital by my chief at Great Ormond
13 Street, Dr John Wilson, who told me that this post would
14 be very suitable because they were looking for
15 a consultant paediatrician with an interest in neurology
16 to support the regional service for neurosurgery and
17 neurology, which was housed there.

18 Q. Can you explain a little bit about the service in
19 neurology that was actually being delivered by
20 Pinderfields Hospital at the time you were appointed?

21 A. We provided a regional neurosurgical unit and, in
22 Yorkshire, there was also neurosurgery provided in
23 Leeds. Because we had a neurosurgeon interested in
24 children, something like two-thirds of children's
25 neurosurgery was carried out in Pinderfields Hospital

1 and the post-operative care of those children was
2 jointly shared by me and the neurosurgeons.

3 Because acute coma of unknown sort was transferred
4 to neurosurgery, we also took in children with acute
5 coma from the southern part of the Yorkshire region, so
6 we included there Bradford, Huddersfield, Halifax,
7 Pontefract, Dewsbury and some patient from York, and
8 some from South Leeds. So we had a system whereby
9 we would be delivered children with acute coma, some of
10 whom had head injury and some of whom had acute
11 encephalopathy, and I was involved in the care of the
12 children with acute encephalopathy.

13 Q. Were you involved in the care of children with
14 neurological presentations more broadly than the acute
15 encephalopathy?

16 A. When paediatricians in the region encountered
17 complication of meningitis, which was normal general
18 paediatric care, and if they had extradural collections
19 or had developed hydrocephalus, they would come into the
20 hospital in my care and I would work with the
21 neurosurgeons in their management. Similarly, if
22 children had a subdural haematoma from, say, child abuse
23 and needed care, they would come in under my care and
24 we would share with the neurosurgeons.

25 In addition, because I was known to have

1 a paediatric neurology interest and at that time there
2 was no paediatric neurologist full-time in Leeds, I had
3 referral practice from consultant paediatricians in the
4 region for outpatient consultations on acute complex
5 problems such as degenerative disease, in which I had
6 a special interest, and sometimes complex epilepsy. And
7 that continued until we were able, in the late 80s, to
8 appoint a full-time paediatric neurologist in Leeds, and
9 then, quite properly, that work drifted towards Leeds,
10 and at that time I suppose about 1 in 10 of all my new
11 referrals when I was doing that work would be from other
12 consultants.

13 Q. When that specialist neurological work went to Leeds, so
14 your hospital continued to provide general paediatric
15 service to the area --

16 A. Yes.

17 Q. -- did you deal with any neurological presentations in
18 those patients who came in the normal way as general
19 paediatric patients to the hospital?

20 A. Yes.

21 Q. So you didn't immediately transfer them to Leeds?

22 A. No. If a child had an acute coma, we would manage the
23 child in our own unit, including intensive care, up to
24 about 1994. And in 1994, there was a general trend
25 towards centralising children in paediatric intensive

1 care units. But until that time, we managed them in our
2 own unit because we had, until the neurosurgeons left,
3 the ability to do intracranial pressure monitoring. And
4 after they left, we could still do continuing EEG, for
5 example, on a patient on the ward all the time, cerebral
6 function monitoring. And we were able to get bedside
7 EEGs as well as sending the child to the department, and
8 we had good access to scanning, which was supported, not
9 as many district general hospitals have, by a general
10 radiologist; we had two or three neuroradiologists
11 reading our scans.

12 THE CHAIRMAN: Just to get it clear, is this post 1994?

13 A. Yes, just for a couple of years, then we continued to
14 have visiting neuroradiology until I retired.

15 MS ANYADIKE-DANES: So if I understand you correctly, until
16 a certain period, even after the specialist service had
17 been transferred to Leeds, you continued to manage
18 children who came to the hospital who then had some
19 neurological complication, if I can put it that way, or
20 aspect of their condition, up until the point of
21 intensive care?

22 A. Yes. If they required ventilation, the general trend
23 was to move children to the paediatric intensive care
24 unit in Leeds and so, up to that point, we would care
25 for them.

1 Q. And were you caring for children like that in 1996?

2 A. Yes. And until 2006.

3 Q. You have told us what the size of the beds were for
4 children when you started in 1978; what was it in 2006?

5 A. We had 43 children's beds with, I think, probably two or
6 three burns unit beds.

7 Q. Thank you.

8 THE CHAIRMAN: Sorry, just pause for a moment.

9 Doctor, post 1994, as I understand it, then, you
10 cared for children who had various neurological
11 conditions until they needed ventilation, and at that
12 point they were moved to the PICU in Leeds?

13 A. Yes.

14 THE CHAIRMAN: Does that mean that during those years, you
15 would, from time to time, have discussed with the
16 specialist service in Leeds the condition of various
17 children, whether it was timely now to send them to
18 Leeds for PICU or whether they stayed with you for
19 a while longer?

20 A. That would be a matter of individual choice because
21 there were some children where we would need to
22 ventilate because they were clearly having problems with
23 breathing, but there would be others where elective
24 ventilation was obviously the choice.

25 THE CHAIRMAN: Yes, but in order for those choices to be

1 made, did you have to liaise with Leeds?

2 A. Yes.

3 THE CHAIRMAN: I mean, you couldn't just put a child in an
4 ambulance and the child arrives in Leeds a short time
5 later?

6 A. No.

7 THE CHAIRMAN: This leads to discussions with the PICU unit
8 in Leeds; is that right?

9 A. Yes, and there was a time, ultimately reached, when all
10 children who needed ventilating would be retrieved by
11 the regional paediatric intensive care unit. In other
12 words, an ambulance would come with a team and take them
13 away.

14 THE CHAIRMAN: Right.

15 A. But that wasn't always the case until about 2002. We
16 occasionally had to do the intubation and ventilation in
17 our own hospital and then I would accompany -- or my
18 colleagues, if they were on call -- we'd take the child
19 to Leeds in the ambulance.

20 MS ANYADIKE-DANES: So you'd effectively stabilise them if
21 there was going to be that sort of transfer?

22 A. Yes.

23 Q. You would stabilise them and, if you were on call, you
24 would accompany them to Leeds?

25 A. Yes.

1 Q. And, as the chairman had said, that whole decision to do
2 that and when that would happen and in what circumstance
3 was a matter of discussion between, if it were you on
4 call, you and your intensive care colleagues and perhaps
5 the specialist neurological colleagues in Leeds?

6 A. Usually the intensive care. Usually we didn't involve
7 the paediatric neurologists at that point.

8 Q. So it'd be the intensive care. Just so that we have it
9 correctly, a child who had come in like Claire is
10 a child that could have come into your hospital any time
11 from when you took on your consultant appointment up
12 until you retired?

13 A. Yes, and that was the sort of child that received what
14 we call level 1 intensive care, which is otherwise
15 labelled high-dependency care. And because many
16 children on children's wards are in that category and
17 realising that they needed some focus on their needs,
18 I set up, when I was in the Department of Health,
19 a working party, which produced the Department of Health
20 report on level 1 intensive care in district general
21 hospitals and I chaired the working party and we
22 reported in 2001.

23 Q. I was going to come then to your research interests and
24 work.

25 THE CHAIRMAN: Before you do, could we get an idea of how

1 many hours or shifts Dr MacFaul worked?

2 MS ANYADIKE-DANES: Thank you very much indeed.

3 Before we do that, just one question. How many

4 other consultants were working with you as consultant

5 paediatricians in Pinderfields when you went there as

6 a consultant and in 1996?

7 A. Well, unfortunately, when I went there as a consultant

8 there were only two, which meant that there was me and

9 another colleague. That was quite hard work, but it was

10 the nature of things. As we went on, we appointed more

11 consultants and I think, in about 1994, we had four.

12 And when I was seconded to the Department of Health,

13 they kindly gave us money to backfill, so my time spent

14 in London was backfilled by the addition to our team of

15 another consultant full-time.

16 Q. So you didn't lose out on consultancy cover, you had

17 that for when you went to London?

18 A. Yes. But then after that, we worked on a one-in-four

19 rota and that continued until 2006 when I retired.

20 THE CHAIRMAN: When you say "after that", do you mean from

21 1994?

22 A. Yes.

23 THE CHAIRMAN: Okay. Would you explain, please, the rota

24 that you were working on from 1994? "One in four" --

25 maybe you need to spell it out for me.

1 A. Right. That would mean that over a month, one in four
2 nights would be spent on call, taking all patients. But
3 the way that it worked out was anchored to the weekends.
4 The weekend would start for me and for my other
5 colleagues at 9 am on a Friday. For my other colleagues
6 it would finish at 9 am on a Monday. But for me,
7 because I was always on call on a Monday as well, my
8 weekend would be one in four, starting 9 am Friday
9 morning and finishing 9 am Tuesday morning, after which
10 I would carry out a ward round.

11 MS ANYADIKE-DANES: So one week in every four, that's what
12 you and your colleagues did? Well, you did the extra
13 one, you ran into the Monday up to Tuesday. Can I ask
14 you about that? Leaving aside the one week in every
15 four, every week what was your commitment in terms of
16 work in the hospital?

17 A. There would be usually one or two nights on call. It
18 depended then on my Department of Health commitments.

19 Q. But a typical week?

20 A. I'd always be on on a Monday, without exception. And it
21 was part of our practice at that time to remain in the
22 hospital until 10.30 at night. Each of our consultants
23 did that so that we could do a ward round at about 8 or
24 9 pm and then a walk round the ward before leaving.
25 Because we brought that arrangement in from around 1993,

1 the consultants in the team agreed to do it on the basis
2 they could have one day off a week. And I had one full
3 day off a week and I worked in London on that day.

4 So in a routine week I would do the Monday, and then
5 mostly I would do another day, and it was usually
6 Thursday.

7 Q. Pause there. So you would do the Monday. You said that
8 because you worked on to 10.30 at night, you would do an
9 evening ward round and a walk around before you actually
10 came off duty.

11 A. Yes.

12 Q. Did you do morning ward rounds as well in your hospital?

13 A. Yes, we'd do them every morning when you're on call, and
14 after on call, we would do a ward round on the Tuesday
15 morning, but from time to time I was having to go to
16 London at around 9 o'clock on a Tuesday morning, and
17 that is why we had the additional consultant appointed
18 and I would hand over.

19 Q. If you weren't required to go to London on the Tuesday,
20 would your normal week be you would start off at
21 9 o'clock on the Monday, you would do a Monday morning
22 ward round, you would then do an evening walk round and
23 a walk through the children's department --

24 A. Yes.

25 Q. -- and then you would leave at about 10.30 and you would

1 come back and do the Tuesday ward round?

2 A. Yes.

3 Q. Is that correct?

4 A. Yes.

5 Q. Then you said you went to London. So if you weren't

6 going to London on Tuesday, does that mean you might go

7 to London on the Wednesday?

8 A. Yes.

9 Q. And then I think you said that there would be another

10 day when you would be in the hospital and that was

11 typically a Thursday.

12 A. And a Friday.

13 Q. And a Friday. So the Thursday, would it be the same,

14 that you would come in at 9 o'clock, do your morning

15 ward round, stay there until 10.30, do an evening walk

16 round, literally a walk through, if I can put it that

17 way, just before you left.

18 THE CHAIRMAN: So you did a ward round at

19 about 8 or 9 and a walk round before you left?

20 A. Yes.

21 MS ANYADIKE-DANES: Ward and walk, yes. Would you then come

22 back on Friday and do a Friday ward round?

23 A. Well, we started on call on a Friday. If I was not on

24 call on the Thursday night, then the consultant who'd

25 been on on the Thursday would do the ward round.

1 Q. I understand. So that coming back on the Friday was
2 only if that was going to be your one in four?

3 A. I would be back in the hospital all day and I would do
4 a clinic in the afternoon.

5 Q. I understand. So if you were then going to do your one
6 in four, you would go on and literally carry on until
7 the Monday and go into your normal Monday routine,
8 finishing up if you weren't going to be in London on the
9 Tuesday morning?

10 A. Yes.

11 Q. Thank you.

12 THE CHAIRMAN: So for those of us outside the Health
13 Service, is that a full-time contract?

14 A. Well, that was one of the problems about working in
15 London. I think that it would be fair to say that it
16 was busy, but that was the nature of the work.

17 THE CHAIRMAN: Okay.

18 MS ANYADIKE-DANES: Apart from that work, did you also have
19 research work that you carried out?

20 A. Yes.

21 Q. Can you tell us about that with particular relationship
22 to paediatric neurology?

23 A. The focus on my research portfolio following my senior
24 registrar years was not very great other than in the
25 management of bacterial meningitis. In bacterial

1 meningitis, the research work I was involved in was that
2 when I was in the college I realised we needed to set up
3 a study on meningococcal disease, which includes
4 meningitis, and I applied for a grant from the
5 Meningitis Research Foundation together with David Baum,
6 who was the director of the research unit in the
7 college, which was a successful application, to do
8 a study of all deaths in children from meningococcal
9 meningitis, and having got the grant I did not remain in
10 touch with the actual research project because we handed
11 it out, we contracted it to St Mary's in London, who had
12 a specific interest in meningococcal disease. Having
13 set it up, I then observed what went on.

14 Q. Did you say roughly when that happened?

15 A. That was around ... It must have been around 1993/94.

16 Q. If one looks at your CV at 311-039-003, one sees that in
17 addition to your other administrative duties, you were
18 a member, from 1981 to 1991, of the Yorkshire Regional
19 Health Authority Neurological Services Working Group.

20 A. Yes.

21 Q. Did any of that drive your research at all? Did it lead
22 to research work?

23 A. No. It was mainly to do with the need to get paediatric
24 neurology set up within the region and to ensure that
25 children receiving neurosurgical care were getting it

1 properly.

2 Q. And so what exactly did that membership entail?

3 A. It meant going to a meeting about two or three times
4 a year. It set up a special working group which was
5 myself and the other part-time general paediatrician
6 with neurological interest to try to make a case for the
7 establishment of a paediatric neurology consultant post
8 in Leeds, which was successful, and I think, towards the
9 end of the 1980s, that appointment started, if not a bit
10 earlier.

11 Q. Did you have any interest in the British Paediatric
12 Neurology Association?

13 A. Yes, I was a member from around 1977, I think, 1978, and
14 I was co-opted to their executive committee when I ran
15 their Annual General Meeting in -- we had one meeting
16 a year, scientific meeting, and I convened that in
17 Leeds. I can't remember the exact date. It was
18 probably around 1989.

19 Q. Then I was really asking you about your research. So
20 that's how it started, I think, so far as you recall.
21 But had you had earlier publications in issues to do
22 with paediatric neurology before you actually had funded
23 research? I'm thinking perhaps in particular at 005 of
24 your report.

25 A. Yes.

1 Q. If I take people to it, if you see the fourth one down,
2 "Neurological abnormalities in patients". That was
3 published in the Archives of Diseases as early as 1978.
4 If we move further down, we see you with Green, "The
5 duration of admission for febrile convulsions". That's
6 1985.

7 A. Yes.

8 Q. And then if we -- I'm not quite sure what that last one
9 is, syringomyelia?

10 A. Syringomyelia, yes. It's a neurological/neurosurgical
11 problem in children.

12 Q. Which was published in the British Journal of
13 Neurosurgery right down at the bottom there?

14 A. Yes.

15 Q. Then if one goes to 006, continuing on, you see, I think
16 it's four up from the bottom in 1999, "Determining
17 common presenting problems to paediatric Accident &
18 Emergency". Did that have a neurological element to it?

19 A. Well, the purpose of that study was a study which
20 Sir David Hull and I were joint grant holders for.
21 He was based in Nottingham and it was a grant from
22 Children Nationwide, partly supported by the Meningitis
23 Research Foundation. What we were trying to do was to
24 look at the care of children who presented not with
25 a diagnosis, but with a problem. And included in those,

1 the commonest problem presenting is breathing
2 difficulty. The next is feverish illness, the next is
3 diarrhoea and vomiting, and the next is seizure. So we
4 did a literature review on the management of these
5 children and produced guidelines and these publications
6 come from the Nottingham collaboration. As I say, I was
7 the joint grant holder for that.

8 That interest then continued because, at the time,
9 we were trying to look at structured methods of
10 assessing acutely-ill children, and it was called
11 "Recognising acute illness in children", and I chaired
12 the group and was the grant holder for that in the
13 college research unit to see if we could improve
14 a recognition of acutely-ill children.

15 That led to a number of publications which have been
16 lately produced, and towards the end of my career, we
17 had been involved, until last year, in a collaboration
18 from Pinderfields and from the Oxford University funding
19 from NHS to look at this further, how do you recognise
20 acutely-ill children. That included, of course, coma
21 and meningitis.

22 Q. Sorry, just so that we're clear, is it how you recognise
23 them? Does it also move into how you treat them?

24 A. Well, the intention there was to try to work out
25 a method of identifying the children and the work that

1 came from Nottingham was the initial management, which
2 would lead to a diagnosis. Once a diagnosis was
3 established, we felt that it was better for clinicians
4 then to refer to the management of that specific
5 condition.

6 Q. Okay. So it was a guide on how to recognise the
7 underlying condition of the child who presents?

8 A. Yes.

9 Q. So if we translate it just briefly into a child like
10 Claire, it would be to provide some assistance on how to
11 recognise what was happening as she presented in the way
12 that she did on 21 October?

13 A. Yes. Now, the College produced a guideline on
14 management of reduced conscious level in children, and
15 I've referred to that in my report, and have made some
16 criticisms of it. That guideline was produced because
17 the Reye's Syndrome Association or Foundation funded it,
18 and they funded it following a working party which was
19 held over two days, and I was the facilitator for one of
20 the three or four sessions on that working party, which
21 led to the work which has produced the guideline. But
22 I was not involved in the guideline. The author of it,
23 Richard Bowker, was in our team producing guidelines and
24 is the co-author of the book which I have published on
25 -- together with colleagues -- how to produce an

1 evidence-based guideline.

2 THE CHAIRMAN: Doctor, just pause for a moment. The paper
3 which is highlighted on the screen in front of you,
4 that's published in Paediatrics Today in 1999; is that
5 correct?

6 A. Yes.

7 THE CHAIRMAN: If it ends up being published in 1999, how
8 much work has gone into it before that? Is it something
9 that is done over a few months in 1999?

10 A. Oh no. That was the result of the studies we set up in
11 Nottingham Accident & Emergency department, myself and
12 Sir David Hull, and I think we started that in 1994/95.
13 So it does take time obviously to produce the data
14 gathering, which enables the study to reach
15 a publication.

16 THE CHAIRMAN: Then on the next page, if we go on to
17 page 007 for a moment, is it the fifth entry, you have
18 a further publication in 2004:

19 "Armon, Stephenson, MacFaul: The impact of
20 presenting problem-based guidelines."

21 Is that a follow-up, does that lead on from your
22 dissatisfaction with the guidelines that you were just
23 referring to?

24 A. Yes, because many people issue guidelines, but they
25 don't study (a) whether they are put into place or (b),

1 if they are put into place, whether they have any
2 effect. We expected, for instance, in diarrhoea and
3 vomiting that producing a guideline, we would reduce
4 hospital admissions with gastro-enteritis. It didn't
5 work out that way; they went up. But at least the
6 guidelines was adhered to.

7 THE CHAIRMAN: Thank you.

8 MS ANYADIKE-DANES: Just above that, you have "An evidence
9 and consensus based guideline for the management of
10 a child after a seizure" --

11 A. Yes.

12 Q. -- and that's 2003.

13 A. Yes.

14 Q. Just prior to that, if we go very briefly back to 006,
15 you had talked about a series of papers that came out of
16 that work that you were describing. Would I be right in
17 saying that the last two papers on that page where you
18 were with Eccleston and also with Armon, that those
19 papers to "... test the inter-rater reliability of
20 interview data on parental Accident & Emergency
21 attendance" and also the "What are the common medical
22 presenting problems to Accident and Emergency?". They
23 were all papers that came out of that same piece of
24 research or project, if I can put it that way.

25 A. Yes.

1 Q. Then if we go to the page where the chairman had taken
2 you to, which is 007, I think perhaps in addition to
3 that, just above that, there's a further one with Armon
4 on "An evidence and consensus based guideline for acute
5 diarrhoea management"; is that the one that you were
6 referring to?

7 A. Yes.

8 Q. So you'd done some of work on that. Then I think Armon,
9 Hemmingway, the chairman took you to, but there's
10 another one a little further on down, the last three on
11 that page, with Lakhanpaul, all three with him. The
12 first one of those three dealing with "Children
13 presenting with acute breathing difficulty", and then
14 the "Risk score to stratify children with suspected
15 serious bacterial infection". It came out in 2011 and
16 there is another one also dealing with serious bacterial
17 illness. Is that all part of the same project that
18 you're talking about?

19 A. Not entirely. The last two papers came out from the
20 college research working group recognising acute illness
21 in children, which I chaired. That was funded with
22 a different funding stream, partly from the Department
23 of Health, partly from Children Nationwide, and partly
24 from the Meningitis Research Foundation.

25 Q. But within it, it had a neurological component to deal

1 with that?

2 A. Yes, because we're looking for acute bacterial illness
3 of the brain as well as other things.

4 Q. Exactly. If I could then take you to 008. If one looks
5 towards the bottom of that page, the "Paediatric service
6 and standards reviews". That first one:
7 "Paediatric member of regional inquiry into
8 paediatric services (Grantham) and baby deaths."
9 Which is Allitt. Is that the precursor to the
10 Clothier --

11 A. It is. That was a regional inquiry and then there was a
12 national inquiry set up. The regional inquiry was
13 chaired by a retired, I think, district general manager.
14 It had a children's nurse and it had me as the
15 paediatrician. There were three of us. We were
16 assisted by a barrister.

17 Q. So you were a tribunal member for that?

18 A. Yes.

19 Q. If we work our way down to the "Review of paediatric
20 services in the London region". Can you explain what
21 that review was? When did it take place?

22 A. That took place in around 1994, 1993, something like
23 that. It was a review of all paediatric services in the
24 London hospitals. It including neurosurgery, cardiac
25 surgery and all tertiary specialties, that is the

1 specialties largely housed in regional centres outside
2 London. They were dispersed amongst a number of
3 teaching hospitals in London. We reviewed the services
4 available for each of those and made recommendations.
5 Sir David Hull is the chair and I was the secretary, if
6 you like, in the sense of putting together the work
7 and --

8 Q. Sorry, what was the purpose of that?

9 A. The purpose of it was to try and rationalise services
10 and avoid duplication and to try to bring, for example,
11 neurosurgical services for children on to sites which
12 had paediatrics, because in London there were some
13 neurosurgical services which were looking after quite
14 ill children where there was no paediatric department on
15 site. The implementation of it, because it caused
16 obviously quite a lot of difficulty amongst the
17 hospitals, has been very slow.

18 Q. Yes. And then we see the penultimate one on that list:

19 "Review of children's neurosurgical services for
20 South of Thames."

21 Are you able to explain what that review --

22 A. That preceded the London review and I was asked --
23 I think when I was honorary secretary of the British
24 Paediatric Association -- to conduct that review.
25 Again, because of the problem of lack of collocation of

1 neurosurgery with paediatrics.

2 Q. Thank you. At the bottom of that page, you'll see that
3 you start with your current research activities. And
4 you deal with those more extensively over the page at
5 009 if we go to that.

6 For example, if you were to help us with the
7 "Development of acute illness severity scale for use in
8 acute general paediatric practice". First, it says it's
9 funded by "WellChild funding"; is that right?

10 A. Largely so. I had some sources of funding from my
11 Department of Health budget and we were also helped by
12 Meningitis Research funding. That's the one that I've
13 referred to already as "Recognising acute illness in
14 children".

15 Q. So this is to try and have some common scale by which
16 you can try and measure where the child is?

17 A. Yes. It is trying to disentangle the clinicians'
18 subjective assessment of how ill a child is and trying
19 to identify if there are elements of that subjective
20 overall impression which we can structure and thereby
21 provide a method of teaching people how to recognise
22 acute illness. It hasn't worked, I have to say, and the
23 most reliable is the overall assessment.

24 Q. But in any event, the study was to look at that and to
25 see whether that was possible?

1 A. Yes.

2 Q. And in the course of that, presumably, you spent quite
3 some time considering neurological problems in children?

4 A. Oh yes. They were included, yes. And we've tried to do
5 the statistical analysis of presentation in coma.

6 Q. And can I ask who you worked with in carrying out that
7 research?

8 A. Yes, with Professor Michael Levin from St Mary's.

9 Q. And his discipline?

10 A. He's a consultant paediatrician, but his special
11 interest is in meningococcal disease and meningitis and
12 intensive care.

13 Q. Yes.

14 THE CHAIRMAN: Is that more acute than, for instance, low
15 readings on the Glasgow Coma Scale or are neurological
16 observations part of that?

17 A. We used the other scale for this purpose, which was the
18 AVPU scale -- it's simpler -- which is the "Alert,
19 voice, only response to voice, only response to pain, or
20 unresponsive". The AVPU scale. We used that one.

21 THE CHAIRMAN: So that's an alternative to the Glasgow Coma
22 Scale?

23 A. It's simpler.

24 THE CHAIRMAN: Right.

25 MS ANYADIKE-DANES: In the course of doing that work, does

1 that mean that you considered the advantages and
2 disadvantages of scales such as the Glasgow Coma Scale?

3 A. Yes.

4 Q. Then if one looks just at "Critical care of children" --
5 firstly, I should say, that because you have referred to
6 your work as "the department", is that what we see
7 immediately before that?

8 "Medical adviser in paediatrics and child health --
9 Department of Health, England, 1996 to 2003."

10 A. Yes.

11 Q. And all these matters that you have indicated below --
12 "screening", "critical care for children", then over the
13 page, "medicines for children", "acute care for
14 children", "child health", "evidence-based health" --
15 that all came within that appointment?

16 A. Yes.

17 Q. Did you work with other clinicians in providing that
18 advice to the department?

19 A. Yes.

20 Q. Which other clinicians did you primarily work with?

21 A. Well, there was the -- the Department of Health convened
22 a paediatric intensive care working party and I sat on
23 it, so there was a range of paediatric intensivists on
24 that, some from an anaesthetic background, some from
25 paediatric. I don't remember the names, but they're

1 published in the publications. When I convened the
2 working group on high-dependency care in children,
3 level 1 intensive care, which I chaired, I worked with
4 paediatric intensivists.

5 Q. That's that third bullet under:

6 "The critical care of children, Department of
7 Health. Set up and chaired Department of Health working
8 party, setting standards for high dependency care."

9 A. That's correct.

10 Q. If we go over the page, just to give an illustration of
11 the sort of thing, under "Medicines for children", we
12 see at the fourth bullet:

13 "Brokered the successful proposal to provide a BNF
14 for children."

15 So that was part of your work to end up with
16 a British National Formulary that was targeted towards
17 paediatrics?

18 A. Yes, it wasn't an easy negotiation for reasons I can go
19 into about the issue of unlicensed medicine, if you want
20 me to. But it was necessary to get legal approval as
21 well as meeting what was called the Medicines Control
22 Agency's senior staff at that time, now the MHRA. It
23 was produced because NICE didn't want to do it and the
24 college production, which was called "Medicines for
25 Children", needed to be updated and there was no funding

1 to do it, and it seemed the logical way was to go to the
2 BNF. I was able to get the support of the Chief Medical
3 Officer and the legal department of the Department of
4 Health and eventually the MHRA/Medicines Control Agency,
5 to support that. And the only thing that was
6 outstanding when I left was the funding. That's been
7 resolved.

8 Q. So that's going ahead?

9 A. It has gone ahead.

10 THE CHAIRMAN: Doctor, in all of this additional work you've
11 done, how important has it been for you to continue to
12 be a consultant paediatrician and practice?

13 A. It's essential. I remember many times people have said
14 to me, "What are you doing up here? When did you last
15 see a patient?", and my point was that I didn't think
16 you could do it properly without. I remember one
17 particular day when I was asked in London by somebody,
18 who said, "When did you last -- and I said, "I did
19 a lumbar puncture this morning, before I came to London,
20 I've just been telephoned the result".

21 THE CHAIRMAN: Thank you.

22 MS ANYADIKE-DANES: Then just on that page, under the "Acute
23 Care for Children", that final bullet -- this is,
24 I think, part of what you might have been taking to the
25 children before. No, the final bullet on the page:

1 "In 2000, originated the project and commissioned
2 the Department of Health DVD training materials,
3 'Spotting the sick child', for recognition of
4 acutely-ill children."

5 Is that part of the work you were talking about.

6 A. Yes, I thought it was a good idea to use video because
7 it is much easier to use video to convey to juniors how
8 ill a child is. I took that a bit further by trying to
9 do it in telemedicine, but the purpose of it was to ask
10 for -- I specified and arranged the funding to get this
11 done, and it was done for me on behalf of the Department
12 of Health by the London Hospital, a consultant in
13 Accident & Emergency did that and it was very popular.
14 Then I arranged funding for the next version of it,
15 which is out now, and I think it has been generally well
16 received.

17 Q. Thank you. If we go over the page --

18 THE CHAIRMAN: Sorry, before you do, could you go two above
19 that:

20 "Carried out a study of out-of-hours needs of
21 children for the 'Hospital at Night' project showing
22 that paediatrics needed a different solution from adult
23 services."

24 If there's a way to encapsulate that briefly, what
25 did that involve?

1 A. The purpose of it was -- because it had been suggested
2 that a hospital could be covered, because of a shortage
3 of junior doctors, by a team which would cover all
4 specialties. I didn't feel that was right for
5 paediatrics. So in order to study how often paediatric
6 staff would be recalled for crises in the night, we got
7 diaries filled in by three or four district general
8 hospitals. The funding came from the Department of
9 Health, but we were able to recruit these hospitals to
10 do it. We identified that collapses or crises or
11 children deteriorating rapidly occurred throughout the
12 24 hours and required specific paediatric input. And on
13 the basis of that, paediatrics was excluded from the
14 Hospital at Night team concept and paediatric teams were
15 left to remain responsible.

16 THE CHAIRMAN: We've heard quite a bit of evidence over the
17 last few weeks that while children can bounce back very
18 quickly from being ill, they can also plummet very
19 quickly --

20 A. And unexpectedly so.

21 THE CHAIRMAN: Is that part of what that study was looking
22 at?

23 A. Yes. The point is that children -- there is a notion
24 that you can identify people in hospital who are likely
25 to, in the terms that paediatricians use, "go off".

1 That's not always possible and so this was a study to
2 quantify the number of recalls by registrars out of
3 hours and when they occurred out of hours. They do
4 occur in the early hours as well as in the evening when
5 the hospitals tend to be better staffed.

6 THE CHAIRMAN: Sorry, this is house officers recalling
7 registrars or registrars recalling consultants?

8 A. We didn't look at the consultant recall. I may have the
9 data.

10 THE CHAIRMAN: But it's house officers recalling registrars?

11 A. It's the call of registrars and -- it's the call of the
12 middle grades. In some hospitals that's a senior SHO,
13 in others it's a staff grade or a registrar.

14 THE CHAIRMAN: Thank you.

15 A. I may have the data on consultant recall. I'd have to
16 go back.

17 MS ANYADIKE-DANES: Thank you. Then if we go over the page,
18 011, we see just on that second bullet, just above
19 "child health":

20 "Identified the need and provided the argument in
21 2002 on the requirements for nurses with enhanced skills
22 in general, neonatal and community paediatric practice."

23 Perhaps you can help us with that a bit and explain
24 the extent to which, in the course of your research,
25 you've actually had a look at the services that are

1 required for nurses in terms of acute paediatric care.

2 A. There was a concern for many years that some nurses
3 working on a children's ward did not have a children's
4 nurse qualification. That has been overcome, thank
5 goodness. As far as the advanced skills are concerned,
6 it had become relatively common practice to have
7 advanced nurse practitioners working in neonatal
8 intensive care units and there was a notion that perhaps
9 we could build up a team of nurses who could do
10 paediatric intensive care -- in other words, not
11 neonatal intensive care but paediatric intensive care --
12 and thereby provide better support for paediatric
13 intensive care units throughout the 24 hours. That
14 would require gathering a cohort and training advance
15 nurse practitioners. It has been much slower to
16 implement than advanced nurse practitioners in neonatal
17 care.

18 Q. In the course of doing that, did you carry out research
19 into --

20 A. No.

21 Q. So you were just working on the study to see the
22 feasibility of providing that enhanced service?

23 A. Well, to try and negotiate it because there was a
24 certain opposition from the Department of Health nursing
25 branch because they could see that the pool of nurses

1 generally was being tapped off by all sorts of people
2 wanting to have advanced nurse practitioners. I mean
3 adult medicine, as well as children.

4 Q. Have you done any other work on the nursing side?

5 A. No, I don't think so.

6 Q. Thank you. I think earlier when you first described
7 your coming to Pinderfields, you said, when you came as
8 a consultant, you also worked in the hospital for
9 mentally-disabled children, or with mentally-disabled
10 children.

11 A. Yes.

12 Q. I was just looking under your heading "Child health",
13 and you say about seven bullets down:

14 "Provided the advice and information to set the
15 'Quality Projects' programme for the care of disabled
16 children."

17 What did that involve?

18 A. Well, at that time, the Quality Projects agenda was
19 initiated by the social care branch of the Department of
20 Health and the work was to try to make sure that the
21 social care services in a locality were aware of the
22 numbers of children with severe disability and how
23 severe it was in order for them to provide their
24 services. That was the purpose of that work.

25 Q. Thank you. Then just over the page, finally, 012. This

1 is "Evidence based care":

2 "Initiated the existing children's programme for
3 topics for NICE: asthma inhalers, growth hormone,
4 urinary tract infection, head injury, and feverish
5 illness in children."

6 Just very briefly, can you help as to what that
7 involved?

8 A. Yes, at the time that I was working in the department
9 there were no children's projects in the pipeline for
10 NICE guidelines, so it was necessary to identify
11 a shortlist. At that time, we had to negotiate from the
12 Department of Health point of view against other
13 competing demands from other branches in the department
14 such as areas of adult practice. So in consultation
15 with my colleagues in the College, I gained support for
16 the notion of going for asthma inhalers, growth hormone
17 as well because there was concern it was overused or
18 underused, and urinary tract infection because there was
19 a wide consensus about how you managed those.

20 Because of the concern about how head injury was
21 managed particularly in relation to whether you should
22 scan them in Accident & Emergency, I felt, having read
23 the literature on this, there was a lot of work in the
24 States showing that the easiest way to deal with that
25 was to scan them rather than do a skull X-ray and

1 observe. Observations included GCS, Glasgow Coma Scale.
2 It was better and safer to scan. So the result of that
3 was to, when the specialists worked on it, come up with
4 recommendations for scanning head injury rather than
5 skull X-ray and observation.

6 The feverish illness in children was a difficult
7 topic because NICE, up until then, had wanted to look at
8 diagnoses or particular therapies; they were not minded
9 to look at a presenting problems. But from our studies
10 that we had done, we could see that feverish illness was
11 the second commonest presentation and I felt it was
12 necessary to produce a guideline on that because the
13 Americans had done a very good one. And NICE accepted
14 it eventually, but it required about 18 months of
15 negotiation, and I was hoping that I would be able to do
16 it in Nottingham, but I ran out of funds. It had
17 already cost us 350,000 to produce the breathing
18 difficulty, the diarrhoea, and the seizure, and we had
19 no more money for the feverish illness. So I thought
20 the best way was to ask NICE to do it, and they did it,
21 nicely.

22 Q. Thank you. Just to round up to 2008, your work with the
23 Department of Health continued and we see what you were
24 doing over the period 2004 to 2007. That included
25 children's prescribing. Was that a development on from

1 your BNF project?

2 A. Yes, it was to do with ... I was asked to set up
3 a working group and provide guidance on improving the
4 quality of prescribing in children with a view to
5 providing the specification for electronic prescribing.

6 Q. And then 2007 to 2008 has your national clinical lead
7 child health programme, Connecting for Health. Just
8 before I leave your CV, I want to come to what you did
9 in the hospital in terms of your hospital positions. If
10 one looks at 003, you were clinical director at the
11 Women and Children's Services from 1997 to 1998, and
12 then clinical director of the Children's Services from
13 1998 to 2005, which is just before you retired.

14 A. Yes.

15 THE CHAIRMAN: Let's go back one more, one above that. The
16 one above that, doctor, is "Divisional coordinator
17 in the medical division, 1993 to 1996"; what did that
18 involve?

19 A. That involved providing the lead in the management
20 structure in our own hospital for all non-surgical
21 specialties, which were clinical specialties. So we had
22 a surgical divisional coordinator and we had a medical
23 divisional coordinator, and in that role I worked in
24 general management as the lead clinician for the
25 non-surgical clinical services, which was adult

1 medicine, neurology, and elderly care.

2 MS ANYADIKE-DANES: Can you recall --

3 THE CHAIRMAN: And paediatric?

4 A. It included paediatrics, yes.

5 MS ANYADIKE-DANES: Can you recall the size of the hospital

6 at that time in terms of beds?

7 A. The size of the hospital? I think it was probably about

8 500. I can't be precise, but it's that sort of size.

9 Q. And what area did it service in terms of population?

10 Are you aware of that?

11 A. Well, the hospital had a mixture of some regional

12 services. It had spinal injuries, it had burns, it had

13 neurology, neuroradiology was still there. And that was

14 serving a population of perhaps three-quarters of

15 a million. So far as the burns were concerned, a much

16 larger population. For the general hospital services,

17 it was covering a population of about 250,000 to

18 300,000. I say "about" because we provided services for

19 South Leeds as well as the Wakefield conurbation and

20 it is very difficult to identify exactly what population

21 you're serving, but it was in that order.

22 Q. Thank you. Then those two clinical director positions,

23 did one service develop into another?

24 A. Yes, what happened was that, of course, neonatal care is

25 part of obstetrics, so they thought it was reasonable to

1 have a women and children's director. That's common in
2 district hospitals, sometimes led by a gynaecologist,
3 sometimes led by a paediatrician, and I accepted that
4 role to keep the children's services element. But
5 I obviously relied heavily on my gynaecological
6 colleagues to help with the women and children's,
7 because it required things which were common to surgery,
8 such as theatre access.

9 Then when the children's services became bigger,
10 when we amalgamated with another district hospital in
11 Pontefract, so that we are now covering a bigger
12 population of 300,000 for children within Wakefield
13 alone, and the other hospital had about 25 children's
14 beds, I think, so we were then getting up to something
15 like 70 children's beds with about ten consultants,
16 I felt that it was reasonable and negotiated that we
17 should have a separate clinical services directorate,
18 and I was director of that.

19 Q. And as I say, you continued on in that until just before
20 you retired entirely?

21 A. Yes. I handed over a year before because I felt my
22 successor should have a year when I was still around.

23 MS ANYADIKE-DANES: Thank you. Mr Chairman, I have nothing
24 further.

25 THE CHAIRMAN: Are there any questions for Dr MacFaul about

1 his CV before we break for lunch? Ms O'Rourke?

2 MS O'ROURKE: Sir, is it okay to ask it direct?

3 THE CHAIRMAN: No, it's not. Ask it through me, please.

4 MS O'ROURKE: It was to ask about his paediatric neurology

5 appointments as put on his CV. It says:

6 "1975 to 1976, registrar at Great Ormond Street."

7 But under the same entry he's, in fact, got three

8 posts: one at Guy's Hospital, one at Northwick Park, and

9 one at Great Ormond Street. It appears only the Great

10 Ormond Street one is paediatric neurology. I was

11 wondering whether that was a rotation as a registrar

12 with four months in each or how it was and how much of

13 it was actually paediatric neurology.

14 Sir, the second question --

15 THE CHAIRMAN: The first question, doctor. Can you deal

16 with that?

17 A. How much of that particular rotation was neurology?

18 MS O'ROURKE: Was it rotation? Because you're in three

19 different hospitals which are geographically separate,

20 although all in London. So was it four months in each

21 or were you covering all three hospitals in the one

22 rotation?

23 A. No, I was moving from one hospital to another. So

24 I spent some of my time in Great Ormond Street doing

25 paediatric neurology. I went to Guy's to do

1 developmental paediatrics and I spent some time at
2 Northwick Park as a paediatric registrar. I think that
3 was probably -- well, must have been three or four
4 months. Three months, I suspect, because somewhere in
5 there I did some cardiology, but it doesn't appear.

6 MS O'ROURKE: Therefore, the amount of time as a registrar
7 in paediatric neurology may only be three or four
8 months?

9 A. At that stage, yes.

10 MS O'ROURKE: And then the next one simply related to the
11 next entry, which is 1976 to 1978. You've got yourself
12 listed as Cambridge Military Hospital in Aldershot and
13 Great Ormond Street. Again, geographically different.
14 I think you said in answer to questions that you were
15 half time at one and half time at the other. What does
16 that mean: does it mean that you did 12 months as
17 a senior reg at Great Ormond Street and then moved to
18 Cambridge or that during the same period you were
19 spending so many days a week at one and so many at the
20 other?

21 A. It was the latter option. It was over a two-year span
22 and I spent some of my week in Aldershot and some of my
23 week in London and commuted.

24 MS O'ROURKE: Thank you. I have no other questions.

25 THE CHAIRMAN: Just to give me a better picture, do I take

1 it from this then that if in Leeds in, what, the late
2 1980s there wasn't a paediatric neurologist, that the
3 specialty of paediatric neurology emerged relatively
4 recently?

5 A. Well, yes.

6 THE CHAIRMAN: Leeds is obviously a fairly big city.

7 A. Yes. When I went there, there was a paediatrician,
8 Dr Forsythe, who was a general paediatrician who was
9 interested in epilepsy and he did some of the paediatric
10 neurology referrals, but there wasn't a full-time
11 paediatric neurologist. My particular interest when
12 I moved there was in neurodegenerative diseases and
13 complex neurological conditions as well as other things,
14 neuromuscular disease. So between the two of us, we had
15 a sort of portfolio, but we both felt that the Yorkshire
16 region should have a paediatric neurologist.

17 THE CHAIRMAN: Sorry, the point I'm getting at is that
18 in the late 1980s the Yorkshire region did not have
19 a paediatric neurologist.

20 A. That is correct.

21 THE CHAIRMAN: And was that uncommon in regions through
22 England or was Yorkshire a way behind?

23 A. I think Yorkshire was a bit behind, to be honest.

24 THE CHAIRMAN: Since then, since the 1980s, has the
25 discipline of paediatric neurology developed?

1 A. Yes, it's increased.

2 THE CHAIRMAN: And become more specialised?

3 A. I think it has been, yes. I think that it would be fair
4 to say there are now three or possibly -- I'm a bit out
5 of date -- four paediatric neurologists in Leeds, one of
6 whom has an interest in paediatric muscular disease and
7 the other two in epilepsy. So within paediatric
8 neurology, there is a trend now as there are more posts
9 for more specialist care. It wasn't unusual in the
10 1980s for there to be only one paediatric neurologist in
11 a region.

12 THE CHAIRMAN: Well, would a young paediatrician now in his
13 or her 20s or 30s know as much about neurology as you
14 would have learnt in your 20s and 30s?

15 A. I think that's difficult because the more people
16 you have seeing the same pool of patients, the less
17 individually experienced you become, and therefore -- in
18 other words, the numbers of cases remain the same, but
19 you are diluting by increasing the number of
20 consultants. There are solutions to that, which don't
21 necessarily involve direct patient care. It's
22 communication.

23 THE CHAIRMAN: Okay. Thank you very much, doctor.

24 We'll take a break now and we'll sit again at 2.20.

25 Thank you.

1 (1.41 pm)

2 (The Short Adjournment)

3 (2.20 pm)

4 (Delay in proceedings)

5 (2.27 pm)

6 THE CHAIRMAN: Ladies and gentlemen, unless there's any

7 objection, I'm going to ask Dr MacFaul to start to give

8 his evidence. No? Okay.

9 Doctor, thank you.

10 MS ANYADIKE-DANES: Good afternoon.

11 A. Good afternoon.

12 Q. What I would first like to do is to have on record the

13 reports that you've provided. You've provided a full

14 governance report, that's right, isn't it --

15 A. Yes.

16 Q. -- in which the clinical elements have formed a part, if

17 I can put it that way?

18 A. Yes.

19 Q. Or the consideration and the views taken on the clinical

20 issues have formed a part.

21 A. Yes.

22 Q. The full governance report is, I believe, 238-002-001.

23 Subsequently, the clinical elements of that and the

24 written material on which that was based were extracted

25 and put into a shorter version, which is a report that

1 has been circulated more recently for the purposes of
2 what we call the clinical hearing; that's correct, isn't
3 it?

4 A. I'm not sure exactly what has been reported. I produced
5 a large document, which had an appendix D in it, but
6 that was a large amount of reference material.

7 Q. Yes.

8 A. So the main report and appendices A, B and C, as far as
9 I know.

10 Q. Well, let me take you to what has actually been
11 provided. If we go to 238-002-001. This is your full
12 report, but for which we have taken out the clinical
13 elements and circulated that ahead of time because
14 we were circulating only that which dealt with the
15 clinical matters being discussed in this clinical
16 hearing, if I can put it that way.

17 So the easiest way to see that --

18 THE CHAIRMAN: Sorry, you've taken out the governance
19 elements.

20 MS ANYADIKE-DANES: Sorry. If I got that the wrong way
21 round, I apologise.

22 (Pause).

23 Sorry, Mr Chairman, there seems to be a slight error
24 here. There's a technical matter. I wonder if you'd
25 allow me to deal with that to make sure we pull up the

1 appropriate things with the appropriate redactions
2 because I think, if we go through this, we'll end up
3 looking at the full report the whole time.

4 THE CHAIRMAN: Well, let's not do that.

5 (2.32 pm)

6 (A short break)

7 (2.37 pm)

8 THE CHAIRMAN: Are we sorted out?

9 MS ANYADIKE-DANES: I think we're about to find out,

10 Mr Chairman. I hope we are.

11 THE CHAIRMAN: We are.

12 MS ANYADIKE-DANES: There we are.

13 So if I just orientate you through it, if we go to
14 the next page, 004. That wasn't exactly what I was
15 expecting, but nevertheless, let's deal with that. You
16 can see from what remains, which is not redacted, these
17 are the particular parts that have been retained in this
18 report and circulated for the purposes of dealing with
19 the clinical issues. So you can see the first is your
20 chapter 1, "Summary of illness and subsequent events".
21 And then your headline comments and then chapter 2,
22 "Acute encephalopathy", and the detailed commentary on
23 the clinical care given to Claire. And right down
24 at the bottom, you can see annex A, "Guidance on acute
25 encephalopathy", which was available in 1996.

1 Please go over the page, 006. Then there's annex B,
2 which is the midazolam prescription, and annex C, which
3 is the detailed clinical chronology and copies of
4 selected clinical records. So that is the clinical
5 aspects, if I can put it that way, of your report.

6 Subject to something I'm going to ask you in
7 a minute, do you adopt that?

8 A. I adopt that report, but I have submitted two further
9 amplifications.

10 Q. Yes, which we're going to come to.

11 Then your next report is "Supplemental report on the
12 fluid regime used in Claire Roberts". That's dated
13 3 September of this year. The reference number for
14 that is 238-003-001.

15 It is a single page and it deals with a very
16 specific point, which related to a particular edition of
17 Forfar & Arneil.

18 A. Yes.

19 Q. You were then provided with a report from
20 Professor Young, which dealt further with the issues to
21 do with the relevant texts that were available, which
22 indicated the state of knowledge of treating, through
23 fluid management, neurological presentations in children
24 in 1996.

25 A. Yes.

1 Q. If I can pull that up, that's 238-004-001. It is called
2 your response. Just to orientate you, if I pull up
3 witness statement -- this is Professor Young's witness
4 statement, he's a professor of medicine and director of
5 the centre for public health at Queen's. He has put in
6 two witness statements. This is the one that your
7 report responds to in particular. It's witness
8 statement 178/2, and page 2 will show the substance of
9 it.

10 It goes on and it has attached, or submitted with
11 it, a number of extracts from textbooks and papers and
12 so forth. And you have seen that?

13 A. Yes.

14 Q. And that's the report that you are responding to in that
15 last report that I put up for you, which is dated --
16 I don't have the date immediately, but anyway.
17 It's November of this year.

18 A. Yes.

19 Q. Professor Young has also provided a further report,
20 which deals with the Glasgow Coma Scale, and one can see
21 that at 178/3, and page 2 will show its substance. So
22 the comments on the interpretation of the changes in the
23 Glasgow Coma Scale of Claire over that period.

24 You saw that yesterday; am I right?

25 A. Yes.

1 Q. And you therefore have not included any response to that
2 in your report.

3 A. That is correct.

4 Q. But are you in a position to be able to address it?

5 A. Yes.

6 Q. Thank you. Then if we go back to your most recent
7 report because that is where you deal with the question
8 of the edition of Forfar & Arneil and what the state of
9 knowledge is. You deal with that in substantive terms
10 in your most recent report. So I'm going to ask you to
11 explain matters from there. But do you adopt those
12 three reports, subject to anything that you say now to
13 clarify your position?

14 A. Yes.

15 Q. Thank you. Maybe if we can pull up 238-004-001. If
16 it's possible to pull up alongside that -- because we
17 see the start of the matters to which you're
18 responding -- witness statement 178/2 at page 2.

19 In some respects that encapsulates matters. This
20 extract rather confusingly, given how we've just
21 arranged to have the shortened version in the system,
22 actually comes from your larger report, but the point is
23 reflected in other places in your shortened report, and
24 I think you're familiar with the issue.

25 A. Yes.

1 Q. The issue, as one sees it on that page, is that you have
2 cited from the third edition of Forfar & Arneil, which
3 is dated 1984, the treatment there for cerebral oedema
4 requiring to be presumptive, and therefore a restriction
5 of fluids. And if we go over the page, leaving your
6 report up there, to page 3, 178/2 at page 3, the comment
7 there is that:

8 "At the time of Claire's treatment, that particular
9 edition was 12 years old. In many respects, it was
10 completely out of date and, in any event, had been
11 replaced by the fourth edition of the textbook, which
12 was published in 1992 and then reprinted a number of
13 times, once in 1994 and then in 1996."

14 Just for completeness, there was a further edition
15 in 2003; is that correct?

16 A. There was another edition, the fifth edition, in,
17 I think, 2001, but the one that I have referred to is
18 the sixth edition, 2003.

19 Q. Yes. And just so that we bookend your consideration of
20 that particular text, on the one hand you have the 1984
21 edition and on the other hand you have the 2003 edition.
22 It's not the 2003 edition that we're going to ask for
23 your views on; it's what you made of the 1984 edition
24 in relation to the edition that was current at the time
25 of Claire's admission. But can I just ask you why you

1 chose the 2003 edition also to look at?

2 A. The simple answer to that is that I accept that I should
3 have made greater reference to the fourth edition, and
4 I have said so in my response, and that was a fault on
5 my part. But when constructing the report for you,
6 I had immediately to hand the 1984 edition and I had
7 immediately to hand the sixth edition.

8 Both of them, in essence, give guidance, which, in
9 principle, in the management of acute encephalopathy in
10 regard to fluids in particular, but in other aspects,
11 were substantially the same. The wording has changed,
12 but they were substantially the same. I therefore, at
13 that point, did not seek the interval edition because
14 I did not see any main difference. The wording had
15 changed and, in particular, the wording in relation to
16 0.18 per cent saline being contraindicated, and in the
17 mention of hypotonic fluid. And it would have been
18 better for me to have checked the 1992 edition, which
19 I have subsequently acquired. But it was pointed out to
20 me by the team, who had that copy, that the wording had
21 changed and hence I produced that supporting document
22 in September.

23 But I would say this: the main principles of
24 management in the 1984 edition and in the fifth edition
25 had not changed in essence. I would make another point,

1 and that is that one of the advantages of referring to
2 the 1984 edition is to establish that the awareness of
3 hyponatraemia and the risk it posed to worsening of
4 cerebral oedema was not of recent concern in late 90s.
5 It had been present for a long time and continued to be
6 present.

7 The wording in the fourth edition has changed.
8 I don't know why it has changed and I think it is less
9 easy for interpret for a clinician who is having to
10 refer to it quickly. Because instead of that stark and
11 clear warning about that fluid, it chooses to use other
12 terminologies, which I can come to in time.

13 Q. Thank you. I'm going to ask you a little bit more about
14 the differences between them and whether there is any
15 underlying difference, as you see. One of the things
16 I wanted to see is, in terms of the 2003 edition, which
17 you did have, which is the edition which would have been
18 current when Claire's parents came to the Royal to have
19 an explanation of what had happened to their daughter in
20 1996?

21 A. The 2003, sixth edition, to which I have referred.

22 Q. Is that one of the reasons you were looking at that
23 edition?

24 A. The main simplistic reason is that I had it to hand.

25 Q. I wonder if it's possible to put up the two versions,

1 one from the fourth edition and one from the third
2 edition. I'm trying to see if we actually have those
3 paginated.

4 Let's first take the point that's made in the first
5 paragraph. In the first paragraph, what Professor Young
6 is saying is at the time of Claire's treatment the 1984
7 edition was 12 years old, which it was.

8 A. It was 12 years old, but was in current use until 1992.

9 Q. Yes, but it had been superseded.

10 A. Yes.

11 Q. And the claim that's made is that, in many respects, it
12 was completely out of date and had been replaced. And
13 the bit that you have relied on and reproduced in
14 annex A of your report has been rewritten.

15 A. It has been rewritten.

16 Q. Can you explain, firstly, what guidance was being given
17 by the 1984 edition as to how to address neurological
18 presentations or, more specifically, cerebral oedema
19 in relation to the management of fluids?

20 A. Well, the 1984 edition was highlighting the risks of
21 hypotonic solution and specifically mentions 0.18
22 solution. The edition also advises anticipatory care as
23 being ideal. In other words, in an acute encephalopathy
24 to envisage that this problem might occur and take steps
25 even before a blood sodium measurement is made, if you

1 like, to avoid it. And to some extent, although in
2 separate wording, the 2003 sixth edition, reiterates
3 that.

4 Q. Let's first of all deal with: what is the danger that is
5 anticipated that should be being addressed by the
6 presumptive restriction of fluid?

7 A. The development of inappropriate ADH secretion is one.
8 The other is the knowledge that, in brain oedema, the
9 use of hypotonic fluid can pose a threat because one of
10 the causes of hyponatraemia which is encountered in
11 acute brain disease is water overload, and that is
12 reiterated in the following edition, the one current in
13 1996, but not in such specific wording.

14 And the danger is that the hypotonic solution
15 provides excessive quantities of what is called "free
16 water". That is water not locked, if you like, to the
17 sodium and in a situation where there is inappropriate
18 ADH secretion, which also causes hyponatraemia, you wish
19 to avoid giving a fluid which will contribute to the
20 problem and make it worse.

21 Q. Can we just be clear about that? The fact that cerebral
22 oedema involves the swelling through fluid of the
23 brain --

24 A. Yes.

25 Q. -- and can continue on, if unchecked, to lead to coning

1 and death --

2 A. Yes.

3 Q. -- is that something that was appreciated not just in

4 1984, but also in 1996?

5 A. Yes.

6 Q. Readily?

7 A. Yes.

8 Q. Certainly by neurologists?

9 A. And in general paediatrics because the problem exists in

10 bacterial meningitis and bacterial meningitis is

11 commonly treated by general paediatricians.

12 Q. So not only would a neurologist certainly know that, but

13 a general paediatrician would also know that particular

14 mechanism for the development of cerebral oedema leading

15 to coning and death?

16 A. Yes. And it is echoed, the warning, in other texts,

17 which I have referred to in my report and which are used

18 by paediatricians in training.

19 Q. So if that mechanism was known, I think what you're

20 saying is that a way to deal with that before that

21 became so advanced, if you could foresee that that may

22 be the pathway that the child is on, to act

23 presumptively to restrict the fluids?

24 A. Well, as I have said in my report, that would be

25 ideal/high quality standards. But I would not expect

1 a general paediatric unit to have appreciated that risk
2 immediately Claire was admitted. And I can explain on
3 that.

4 Q. Yes.

5 A. But if Claire had been admitted with her condition
6 straight to a neurology unit or straight to an intensive
7 care unit, it is more likely that the anticipatory
8 approach would have been adopted. More likely, not
9 certain, but more likely.

10 Q. Is that true whether you're speaking of 1984 or 1996?

11 A. Yes.

12 Q. We'll come in a minute to why you say that with
13 confidence about 1996. But part of your basis for
14 saying it in 1984 is that, apart from any other thing,
15 there was a clear reference in a textbook to that
16 effect.

17 A. Yes, and it was much more clearly stated in the 1984
18 edition than it is in the 1996 edition and, in my
19 supplementary report, I have given the text to show, but
20 I have also demonstrated in my comments how the user is
21 having to switch from one part of the textbook to
22 another. There are two elements to that. You either
23 have a textbook, which is used for training, and, if you
24 like, building your knowledge. That is more likely to
25 be, for paediatricians in this country, Forfar & Arneil.

1 Or you have a textbook, which is used for both, that's
2 training and quick reference, and the Nelson textbook is
3 favoured by many for quick reference because it is much
4 more tightly worded and would be used at the point of
5 care more often, although many use Forfar & Arneil. And
6 I suppose the point that I was trying to establish in
7 referring to the 1984 edition -- and I again reiterate
8 that I regret that I did not consult the edition, for
9 reasons I can explain in a moment, of 1996.

10 The reason that I think it's important is that that
11 would have been used by Dr Steen, for example, or
12 Dr Webb -- very likely to have been used in their
13 training. Because it was still current until 1992.

14 Q. So that would be your starting point, to try and
15 understand what people were trained with --

16 A. Yes.

17 Q. -- and might have used early in their clinical career?

18 A. Yes.

19 Q. And that's 1984?

20 A. Yes. Although I was not able to put my hands on the
21 1996 edition, that was the one which we were using
22 obviously in our own department. We would have had them
23 on the wards --

24 THE CHAIRMAN: Sorry, it's not the 1996 edition, it's the
25 1992, surely, is it?

1 A. Well, there was the 1984 edition, which is what we're
2 talking about, Mr Chairman.

3 THE CHAIRMAN: Sorry, just a moment ago you said:
4 "... that although I wasn't able to put my hands on
5 the 1996 edition."

6 A. Yes.

7 THE CHAIRMAN: Sorry, "the edition which was current in
8 1996 --"

9 A. That's what I mean.

10 THE CHAIRMAN: "-- which was, in fact, the 1992 edition."

11 A. It was reprinted, but perhaps it would be best to say
12 third and fourth. It was the fourth edition.

13 THE CHAIRMAN: Shall we get this clear then? This might be
14 the easiest way through it: the third edition is 1984,
15 the fourth edition is 1992, and the sixth edition is
16 2003.

17 A. And the current edition in 1996 was the fourth edition.

18 THE CHAIRMAN: Let's use that terminology as much as we can.

19 A. The fourth edition did not substantially change the
20 advice given. I accept that that wording has gone and,
21 in my own unit, for instance, we did not change our
22 approach because of anything it stated. The reason that
23 I didn't check it was because I didn't have it to hand
24 and I didn't expect the wording to have been so
25 strikingly changed, but it was.

1 MS ANYADIKE-DANES: If I can ask you this: the underlying
2 reason, which is to prevent the continued development of
3 cerebral oedema by dealing with fluid management before
4 it got to the point of no return, if I can put it that
5 way, so dealing presumptively with it, had anything
6 happened in the research and between 1984 when that
7 edition first came out and -- well, that's the third
8 edition, and then the fourth edition. Had anything
9 happened to change that underlying relationship between
10 the management of fluid and the slowing down of the
11 development, or maybe halting it altogether, of cerebral
12 oedema?

13 A. Well, not in practice. But what had changed was
14 a certain amount of information had come from a research
15 study published in 1990, which showed that the
16 management of inappropriate ADH secretion, which
17 generally was done by fluid restriction, could be
18 improved by the addition of additional sodium to the
19 intravenous fluid, not necessarily hypertonic saline,
20 but just increasing the amount of sodium. So it was
21 further support to continuing to adopt a cautious
22 approach in the use of very hypotonic solution and it
23 favoured the use of 0.45 or normal saline. That is an
24 American publication. It is referred to by Dr Kirkham
25 in her review in 2001, and it is referred to in the

1 paediatric neurology textbook, the Swaiman and the
2 Menkes, which come from the States.

3 Q. And when did that research start to break through into
4 publications that would be more commonly available?

5 A. Well, I think it has filtered slowly. I think that the
6 most potent piece of guidance available at the time was
7 to avoid hypotonic fluid, but unfortunately the wording
8 in the fourth edition of Forfar is not so precise and it
9 leaves the user to grapple with maintenance of
10 homoeostasis, avoidance of inappropriate intravenous
11 fluid, and it warns against the fact that inappropriate
12 intravenous fluid therapy can contribute to the problem.
13 It is not user-friendly in that respect. But the
14 principles which lie behind that are maintenance of
15 homoeostasis is correction of any electrolyte
16 disturbance.

17 Q. Sorry, can I just ask you to pause there and explain
18 what that is? What is homoeostasis is its maintenance?

19 A. Maintenance of homoeostasis is trying to make sure that
20 the normally physiological status of the child is
21 maintained, and that includes temperature, fluid
22 balance, and keeping the electrolytes within the normal
23 range. It's the keeping of the electrolytes within the
24 normal range which forms a subset of maintaining
25 homoeostasis, and that includes giving higher sodium

1 content, especially when a low sodium is identified.

2 But the counsel of perfection is to anticipate that in

3 acute brain disease.

4 Q. So if you're going to try and keep the electrolytes

5 within the normal range, it's not so prescriptive as to

6 how you do that, but that might involve either

7 restricting fluid and/or increasing the sodium content

8 of fluid?

9 A. The logical pathway is to avoid giving a fluid which

10 donates a lot of free water, and that would include

11 5 per cent dextrose and fifth-normal saline.

12 0.45 per cent saline also donates an element of free

13 water. Normal saline doesn't, but it's isotonic. The

14 guidance of maintaining homoeostasis is to anticipate

15 the fact that sodium might drop, to be very careful

16 about fluid administration, but once a low sodium is

17 identified -- that is outside the normal range, which is

18 common in paediatric practice, very common, but in acute

19 brain disease is a red flag warning. That is the point

20 that was relevant to Claire because, although she did

21 not have hyponatraemia by definition, her blood sodium

22 was outside the normal range. There was derangement.

23 THE CHAIRMAN: Sorry, this is at the point of admission, you

24 mean?

25 A. Yes. So she was outside the normal range. One of the

1 responsibilities would be to restore, if you like,
2 homoeostasis, but I am not critical and I have not been
3 critical in my report of the use of fifth-normal saline
4 by the paediatric junior doctors overnight on the night
5 of admission. I have said "high-quality ideal
6 practice", but I'm not thereby saying that what was done
7 was wrong; I think it was not inappropriate for the
8 junior doctors on the evening of admission and overnight
9 to use fifth-normal saline, but the matter changed the
10 following day.

11 MS ANYADIKE-DANES: And by the following day, what do you
12 say should have happened in relation to what was
13 knowledge in 1996?

14 A. Well, the difference is that when Claire came in, her
15 conscious level was disturbed, but it was not absolutely
16 clear that this was going to be persistent or get worse.
17 So it would be reasonable to adopt an observation period
18 of time to see what the trajectory of the illness was.

19 By the following day, she had experienced reduction
20 of conscious level for a sufficient period to be in an
21 acute encephalopathy framework. At that point, it was
22 necessary to be particularly careful about the fluid
23 balance and particularly careful about monitoring it.
24 So I believe a blood sodium should have been done in the
25 morning of the 22nd.

1 Q. And that is something that you believe that, given the
2 state of knowledge at the time, a general paediatrician
3 could have worked out that a blood sodium was actually
4 required for Claire in the morning of the 22nd?

5 A. Yes, for two reasons --

6 THE CHAIRMAN: I think this bit is easy because I don't
7 think there's any resistance to the proposition that
8 there should have been that test done on the Tuesday
9 morning; isn't that right? Dr Sands, Dr Stevenson and
10 people who were involved on Tuesday morning accept that
11 there should have been a blood test done on Tuesday
12 morning.

13 MR GREEN: Yes, very simply.

14 THE CHAIRMAN: And I think Dr Steen's position would be the
15 same, Mr Fortune?

16 MR FORTUNE: Yes, it would, sir.

17 THE CHAIRMAN: Okay. So there's no dispute about that
18 point.

19 MS ANYADIKE-DANES: If that had been done -- and this now
20 takes you into the heart of the matter in terms of what
21 might have been the response to it -- and it showed that
22 it continued to be outside the normal range, as you have
23 put it, so perhaps was lower than the 132 it had been
24 from the bloods taken, say, about 9.30 on the evening of
25 the 21st, then we get into the issue of the state of

1 knowledge as to what should be the response at that
2 stage.

3 A. Yes. Well, at that stage it is, on balance of
4 probability, but conjecture, that the blood sodium would
5 have been more deranged and the response would have been
6 twofold: one to consider why, and the other to take an
7 action. And the causation of such an observation would
8 be either water overload or syndrome of inappropriate
9 ADH secretion or a combination of the two. And the
10 action would be to stop giving fluid which donates
11 excessive water, and that is to change from the
12 fifth-normal saline to at least 0.45. And the other
13 would be to reduce the fluid intake, that is fluid
14 restriction. Both of those were advised in 1984 in the
15 third edition and advised in the fourth edition and were
16 current in 1996 in general paediatrics and in paediatric
17 neurology texts.

18 Q. So as you're saying, it would have been common knowledge
19 for paediatricians and certainly for neurologists to
20 respond to a continuing low out-of-range serum sodium
21 level by restricting the amount of free water and
22 increasing perhaps the sodium content of any fluids
23 being given?

24 A. Yes. The one point I would make, because it's relevant,
25 is that we often see low sodium, in paediatric practice,

1 in children who come in with a range of acute illnesses,
2 including respiratory, and I have given in my report
3 some details from my own hospital to show the frequency.
4 On the whole, it doesn't need managing. The one that
5 does need managing is where you have an acute brain
6 disease because of its potential very serious
7 complication of cerebral oedema. So the situation is
8 specific to the management of acute encephalopathy. And
9 by saying that, I'm addressing some of the comments
10 which Professor Young has made.

11 Q. Yes. So if we're clear, it wouldn't just be because she
12 had another low out-of-range serum sodium result,
13 it would be she had that and was presenting with some
14 sort of neurological condition?

15 A. Yes, because if, for example, she was alert but
16 dehydrated because of a vomiting illness, and you found
17 a low sodium, all you would do would be to increase the
18 sodium content of the intravenous fluid; you wouldn't
19 fluid restrict.

20 Q. Yes. And the fluid restriction comes from the concern
21 that the neurological presentation is actually
22 indicating that the brain is already swelling?

23 A. Yes.

24 Q. And if the brain is already swelling, you want to stop
25 that because of the potential fatal consequences of it,

1 and that's what dictates the restriction?

2 A. Yes.

3 Q. It's that bit that I want you to help us with. The

4 logic of it seems clear. There are two elements to it:

5 one, you restrict the amount of fluids going in; two,

6 the amount of fluids going in have their sodium density

7 or concentration increased.

8 A. Yes.

9 Q. That two-pronged approach to that is where I want you to

10 help us with how you can be so certain that that is

11 something that would have been appreciated by

12 a neurologist in 1996.

13 A. Well, I think a neurologist should have had that as part

14 of his training in the management of acute neurological

15 disease.

16 Q. And why do you say that?

17 A. Because it is part of the management of acute

18 neurological disease in the brain and it is something

19 which occurs. Therefore, it is simply just part of an

20 approach to take in dealing with those problems. I feel

21 that a neurologist providing care in a regional centre,

22 dealing with acute encephalopathies, would have known

23 that. Certainly should have known it.

24 Q. Well, let's put it this way: up until whenever the

25 transfer of perhaps the more serious children went to

1 intensive care in Leeds and that whole aspect of that
2 service went to Leeds, is that how you were treating
3 patients who had that presentation in your hospital?

4 A. Yes.

5 Q. Is that because that's how you were trained to do it?

6 A. In part. It was also from the experience that I had in
7 dealing with a range of acute encephalopathies,
8 including Reye's syndrome, and knowing that this was
9 a problem; it's also well documented in head injury and
10 neurosurgical conditions. So it was just part of our
11 routine practice. It was also referred to in my
12 training.

13 Q. I wonder if I could just ask you about Reye's syndrome.
14 As I understand what you have just said, Reye's syndrome
15 is one of those conditions which falls into this
16 category of being treated by a reduction, if you have
17 good reason to suspect it's there, in the fluids and an
18 increase in the sodium content of the fluids; is that
19 right?

20 A. Yes.

21 Q. Without maybe getting overly technical for the
22 laypeople, what is Reye's syndrome?

23 A. It's an acquired disease of the mitochondria in the
24 cells. What are mitochondria? They are the factories
25 within the cells, the chemical processing plants within

1 the cells, which are supposed to be efficient, and
2 something affects them and makes them stop doing that
3 efficiently. When you get that happening, brain
4 swelling occurs because the mitochondria in the brain
5 are disturbed and the mitochondria in muscle are also
6 disturbed and the mitochondria in the liver and the
7 heart and the kidney are disturbed. The kidney and
8 muscle problems are not so critical. The really
9 critical feature is the involvement of the liver where
10 fatty infiltration occurs and is evident on post-mortem.
11 It is diagnosed by finding out-of-range coagulation on
12 a blood test. Why? Because the liver makes the
13 coagulation factors.

14 And it is identified by finding abnormal liver
15 function tests because the liver isn't working properly,
16 so you get deranged liver function tests. You can find
17 abnormal enzymes in the blood related to the muscle.
18 You get an elevated blood ammonia in some and it's
19 characteristic to get a low glucose, but not in all. In
20 my experience, not all. Most of the Reye's syndrome
21 reported to the national reporting body in Yorkshire
22 came from our unit, for reasons to do with the fact of
23 diagnosis, I suspect.

24 But it is thought to be linked to the use of
25 aspirin, treating acute intercurrent illness, so since

1 aspirin is withdrawn, the incidences have fallen
2 dramatically, but it still occurs.

3 Q. What is the feature of it that requires it to be treated
4 in the way that you've identified to the cerebral
5 oedema?

6 A. In Reye's syndrome, cerebral oedema is a major problem,
7 from the mitochondrial dysfunction.

8 Q. So that produces the cerebral oedema --

9 A. It does.

10 Q. -- which you then address in the way that you were
11 generally speaking about addressing cerebral oedema?

12 A. Yes. In any condition where the brain swells because of
13 the disease of the brain -- any disease of the brain can
14 produce brain oedema because the neurones swell, and
15 infection, particularly encephalitis, meningitis. What
16 you don't want to do is to make that worse, and making
17 it worse is giving too much free water and that's the
18 doctor side of it, if you like, iatrogenic. The
19 syndrome of inappropriate --

20 Q. Sorry, can I pause you there and stay with Reye's
21 syndrome because there's a particular element of that
22 what I want to ask you about. When I had asked you
23 about what you thought would be the knowledge that was
24 current in 1996 about how you treat cerebral oedema or
25 address it in relation to the fluid management, and you

1 mentioned Reye's syndrome, you said that what you have
2 just described is something that you would expect
3 a neurologist, a paediatric neurologist, to have that
4 knowledge as part of their training. You would expect
5 an element of it, if not all of it, to be known by
6 general paediatricians.

7 In your first report, you express the view that, in
8 the Children's Hospital in particular, you would have
9 expected them to have developed some guidelines around
10 that because they had Dr Glasgow, who I think you
11 referred to, as one of the leading experts of Reye's
12 syndrome and its treatment. Can you help us by
13 explaining that a little?

14 A. John Glasgow has produced a number of publications.
15 He was present at the Reye's syndrome workshop that
16 I chaired in, whatever it was, 2001, and he is
17 well-known to be an expert in it. He has a special
18 interest in Accident & Emergency medicine at the
19 Children's Hospital.

20 Q. And can you help with when he would have been publishing
21 or engaging in the research in that area so that one
22 could begin to say that even if people, more generally
23 than neurologists and paediatricians, didn't appreciate
24 that, which is not your position, they certainly ought
25 to have because they had in their own hospital somebody

1 who was somewhat of an expert in a particular condition
2 which is treated in that way?

3 A. I can't from the top of my head just produce the
4 references, but they were certainly around that time.
5 It is possible to find out from the Internet?

6 Q. By around that time, do you mean 1996?

7 A. Yes, or before.

8 Q. Thank you. Sorry, I had interrupted what you were
9 saying. I wanted you to address that while you were
10 mentioning that.

11 A. It is one example of a brain disease which causes brain
12 swelling. There are others, and it's rare, but it has
13 to be covered. Encephalitis, obviously, and meningitis
14 both do the same thing, they cause brain swelling,
15 therefore the management is to stop that getting worse.

16 THE CHAIRMAN: Let me take you back a few minutes, doctor,
17 if I can. There is a consensus now that a test which
18 should have been done on Claire on the Tuesday morning
19 wasn't done. You have then said, although it's
20 a conjecture, that the probable test result would have
21 been lower sodium either because of SIADH or water
22 overload.

23 A. Yes.

24 THE CHAIRMAN: And the response at that time would have been
25 to change to at least 0.45 and to restrict fluid intake.

1 A. Yes.

2 THE CHAIRMAN: You then said that you restrict the fluid
3 because the neurological presentation indicates that the
4 brain is already swelling. In the absence of a fresh
5 blood test on the Tuesday morning, would the continuing
6 lack of consciousness now extending over a prolonged
7 period have given that indication in any event?

8 A. Yes, but I would say that, at that time, I think, quite
9 appropriately, the paediatric registrar sought
10 a paediatric neurology opinion.

11 THE CHAIRMAN: You see, what I'm looking at is what is
12 the -- I mean, it is conceded all round that a test
13 which should have been done wasn't done.

14 A. Yes.

15 THE CHAIRMAN: And that is, at the very least,
16 a contributory factor to the decline of Claire as
17 Tuesday went on, without this problem having been
18 identified as clearly as it might have been.

19 Doctor, you know that Dr Webb's position is that he
20 misunderstood the clinical records to mean that the
21 reading of 132 had been obtained on the Tuesday morning.
22 You've expressed some surprise in your report about that
23 interpretation. But let's assume for the moment that
24 it's right and let's assume that, as Tuesday moves on,
25 it is understood somehow that the reading of 132 comes

1 from that morning. It's low-ish, but it's not
2 necessarily, on its own, particularly concerning; isn't
3 that right?

4 A. Well, the view that I've expressed is that for a general
5 paediatrician in a child without encephalopathy, it is
6 not particularly significant. But I've also taken the
7 view that for a paediatric neurologist where there is
8 acute encephalopathy, even a measurement of 132 should
9 have been a red flag that this common and very serious
10 complication of hyponatraemia was evolving because it is
11 well recognised over that time -- and I have given the
12 sources from the textbooks -- that this was a problem
13 that was well recognised. So I believe his action
14 should have been, when he saw Claire, to have taken the
15 steps to deal with it already, even on a figure of 132.

16 THE CHAIRMAN: Thank you.

17 A. I have another rider on that. When Dr Webb saw Claire,
18 the range of blood investigations which had been carried
19 out was limited. And the guidance in 1984, third
20 edition, and in the fourth edition in Forfar & Arneil,
21 the guidance in the Nelson textbooks and the paediatric
22 neurology textbooks, all -- certainly the Forfar &
23 Arneil -- include a range of investigations. They were
24 not done.

25 So the next step for Dr Webb to have done at the

1 2 o'clock consultation, in my view -- and supported by
2 the guidance of the time -- is further blood tests then.
3 So that even if the sodium was thought to have been done
4 in the morning, another blood test should have been done
5 for liver function tests, for blood ammonia and,
6 possibly, toxins. And had that been done as
7 a consequence of his consultation, the blood sodium,
8 which on balance of probability would have been much
9 lower, would have become available and knowledge would
10 have been there towards the end of the afternoon on the
11 22nd, so the omission of that 2 o'clock blood test
12 compounded matters.

13 THE CHAIRMAN: Thank you.

14 MR GREEN: In his report, Dr MacFaul also expresses a view
15 on Dr Webb's explanation for misunderstanding, as he
16 would have it, the 132 result in the ward round note.
17 It's at ...

18 THE CHAIRMAN: Page 21?

19 MR GREEN: Page 26, in fact, paragraph 121. So the
20 reference is 238-002-026. If we take it up about
21 halfway down it reads:

22 "Although in his statements [this is referring to
23 Dr Webb] he ascribes this oversight to the fact he
24 thought this test had been done just before he saw
25 Claire. This is difficult to understand because the

1 entry of the result is in the notes in handwriting and
2 timed."

3 I just wondered if the inquiry would be assisted if
4 Dr MacFaul were briefly to elaborate on that.

5 THE CHAIRMAN: Since I raised the point, let's look at it.
6 Could we bring up 090-022-053, please? What you see,
7 doctor, on the left-hand page is the continuation of the
8 note of the ward round, which occurred at some point
9 around 11-ish, a bit after 11, on the Tuesday morning.

10 A. Yes.

11 THE CHAIRMAN: The blood result is written in on the fourth
12 line --

13 A. Yes.

14 THE CHAIRMAN: -- and is followed then by "on examination".
15 It continues down to the plan.

16 A. Yes.

17 THE CHAIRMAN: Your report on the right side of the screen,
18 at paragraph 121, suggests that you have some difficulty
19 in understanding how Dr Webb, at 2 o'clock, would have
20 understood that reading of 132 to have been from that
21 morning.

22 A. Yes, for two reasons. One is that the only blood test
23 that had been done had been done the night before and
24 was written in the notes in the previous page or
25 whatever that related to the midnight entry. Now,

1 I appreciate that the entry of the result followed
2 Dr O'Hare's consultation.

3 THE CHAIRMAN: Mm-hm.

4 A. But there's nothing in the notes which says there that
5 a blood test has been done, other than that previous one
6 the night before.

7 THE CHAIRMAN: Right.

8 A. I can see how he would make a mistake on that one. It's
9 not too difficult to see. But that's the ward round.
10 There's nothing in the notes before that which says
11 another test has been done.

12 THE CHAIRMAN: So your point is that, if I understand it, it
13 looks to you like a mistake which he made --

14 A. Yes.

15 THE CHAIRMAN: Sorry, it is a mistake that he made?

16 A. Yes.

17 THE CHAIRMAN: Because it wasn't a reading from Tuesday
18 morning?

19 A. No. There was one done the previous night and that's
20 the same results.

21 THE CHAIRMAN: Yes. Your second point, which I think you've
22 just extended on, is that even if he did -- even if that
23 error is just a simple one, and these things do
24 happen --

25 A. Yes, they do.

1 THE CHAIRMAN: -- so let's not be over critical of Dr Webb
2 for that --

3 A. No.

4 THE CHAIRMAN: -- the fact is that, at 2 o'clock, having
5 been called in to see a child who was causing concern,
6 which was why he was brought in in the first place, he
7 should have required more tests to be carried out,
8 including a blood test?

9 A. Oh yes, yes.

10 THE CHAIRMAN: So even if he thought that that was a morning
11 blood result, at 2 o'clock he should have required
12 a further blood result and further tests along the lines
13 which you have just described?

14 A. Yes, as a minimum liver function tests and consideration
15 of blood toxicology. And they would have included the
16 urine and electrolytes because they're done at the same
17 time as a liver function test.

18 THE CHAIRMAN: So the problem isn't so much, on this
19 interpretation, that he misread the timing of the only
20 blood test which had been done to date; the real problem
21 is the lack of investigation which follows?

22 A. Yes, and when I was approaching this brief, I was
23 approaching the brief to look at governance issues,
24 taking regard particularly of clinical issues. And one
25 of the ways I approached that was to consider what was

1 done in clinical terms and to try and match that with
2 the practice of the time and awareness of the time of
3 this condition, given 1996, and the guidance available
4 in various texts.

5 Clearly, I have erroneously referred to the third
6 edition and I accept that, but I did not expect there to
7 be a change and there wasn't a change in the advice
8 given in the third and fourth about the range of
9 investigations which should be done, including blood
10 tests, and it does include in both the liver function
11 test and monitoring of electrolytes.

12 By the monitoring, if he judged that was morning, he
13 might have thought it had been done, but he hadn't
14 extended the range of blood investigation, and that I am
15 critical of.

16 THE CHAIRMAN: Can I ask you it in this way:

17 Professor Neville, for one, was more critical of
18 Dr O'Hare than you have been, Dr O'Hare being the
19 registrar overnight. He was saying she did a competent
20 examination, but he thought that the range of tests
21 which she ordered to be carried out was too limited. As
22 I read your report, you're less critical of her for that
23 and you've accepted, in broad terms, that it was
24 acceptable for her to do what she did and then allow
25 things to be picked up in the morning, particularly in

1 light of how Claire had recovered or not recovered or
2 progressed overnight.

3 A. Yes.

4 THE CHAIRMAN: So if there is criticism of Dr O'Hare from
5 others for the narrowness of the testing which she did,
6 which she required on Monday night, does that emphasise
7 your criticism or do you think it adds weight to your
8 criticism of Dr Webb for the lack of testing which he
9 required on Tuesday at 2 o'clock?

10 A. Well, I think that the general paediatric position at
11 that time, that's the midnight, was not sort of locked
12 into the framework of acute encephalopathy. Dr O'Hare
13 had chosen to let events take their course for a while
14 to see what was going to happen, and many children are
15 a bit off it, particularly around midnight after an
16 illness. So I can see how her thinking was going as
17 a paediatric registrar.

18 I'm much more critical of the paediatric neurology
19 approach because Dr Webb should have been aware of the
20 need to extend the range of investigation at that time
21 because she was well-established, by that 2 pm
22 consultation, to be well within the framework of acute
23 encephalopathy management.

24 I appreciate that I'm being very hard on Dr Webb.
25 I think the point is that I was asked to look at how

1 things should have been done in an ideal world. But
2 I still feel that, at that point, there was a major
3 omission.

4 THE CHAIRMAN: Thank you.

5 MS ANYADIKE-DANES: So much has been made of the differences
6 in the wording between the two editions, the third and
7 the fourth.

8 A. Yes.

9 Q. I am trying to see if you can help us with the
10 underlying purpose of the assessment and treatment and
11 therefore to see if it is your view that the underlying
12 understanding of the interrelationship between the
13 application of low-sodium fluids in quantity and the
14 development of the cerebral oedema, that relationship --
15 whether anybody thought that that had changed over the
16 time.

17 A. Well, my view, as I come back to it, is that it was
18 evident in 1984, having now looked in detail at the
19 fourth edition. It is quite clearly encompassed in all
20 the guidance there, although there's a fault in
21 presentation of it. And it's echoed again in 2003. So
22 that core management in terms of fluid management and
23 awareness of brain oedema and inappropriate ADH has not
24 changed over that era, nor has the role of fluid
25 restriction in syndrome of inappropriate ADH.

1 Q. If we go back to some of the points that Professor Young
2 wanted to make. He makes that very basic point,
3 of course, that the wording is different.

4 A. Yes.

5 Q. But he also goes on to talk about guidance on fluid
6 management before and after 1996.

7 A. Yes.

8 Q. And he deals with that, he starts to deal with it at
9 178/2, page 5, of his witness statement. He, in some
10 detail, deals with it, so he starts with Arief and
11 others in the paper that was published in the British
12 Medical Journal in 1992, dealing with the 16 cases of
13 hyponatraemia in children, who were undergoing surgery.
14 And essentially, the tenor of his point at this stage
15 is that if you were looking to see what people
16 understood about the development of hyponatraemia, then
17 this paper would be putting you in the direction that
18 that is a complication that can arise associated with
19 surgery or the immediate post-surgery period.

20 Do you have any comment about how he has addressed that
21 starting point for hyponatraemia or even if that is the
22 appropriate way to look at the issue that you are
23 concerned with in Claire's treatment?

24 A. Hyponatraemia can occur after surgical conditions. It's
25 an unusual complication. Hyponatraemia in acute

1 encephalopathy is a common -- it's integral to the
2 management, it's a common condition, relatively, almost
3 30 per cent of bacterial meningitis, N per cent of viral
4 encephalitis, and so on. So within acute
5 encephalopathy, the child is much more at risk of
6 hyponatraemia related to intravenous fluid and
7 inappropriate ADH secretion.

8 The Arieff paper, in my view, is highlighting an
9 occasional complication, which is not very frequent, but
10 it's highlighting it, and the complication that can
11 arise from fluid administration in a child who was
12 previously conscious and where the fluid administration
13 has caused the brain oedema. That's a completely
14 different kettle of fish, if you like, to the child who
15 already has a disease of the brain which is likely to
16 develop cerebral oedema and then using a therapy which
17 can actually make it worse.

18 Q. Yes, that's exactly what I was going to ask you to
19 explain. That's why I said in the context of the issue
20 that you want to deal with in relation to Claire's
21 management and treatment. So here, are you saying that
22 some of these papers that Professor Young is dealing
23 with are talking about the knowledge that people might
24 have had at the time that the mere application of
25 hypotonic low-sodium fluids could itself produce

1 cerebral oedema and therefore that particular connection
2 between the two things is something that one ought to be
3 alert to and that was part of what his paper and others
4 thereafter were dealing with? Whereas it seemed to me
5 that you were trying to emphasise something different,
6 which is: this is a brain that has its vulnerabilities
7 because there is a problem already there and it's how
8 you ensure that you do not exacerbate that problem and,
9 in fact, arrest it before it carries on to reach fatal
10 results. Is that the distinction that you're trying to
11 make?

12 A. Yes.

13 Q. Would you accept that that particular link between the
14 development of hyponatraemia through the administration
15 of low-sodium fluids per se, and therefore that link to
16 cerebral oedema -- how widely known would you consider
17 that to have been in 1996, whether it's from the general
18 paediatric side or the paediatric neurological side?

19 A. I think amongst general paediatric practice, I think
20 it is probably less well-known than in paediatric
21 neurology practice, save for the management of bacterial
22 meningitis, where anticipatory care by the use of higher
23 sodium content is advised. But that is something which
24 was not generally known as well as the management of
25 encephalopathy by a paediatric neurologist.

1 Q. Okay. So as it happens, you've obviously seen the
2 clinical notes. It would appear that that is something
3 that at least Dr Stewart understood. It's a very brief
4 note, but it may give a pointer to the level of
5 understanding at least for one of the junior doctors at
6 that time in 1996, and we can pull up 090-022-056. You
7 can see right at the top there at 23.30, just below his
8 recording of the serum sodium result of 121, then you
9 see, if you like, his thinking, "hyponatraemia". He
10 queries fluid overload and low-sodium fluid and he also
11 queries SIADH.

12 Were you surprised that he reached that formulation
13 or how did that accord with what you would have thought
14 a junior doctor in paediatrics would have appreciated in
15 1996?

16 A. Well, I think he obviously did read his textbooks and he
17 gleaned something from them. Because it's not only in
18 Forfar & Arneil -- junior doctors at SHO level tend to
19 use more readable textbooks for quick learning. They
20 would study the Forfar & Arneil textbook when preparing
21 for membership. I don't know whether Dr Stewart was
22 preparing for membership. But the textbooks that were
23 used by SHOs would include Forfar & Arneil, but they
24 would also include little handbooks and the one that
25 I've referred to is the vade mecum, and they would also

1 use "Hospital Paediatrics" by Milner & Hull -- and I
2 have given extracts from that in my more expanded
3 response to Professor Young -- where those problems are
4 highlighted in management of coma, and obviously
5 Dr Stewart has studied well.

6 Q. But just so that we're clear about the distinctions that
7 you are making between the brain, which has become
8 vulnerable for some reason -- of course, it's that
9 underlying reason one wants to get at.

10 A. Yes.

11 Q. But before that proves to be fatal, you need to address
12 that, recognise that there is an underlying reason like
13 that and address it.

14 A. Yes.

15 Q. And then there is the line of publications that I had
16 started with, Arieff and his colleagues, to raise with
17 you, which is leaving aside that, no problem necessarily
18 with the brain at all, you just apply too much
19 low-sodium fluid and produce hyponatraemia in that way.

20 A. Yes.

21 Q. At this stage, she has two factors one can take into
22 account. One is that she continues, despite the
23 anticonvulsant medication, to be presenting with her
24 neurological problems. The other is you have now
25 a second serum sodium result, roughly 24 hours perhaps,

1 from bloods taken, and this one is very definitely below
2 the register. And worryingly low, would you say?

3 A. Yes.

4 Q. So at this stage, it's not clear maybe to
5 a paediatrician whether there is a problem that started
6 with a vulnerable brain and has not been assisted or not
7 a vulnerable brain, but just too much low-sodium fluid
8 having been ascribed. Irrespective of which it turns
9 out to be, is the response to that the same from your
10 perspective and would that response, as you now give it
11 to the chairman, be something that would have been
12 appreciated in 1996?

13 A. Yes. And had those results been available late morning
14 or mid-afternoon, no doubt the registrar would have come
15 to the same conclusion: that it required management.

16 Q. So for whatever reason, however you have got there,
17 you have got to a worryingly low serum sodium level, and
18 that has to be addressed, and as I understand you to
19 say, it would be addressed in the same way whether it
20 had been produced because there was an underlying
21 neurological problem that was responding to low sodium
22 fluids or because simply too much low-sodium fluid had
23 been administered; is that right?

24 A. Well, that's a possibility. I mean, in the context of
25 Claire's illness, of course, there was a brain problem.

1 Whatever it was, she had a brain problem. So that would
2 help to trigger the inappropriate ADH rather than just
3 the intravenous fluid itself contributing.

4 THE CHAIRMAN: When you said "she had a problem, whatever it
5 was", do you say that because it's not quite possible to
6 say exactly what it was because of the limited autopsy?

7 A. Yes.

8 THE CHAIRMAN: Thank you.

9 MS ANYADIKE-DANES: Thank you.

10 I had, in fact, just referred you to one paper, but
11 Professor Young goes on to refer to a number of them:
12 the 1999 Bhalla et al paper; he refers to the 2001
13 Kirkham review; then the Hoorn et al from Toronto in
14 2004. Is it your view that those papers are all along
15 the same theme, in other words dealing with the
16 increasing appreciation of low-sodium fluids in and of
17 themselves producing hyponatraemia and requiring to be
18 addressed as opposed to the compromised brain,
19 vulnerable brain, responding in a certain way?

20 A. Well, of course Dr Kirkham's paper is considering the
21 management of coma, non-traumatic coma. So it's
22 specifically addressing a comatose child. If you have
23 a coma, you have a problem with your brain -- unless
24 you've been given an anaesthetic of course, but
25 I suppose that's a problem.

1 The Kirkham paper does counsel against the use of
2 low sodium fluid, although the wording is not
3 specifically "hypotonic", and I've commented on that.
4 It's a matter for elucidation at some time, I think.

5 Q. Let's pull up the particular bit that has been cited by
6 Professor Young. 178/2 at page 7, and if we can pull up
7 alongside it the next page. It starts at the bottom,
8 which is her review on non-traumatic coma. If we pause
9 there: was your position that this is in a different
10 category from the Arieff et al line of papers?

11 A. Yes. She does refer there to cerebral salt waste, which
12 is another issue, and I can come back and comment on
13 that.

14 Q. Does this capture the element where you say she has
15 addressed matters but perhaps not as clearly as you
16 think it might be done or has he not extracted the part
17 that you would wish to rely on?

18 A. Well, Dr Kirkham does mention hypoosmolar fluids as
19 being contraindicated because of cerebral oedema. But
20 actually, both of the fluids which she quotes as
21 examples are not hypoosmolar. The 5 per cent dextrose
22 has been classified by the NPSA report in its table as
23 iso-osmolar. And the 10 per cent dextrose is
24 hyperosmolar. Both are absent of sodium and both are
25 hypotonic. So I think there's a bit of confusion about

1 that message. I think she's right to say that fluid
2 management can be very difficult, she's right to say it
3 needs to be tailored to the individual child's needs.
4 But she does say that fluid restriction is potentially
5 harmful, and that -- by that time, there was an active
6 debate because fluid restriction up to that point, and
7 indeed beyond ... Certainly in the textbook of 2003,
8 fluid restriction was the norm for acute encephalopathy
9 with hyponatraemia. It was the normal practice.

10 So what she is doing here is to say, "Well, is it
11 safe?", and I think that's a very reasonable question
12 because, in the 80s and in the early and mid-90s,
13 I think we were overrestricting fluid. We were also
14 overresorting to hyperventilation, and both of them we
15 realised, I think, can cause damage through different
16 mechanisms. So the idea of shifting the severity of the
17 fluid restriction was in the direction of reducing it,
18 and Dr Kirkham goes as far as almost advising against
19 it.

20 Q. She's doing that also in the context of salt wasting.
21 Maybe this is the point to address that because that
22 produces the hyponatraemia, but by a different
23 mechanism --

24 A. Yes.

25 Q. -- in the sense that you lose sodium; would be I right

1 in saying that, putting it simplistically?

2 A. Yes, it leaks in the urine. It's something which has
3 been addressed, but only slightly so in the major
4 textbooks. So in 1996, cerebral salt wasting was not
5 high in the thinking processes of controlling
6 hyponatraemia. And my own take on that and my own
7 understanding of it when you brought it up with me this
8 morning is that it is more a feature where the coma has
9 been prolonged, where you have somebody with a very
10 severe head injury or a brain injury of some other kind,
11 like neurosurgery -- I don't want to insult my
12 neurosurgical colleagues, but what I mean is that when
13 they operate, very often the brain is disturbed for
14 a while, while they're recovering -- and after
15 subarachnoid haemorrhage, for instance. Then under
16 those circumstances, when the patient has been comatose
17 for a day or two or more, then there appears to be this
18 attempt by the body for whatever reason to leak sodium.

19 Under those circumstances, though, the biochemical
20 profile is different from that which Claire had in the
21 sense that the potassium level was less than it was on
22 admission, whereas in salt wasting, it goes high.

23 And there is a tendency to hypovolemia, that's
24 underfilling of the circulation. In a girl like Claire,
25 that would be manifest by tachycardia -- high pulse

1 rate -- she didn't have a high pulse rate. I mean she
2 had a slightly high pulse rate at 100, but nothing like
3 what would happen in hypovolemia, where it would be
4 about 130 upwards. So I don't think she had cerebral
5 salt wasting, so that is why I wanted to address it.

6 THE CHAIRMAN: I gathered from Professor Neville's evidence
7 that, acknowledging the various mistakes which he said
8 had been made, that Claire's condition was, to be fair
9 to everyone involved, actually quite difficult to
10 manage; is that something you would agree with?

11 A. Yes, I think any acute encephalopathy is difficult to
12 manage. I think her presentation was somewhat unusual
13 in the sense that she seemed to slip down slowly rather
14 than go rapidly into a deep coma. And yes, I think all
15 acute encephalopathy is difficult to manage, but there
16 are some cardinal rules and those are to do a lot of
17 tests, which I've dealt with, and to manage the
18 hyponatraemia when it occurs. That's relatively
19 straightforward in the sense of the guidance of the
20 time. The debates about fluid restriction have emerged
21 in the early 2000s. But that difficulty about fluid
22 balance in acute coma continues. I was focusing on
23 1996. That difficulty is manifest in the College
24 guideline on acute loss of consciousness in children
25 because they there do not address fluid management in

1 the early stages. They don't envisage anticipatory care
2 and they only suggest hypotonic fluid removal if there
3 are symptoms or signs of raised intracranial pressure.
4 THE CHAIRMAN: Am I right to get the sense from you that, by
5 definition, acute encephalopathies are difficult to
6 manage?
7 A. Yes.
8 THE CHAIRMAN: And that is why you have anticipatory care,
9 that's why you do the tests?
10 A. Yes.
11 THE CHAIRMAN: That's why you consider whether fluid should
12 be restricted or a different type of fluid might be
13 given?
14 A. I think when you have hyponatraemia, even if it's just
15 a low sodium outside the normal range, you're triggered
16 into maintaining homoeostasis. That's why 132 is
17 a signal that you may have a problem.
18 THE CHAIRMAN: Right, thank you. Mr Fortune?
19 MR FORTUNE: Sir, can I take you back to Professor Young's
20 witness statement, 178/2 at page 5, in which he refers
21 to the paper, Arieff et al, published in 1992? Bring us
22 up to 1996, and if I've understood Dr MacFaul's evidence
23 correctly, he was saying that he expected the contents
24 of the Arieff paper to be known amongst paediatricians
25 and also paediatric neurologists. Can I take you back

1 to the evidence of Professor Gross on the afternoon of
2 9 May this year and, in particular, to the transcript
3 for that day at page 126 and on to page 127? If we
4 could have them up side by side, please.

5 You'll recall that it was at this stage that we were
6 discussing, on line 20, the Arieff article, as it was
7 called. Then on page 127 at line 5, you take a hand,
8 sir:

9 "I presume if you were at the Mecca of hyponatraemia
10 in Denver, you knew about it, did you?"

11 Professor Gross disappointed you when he said:

12 "I was no longer in Denver, I was back in Germany."

13 And then he went on in this way:

14 "I am afraid I would have to say, even though this
15 turned out to be a landmark article, very important
16 article, it was not widely known. I think it was known
17 to many nephrologists because they're reading this kind
18 of -- electrolytes is considered to be the field of
19 nephrology and endocrinology. It's my experience that
20 the knowledge in the field of electrolyte disturbances,
21 hyponatraemia amongst them, with anaesthetists is better
22 than with many internal medicine people. Whether
23 anaesthesiologists would have read this article, I kind
24 of doubt. I think it probably was -- I'm sure it was
25 not well-known amongst internists in Germany. I think

1 it was not very well-known amongst nephrologists in
2 Germany. I think it was not very well-known amongst
3 anaesthetists."

4 Sir, if that was the state of knowledge in
5 Germany -- and you'll recall that Professor Gross had
6 extensive experience of practising outside Germany --
7 then what does Dr MacFaul say about those comments?

8 MS ANYADIKE-DANES: Sorry, Mr Chairman, just before he does,
9 could we have page 128, please?

10 MR FORTUNE: Any particular line?

11 MS ANYADIKE-DANES: Yes, I think it'll be obvious. Line 5.
12 Moving on to -- if you go to 20:

13 "And because hyponatraemia in adults has somewhat
14 different circumstances, brain size, and this kind of
15 thing reserve ... it may have been a little better known
16 amongst paediatricians and paediatric
17 anaesthesiologists."

18 THE CHAIRMAN: Well, in essence, this was evidence, doctor,
19 which was given in the course of the hearings about the
20 death of Adam. What's being highlighted for you is
21 whether you can be so sure about the extent of the
22 knowledge of the Arieff paper and the extent of the
23 knowledge that comes from that in the mid-1990s.

24 A. May I just ask if the opening remarks of your question
25 can be read back when you suggest specifically that

1 I made reference in my paper that the Arieff paper
2 should be well-known?

3 THE CHAIRMAN: Yes. What Mr Fortune said -- this is
4 Professor Young referring to the Arieff paper.

5 A. Ah.

6 THE CHAIRMAN: At 178/2, page 5, in which --

7 A. Yes, I can see that.

8 MR FORTUNE: "This was the first paper which may have been
9 noticed by a wide readership as it was published by
10 a significant UK journal."

11 THE CHAIRMAN: Yes.

12 A. I misunderstood the beginning of your question because
13 I thought you had said that I had said in my report that
14 this paper should be well-known to paediatricians.

15 MR FORTUNE: No, you said in evidence -- and if necessary
16 we'll have to go back in the transcript -- that you
17 expected it to be known amongst paediatricians and --
18 perhaps to a different extent -- paediatric
19 neurologists.

20 A. Well, can we go back to the transcript? If I can
21 clarify it: I did not mean to say that the Arieff paper
22 would be well-known to paediatricians; in fact, in my
23 response to Professor Young, I say something to the
24 effect that if it was known to the paediatricians ...
25 Because what we're talking about with the Arieff paper

1 is where hyponatraemia has been caused by -- and
2 cerebral oedema -- caused by the intravenous infusion of
3 low-solute fluid. That in, say, a child with
4 appendicitis, I don't think is well-known and was not
5 well-known. What I was trying to establish was that it
6 was well-known as a complication of acute
7 encephalopathy. I will stand to be corrected. I don't
8 think I say in my report that the Arieff paper should
9 have been well-known to paediatricians, and I don't
10 think I said it this afternoon. But I stand to be
11 corrected.

12 THE CHAIRMAN: I've got one reference to what you said
13 earlier, in which you said -- this is at page 83, line
14 16 of the [draft] transcript:

15 "The Arieff paper, in my view, is highlighting an
16 occasional complication, which is not very frequent, and
17 the complication that can arise from fluid
18 administration in a child who was previously conscious
19 and where the fluid administration has caused a brain
20 oedema, that's a completely different kettle of fish, if
21 you like, to a child who already has a disease of the
22 brain, which is likely to develop cerebral oedema and
23 then using a therapy which can actually make it worse."

24 That's the contrast you were drawing between the
25 type of scenario which the Arieff paper was

1 investigating and what you are describing to me as the
2 more established and better recognised scenario of
3 having to be careful about and pre-emptive about the
4 administration of fluids in children who have acute
5 encephalopathies.

6 A. That reflects what I was aiming to say. I don't think
7 the Arieff paper was well-known in paediatric or
8 anaesthetic practice for that matter.

9 THE CHAIRMAN: Okay.

10 MS ANYADIKE-DANES: Can I help by drawing up the bit where
11 you do deal in your report -- I know you've been trying
12 to find it there as you are responding. It's
13 238-004-006:

14 "I agree to some extent on his comment on the
15 relevance of the Arieff et al 1992 paper to Claire."

16 And then there's a bit. Then you give your comment:

17 "My comment: this paper mainly focussed on causation
18 of encephalopathy with IV fluid use rather than
19 management of an existing encephalopathy, but knowledge
20 of its content should have influenced fluid choice had
21 the clinicians been aware of it."

22 So I don't think you have there said who would have
23 been aware of it. I think you have simply said that if
24 they had they been aware of it, it would have been
25 an aid. But in any event, you're making the distinction

1 between it causing the encephalopathy rather than
2 managing an existing encephalopathy.

3 A. That's correct.

4 THE CHAIRMAN: Sorry, one second, Mr McAlinden.

5 From what you have just said a few moments ago, do
6 I understand that the phrase at the end of that page,
7 "had the clinicians been aware of it", is an acceptance
8 on your part that it is not a paper which was terribly
9 well-known among paediatricians --

10 A. Yes.

11 THE CHAIRMAN: -- and paediatric neurologists?

12 A. Probably so because it relates really to giving
13 intravenous fluid to otherwise healthy children, often.

14 THE CHAIRMAN: Okay. Mr McAlinden?

15 MR McALINDEN: Mr Chairman, just to explore the witness's
16 evidence in relation to the knowledge of the need to
17 restrict fluid in children suffering from acute
18 encephalitis or encephalopathy.

19 Would the witness be able to comment on the
20 paragraph WS178/2, page 7, starting with the words "in
21 2001" and, in particular, from the words "all the
22 children had received hypotonic fluids" --

23 THE CHAIRMAN: This is about halfway down the paragraph?

24 MR McALINDEN: Yes. Just basically that section of the
25 paragraph where Professor Young has highlighted that:

1 "Even by 2001, the use of hypotonic fluids remained
2 routine even in acutely unwell children with
3 encephalitis."

4 Perhaps he could comment on that.

5 THE CHAIRMAN: This is obviously something you've read
6 because you've responded to it, doctor, but just take
7 your time to read that paragraph. You're being invited
8 by the Trust to respond to that proposition.

9 A. Well, it is clear that it's documented there that they
10 had received hypotonic fluid even though they had
11 encephalitis. If that is what is being referred to ...
12 "13 had developed in the post-operative period", "15
13 referred to critical care". Where does it say
14 encephalitis was a risk factor? In this paper,
15 highlighted --

16 MR McALINDEN: Professor Young -- and I'm sure you have
17 already read this in detail -- is saying in this paper
18 that:

19 "The authors, in contrast to earlier publications
20 highlighted above --

21 In other words, this is the first time in which, in
22 the series of papers that he has referred to, any
23 learned author is referring to the complication of
24 encephalitis. He's saying:

25 "In this paper, the authors, in contrast to earlier

1 publications highlighted above, identify, as a risk
2 factor, disturbances of the central nervous system,
3 meningitis, encephalitis."

4 And then it states:

5 "In their conclusion, they recommend that the
6 currently used guidelines for maintenance fluids in
7 children admitted to hospital must be changed because
8 they do not take into account the unpredictability of
9 vasopressin secretion."

10 Highlighting the fact that in 2001 the use of
11 hypotonic fluids remained routine, even in acutely
12 unwell children with encephalitis.

13 So the point that he's making is that, contrary to
14 the suggestion that you're making that this was old
15 knowledge at that stage, he is saying that the reason
16 why this paper was published in 2001 is that it wasn't
17 old knowledge; this was new research that they were
18 looking at and giving guidance in relation to
19 encephalitis.

20 A. Yes. I think when I scanned that, I didn't see in there
21 that this was relating to encephalitis. It mainly
22 seemed to be focused on post-operative. But I would
23 come back there to you and refer back to the information
24 that is present, not just in research papers, but in the
25 textbooks of the time, which raised this as an issue and

1 raised it as a particular issue in acute encephalopathy
2 management. So I think that that's an interesting
3 observation, but it doesn't get away from the fact that
4 it was usual practice to address acute encephalopathy
5 where there was a low sodium or an out-of-range sodium
6 with fluid restriction plus or minus the adjustment of
7 the blood sodium.

8 MR FORTUNE: Sir, Dr MacFaul ought to be reminded that he
9 can look at the actual "Lesson of the week". It's to be
10 found in WS178/2 at page 43. It's a very short paper
11 and, indeed, Dr MacFaul might want to take a little
12 while just to look at it to comment upon its content.

13 MS ANYADIKE-DANES: We can pull the next page up as well
14 because that's the page that has the discussion.
15 I don't think we can get all three on at the same time,
16 because there are three pages to it, but if we pull up
17 44, you'll get the discussion part of it, and then
18 there's a third page, but maybe that's enough to start
19 the process. I don't know if that's clear enough for
20 you to read.

21 A. No. Could you blow up page 44, please?

22 Q. Yes.

23 A. Thank you. (Pause). Is there a following page?

24 Q. You might want the next page as well, which will
25 continue the discussion. Page 45. That might help.

1 (Pause).

2 A. Well, without going through it in detail, may I point
3 out that it seems to be focusing on the management of
4 hyponatraemia and caution being given to too rapid
5 a change of the sodium in treatment. It post-dates the
6 event in 1996.

7 THE CHAIRMAN: I think that's the point that's been made,
8 against you, against your proposition. I think if
9 I understand Mr McAlinden correctly, it is that is
10 Professor Young not right to say that this shows that it
11 was only around 2001 that this issue was being flagged
12 up for an increase in the saline content?

13 MR McALINDEN: If one looks at page 43 in the coloured box,
14 it specifically lists a number of causes of vasopressin
15 release. And in relation to that, you'll see
16 specifically mentioned:

17 "Disturbances of the central nervous system,
18 meningitis, encephalitis."

19 A. Yes.

20 MR McALINDEN: So this is research as of 2001, where you're
21 saying that the knowledge base was well in existence
22 before then.

23 A. Yes. The knowledge base is present in the textbooks,
24 which I have referred to, as well as in other textbooks.

25 THE CHAIRMAN: Sorry, how could this be breaking news in

1 2001 if it was in the textbook which Professor Young is
2 criticising Dr MacFaul for using from the 1980s? Sorry,
3 if I understand the proposition, you're saying, this
4 shows that Dr MacFaul is wrong because it's only in 2001
5 that this is emerging. As I understand your response,
6 you are saying it can't be right that it is emerging for
7 the first time in 2001 because this is what was in the
8 textbook which you referred to in your original paper?

9 A. Yes, and other textbooks, all of which address the
10 problem of being managed with fluid restriction and
11 other books address how to deal with a low sodium in
12 terms of adjusting intravenous rate. Some go straight
13 to 0.9 per cent saline, which is normal. Some,
14 including Nelson, state that if the symptoms are
15 serious -- this is the current Nelson for 1996 -- it
16 goes on to say that if there are symptoms associated
17 with hyponatraemia such as coma or convulsions, that
18 they should have hypertonic saline. Others would say if
19 the child is not dehydrated and the sodium is low, to
20 give 0.9 per cent. My own practice was to give 0.9 or
21 0.45.

22 The maintenance of homoeostasis is the issue here.
23 One is the inappropriate ADH, but the maintenance of
24 homoeostasis is to find a low sodium, and if a low
25 sodium is present, to stop making it worse by giving

1 a low-solute fluid, and then the intravenous fluid that
2 you're using to increase the sodium content. That was
3 the practice and that is what's envisaged and set out in
4 various portions of textbooks that are applicable to
5 1996.

6 MR FORTUNE: Let's go back to page 45, please, sir.

7 THE CHAIRMAN: I just notice by the way that one of the
8 co-authors of this paper is Desmond Bohn, who is one of
9 the peer reviewers to this inquiry, which unfortunately
10 means he's not a witness.

11 MR FORTUNE: Page 45, please. Doctor, would you please go
12 to the paragraph under the heading "Study limitations"?
13 Read that to yourself because the authors refer to the
14 currently used guidelines for maintenance fluids in
15 children. (Pause).

16 A. Yes.

17 MR FORTUNE: Why should the authors in 2001 be recommending
18 that:

19 "The concentration of plasma sodium should be
20 measured when starting an intravenous infusion, taking
21 account of the currently used guidelines for maintenance
22 fluid, that there must be a change because they do not
23 take into account the unpredictability of vasopressin
24 secretion"?

25 Something that must have been known about, on your

1 basis back, in the 1980s or even the 1990s; is that
2 correct?

3 A. It is correct, and I have said so in my report, that the
4 routine intravenous fluid used in general paediatric
5 practice was fifth-normal saline. And that is the case.
6 Routine. And it is good guidance, obviously, to do
7 electrolytes first. The point is that in an acute
8 encephalopathy, you are not in a routine situation, and
9 you anticipate -- or the ideal practice is to anticipate
10 a development of inappropriate ADH secretion, but I have
11 accepted that the ideal practice would not necessarily
12 apply to the admission and overnight.

13 But by the middle of the next day, when a paediatric
14 neurologist was involved, it was already known that
15 her blood sodium was outside the normal range. Further
16 information was not sought. Under those circumstances,
17 while waiting for a repeat sample, the appropriate steps
18 following guidance would be, particularly with a signal
19 of a low sodium, to restrict fluid, and that's well
20 documented in many texts, and to add sodium. Why add
21 sodium? To stop donating free water, which is another
22 complication. At that point, when you have a low
23 sodium, you do not know whether it is water overload or
24 whether it is inappropriate ADH or a combination of the
25 two. And therefore, logic dictates that the maintenance

1 of homoeostasis is to attempt to restore the blood
2 sodium from outside the range to within the range. And
3 that is done by adding sodium concentration to the
4 intravenous fluid.

5 There is a caution against doing it too rapidly
6 because of causing brain damage, but it should be done
7 in stages. And indeed, that caution is thrown away in
8 certain texts, including Nelson, when a child is having
9 fits and in coma.

10 THE CHAIRMAN: Thank you.

11 MR FORTUNE: [Inaudible: no microphone] as you know, I'm
12 going to deal with the state of knowledge amongst
13 paediatricians.

14 MS ANYADIKE-DANES: Thank you.

15 A. On that point, may I say that, amongst paediatricians,
16 of course, the advice was fluid restriction in
17 meningitis, bacterial meningitis, which is a common
18 condition for general paediatricians to treat.

19 MR McALINDEN: Sorry, just in relation to that point, where
20 you say that the advice on bacterial meningitis was
21 fluid restriction, could you comment then on the Kirkham
22 review, which is referred to in Professor Young's
23 statement at the top of page 8? Where she says:

24 "There is considerable controversy over fluid
25 restriction, which has been shown to be potentially

1 harmful in patients with subarachnoid haemorrhage and
2 meningitis. The syndrome of inappropriate secretion of
3 ADH for which fluid restriction is indicated is
4 relatively rare. Instead, cranial diabetes insipidus
5 may require careful management. It is essential that
6 the systemic circulation is well filled and that large
7 volumes of hypoosmolar fluids are not given."

8 THE CHAIRMAN: I thought Dr MacFaul had spoken about this
9 earlier on when he said that Professor Kirkham was
10 highlighting an issue which was that, in the 1980s and
11 through most of the 1990s, I think you said, there is,
12 looking back on it, an issue about whether there was an
13 overrestriction of fluids; is that right?

14 A. Yes. Fluid restriction was normal practice in the 1990s
15 and, to a certain extent, in the 1980s, in the face of
16 hyponatraemia, where syndrome of inappropriate ADH
17 secretion was considered a contributor. There's no
18 question about that; it's in the textbooks. But it was
19 probably overdone.

20 What is concerning here is that children who come in
21 with an acute encephalopathy may not have adequate
22 perfusion and they may be dehydrated. And under those
23 circumstances, the priority is to ensure that the brain
24 is perfused. So you make sure that the blood pressure
25 and the blood volume is maintained because the priority

1 is to ensure that the brain is perfused. And that is
2 why there is this debate. Once that has been
3 achieved -- and this is a particular problem, may I say,
4 in the bacterial meningitis caused by meningococcal
5 disease, because meningococcal disease produces shock,
6 it produces low blood pressure, for a lot of reasons.
7 Therefore, the priority is to keep that blood pressure
8 going even in a child who is fully conscious, where you
9 know that by doing so -- that is giving loads of
10 actually resuscitation fluid -- you are likely to
11 generate brain oedema. You do that because you know
12 that's the priority, even if you then have to manage the
13 brain oedema by elective ventilation, mannitol,
14 shrinking and so on.

15 So that is why there has been this concern about
16 overdoing two things in the 1990s: one was fluid
17 restriction, the stringency of it was wound down, less
18 stringent; and, secondly, to avoid hyperventilation.
19 Because in the days when we were doing intracranial
20 pressure monitoring, you could observe how quickly the
21 pressure change occurred if you overventilated. The
22 pressure would go down within half a minute of
23 overventilating. And so many thought: what we'll do is
24 overventilate patients. That did them harm because it
25 produced too much fluid perfusion problems of the brain

1 because of vascular restriction. So these are cautions
2 and I have alluded to this change in my report when
3 I state that the fluid restriction regimes became less
4 stringent in the 1990s and early 2000s. I concede that.
5 But in 1996 it was conventional.

6 MR McALINDEN: There's just one further point.

7 In relation to the next paragraph where you'll see
8 that Professor Young refers to an article written by
9 Albanese and others in 2001. Their main focus was on
10 distinguishing syndrome of inappropriate ADH production
11 from cerebral salt wasting:

12 "However, of note, there was no recommendation to
13 routinely restrict fluids or avoid 0.18 saline in
14 5 per cent dextrose."

15 So that's a paper in 2001 dealing with this issue
16 in the context of patients with acute cerebral insults,
17 yet there is no recommendation for the routine
18 restriction of fluids.

19 A. Yes. I agree with that, and I've referred to that in my
20 own paper and commented on it, saying that there's no
21 mention of the use of hypotonic fluid. It's a fact, but
22 it doesn't get away from the fact that in the 1990s,
23 1996, fluid restriction was conventional in the context
24 of a hyponatraemia in a child who was well perfused,
25 where syndrome of inappropriate ADH could have been one

1 of the contributing factors.

2 THE CHAIRMAN: Thank you.

3 A. And I have produced a table in my commentary on

4 Professor Young's report, which indicates that.

5 MS ANYADIKE-DANES: Just as you have mentioned a number of

6 times that you believed that it was known at that stage,

7 the particular issue that you're dealing with, and

8 I think you have also said that not only was it known

9 then, but although the wording is different, the

10 underlying effects of it carried on being known even

11 though the wording changed in the third edition to the

12 fourth edition; is that correct?

13 A. That is correct, yes.

14 Q. If we pull up 238-004-012, maybe we can have 011

15 alongside it. This is from your report. You're citing

16 there at page 1112 and then you go on to deal with the

17 chapter on salt and water metabolism and deal with the

18 page 771; which edition is that coming from?

19 A. This is my response to Professor Young. It comes from

20 the fourth edition.

21 Q. So if you see there, it says:

22 "In the chapter on diseases of the central nervous

23 system, on the management of acute encephalopathy,

24 page 771, infection accounts for approximately one-third

25 of cases presenting with acute encephalopathy and coma."

1 Then one goes on to 013, having established that.
2 Then you have your section on raised intracranial
3 pressure. Then if you see at 013, just under page 782:
4 "The sick child may show the syndrome of
5 inappropriate ADH secretion and an inability to excrete
6 water overload. Water intoxication with oedema and
7 hyponatraemia may result if intravenous fluids are given
8 at the normal rate."
9 Is this the sort of wording that you're saying
10 doesn't make it quite so clear-cut to piece together
11 what they're talking about, but what they're talking
12 about is a need to reduce the rate of the fluids?
13 A. Yes. I think that the fluid restriction is more clearly
14 set out in that edition than it is in the warning
15 against hypotonic fluid. What I would say in critique
16 of that edition -- and it has to be said in mitigation
17 of some of the things that I'm saying -- is that the
18 approach to maintaining homoeostasis, although it
19 commends that that is what should be done, is not set
20 out. So the clinicians are left to judge how to do that
21 and they are left to do it from a variety of sources,
22 including first principles of adding more sodium and
23 reducing the donation of free fluid from hypotonic
24 solutions. And it is a pity, in my view, that that has
25 been the case.

1 Q. In any event, do you remain of the view that it was
2 known that there was that relationship between the
3 brain, which is compromised in some way and therefore
4 vulnerable to developing an oedema, and the use of
5 low-sodium fluids, which would exacerbate that --
6 A. Yes.
7 Q. -- and the need therefore to address that?
8 A. Yes.
9 Q. And while we're on that, I think, unless I'm going to be
10 corrected, that the doctors have conceded in this case
11 that Claire was a candidate for electrolyte imbalance.
12 A. Yes.
13 Q. So far as you're concerned does that mean there's no
14 issue that Claire was vulnerable, if I can put it that
15 way, to the very action that you're describing?
16 A. Yes.
17 Q. In any event, and not only was she vulnerable, but her
18 neurological presentation was such that one should have
19 concluded or reached a view, at least from the point of
20 view of a differential diagnosis, that she was
21 vulnerable in that way, even if you had not had that
22 confirmed at any given time; is that correct?
23 A. Yes.
24 Q. And I think when you were answering the chairman, that
25 as matters went on from the evening of the 21st right

1 down to when Dr Webb comes at 2 o'clock in the afternoon
2 of the 22nd, if anything, that should have been
3 confirmed that that was her condition and her problem?
4 A. Yes.
5 MR GREEN: My learned friend invited correction in the event
6 that she turned out to be wrong about the proposition
7 that doctors conceded that Claire was a candidate for
8 electrolyte imbalance. Dr Webb actually made that
9 concession.
10 MS ANYADIKE-DANES: Thank you very much indeed.
11 THE CHAIRMAN: Is that a way of saying that Dr Sands doesn't
12 make it?
13 MR GREEN: Yes.
14 THE CHAIRMAN: Thank you.
15 MS ANYADIKE-DANES: Oh right, okay.
16 Mr Chairman, I'm looking at the time.
17 THE CHAIRMAN: There was once an aspiration to finish
18 Dr MacFaul today. That won't happen. You'll be back
19 tomorrow, I'm afraid, doctor.
20 We'll start at 10 o'clock. We should be able to
21 finish Dr MacFaul tomorrow, should we? Yes? I hope so.
22 We will then -- tomorrow is Wednesday.
23 MS ANYADIKE-DANES: It is.
24 MR FORTUNE: Sir, I'm not sure that my learned friend shares
25 your optimism about finishing Dr MacFaul tomorrow.

1 MS ANYADIKE-DANES: I don't know why you consider that; I'm
2 going to do my very best to do that thing.

3 MR FORTUNE: It was the look on your face.

4 MS ANYADIKE-DANES: I am going to do my best.

5 THE CHAIRMAN: She never shares my optimism!

6 MR FORTUNE: Be that as it may, if my learned friend doesn't
7 finish Dr MacFaul tomorrow, are we sitting on Thursday
8 to finish him? Because we cannot have a parade of
9 witnesses --

10 THE CHAIRMAN: Who are not complete.

11 If absolutely necessary, are you available on
12 Thursday?

13 A. Yes.

14 THE CHAIRMAN: Thank you very much.

15 That is not an invitation to anyone to extend your
16 questioning into Thursday. That being the case,
17 Dr MacFaul is the last witness this week. If we are
18 approaching the end of his evidence tomorrow at 4 or
19 4.30, we'll sit on, provided Dr MacFaul is up to it,
20 rather than bring everyone back for an hour or so on
21 Thursday morning.

22 (4.28 pm)

23 (The hearing adjourned until 10.00 am the following day)

24

25

1	I N D E X	
2		
3	DR RODERICK MACFAUL (called)	3
4	Questions from MS ANYADIKE-DANES	3
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

