

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Wednesday, 14 November 2012

(10.00 am)

(Delay in proceedings)

(10.10 am)

DR RODERICK MACFAUL (continued)

Questions from MS ANYADIKE-DANES (continued)

THE CHAIRMAN: Doctor, could you come back up, please?

Thank you.

MS ANYADIKE-DANES: Good morning.

A. Good morning.

Q. Dr MacFaul, I just want to clarify a couple of points with you.

When you were giving your evidence in answer to the chairman and I yesterday, and I was taking you through your clinical experience and you were explaining how, although for many years you were engaged in management of paediatric patients with neurological problems because the tertiary centre that was subsequently established in Leeds hadn't at that time yet been established, so you saw a lot of those patients.

I think you said that probably went on maybe up to 1996 or some time thereabouts.

A. Yes.

Q. What I just wanted to be clear about is: you're not claiming, are you, that any time after that, that you

1 had expertise and retained an expertise in the
2 management of acute encephalopathy?

3 A. In respect of intensive care management -- that is the
4 management within an intensive care unit -- I would not
5 lay any claim to particular expertise from the late
6 1990s and into the early 2000s and beyond, because that
7 was outside my experience in clinical terms. Nor would
8 I lay claim to knowledge in detail of the research
9 strands conducted in the late 1990s and in the 2000s in
10 respect of intensive care management of acute
11 encephalopathy, which might have led to changing
12 guidelines after the 2003/2004 period. That is a point
13 which I would like to clarify. Thank you.

14 Q. Thank you very much for that.

15 A. There is a second point, if I may. Yesterday, a number
16 of papers were referred to, which Professor Young had
17 produced. These refer to a different condition from
18 which Claire presented. These refer to the child who
19 comes into hospital without a brain disease, who
20 subsequently develops an acute brain disease because of
21 intravenous fluid management given by routine methods of
22 hypotonic fluid. That is the production of an acute
23 encephalopathy by hypotonic fluid administration in
24 a child who entered hospital with some other condition
25 where the brain was not affected. Because those papers

1 relate to a different entity and scenario from that
2 which applied to Claire.

3 Q. And so the presumptive treatment that you were
4 advocating and which you said was known about and
5 appreciated in 1996 doesn't apply to those patients. As
6 I understood your evidence yesterday, the reason you are
7 treating presumptively is because they come in with
8 a problem that you can anticipate, if it's caused by
9 certain factors, it's actually going to be exacerbated
10 by a particular kind of fluid management regime, and
11 that's why you're able to address that presumptively.

12 A. Yes. Whereas the other entity, the knowledge of that
13 was referred to in the first Arieff paper, but the
14 knowledge strands about causing an acute encephalopathy
15 in an otherwise non-brain presenting child, for example
16 post-operatively, was new in the early 2000s and in
17 terms of becoming wider knowledge, although Arieff had
18 referred to it earlier. And I wish to distinguish that
19 particular scenario from what was being considered
20 in the management of Claire.

21 Q. Thank you very much indeed. I think that's a very
22 helpful distinction.

23 I'd like, just while we're distinguishing those
24 sorts of factors, to pull up a letter which is in
25 response to a letter that Mr and Mrs Roberts wrote,

1 seeking further information. It was a letter written in
2 2004. It was responded to by Nichola Rooney.

3 Mr Chairman, just so that we can see where the
4 thinking about how you treat these conditions goes, the
5 Roberts' letter is 096-015-105, going on to page 106.
6 I think it's paragraphs 8 and 9. If you see the latter
7 part of 8:

8 "Given that Claire's sodium levels drop so suddenly
9 within a 27-hour period, ie acute hyponatraemia, why was
10 this condition not defined?"

11 So he's seeking an explanation of why he didn't
12 know. And then he goes on to refer to the full
13 post-mortem report and whether it makes any reference to
14 hyponatraemia or sodium levels.

15 Then at 9 he says:

16 "Professor Young explained that the fluid type
17 administered to Claire would not be given to a patient
18 at the Royal Hospital today who has sodium levels lower
19 than 135 and that such patients would have their sodium
20 levels reviewed every 1 to 2 hours."

21 And then he asks for what the guidelines are.

22 Then if one sees the response to that at 096-018-112
23 and 113. If we pull up the next page, 113, thank you.

24 You can see the answer to the query at 9:

25 "Professor Young did indeed state that monitoring of

1 sodium levels would not be more frequent (ie around six
2 hourly). However, the management of patients with
3 sodium levels less than 135 is dependent on the clinical
4 condition which has led to the low sodium. In Claire's
5 case, it was felt to be due to the syndrome of
6 inappropriate antidiuretic hormone secretion [I think this
7 should be 'secretion'] SIADH. The practice at that time
8 would have been, firstly, to restrict fluid intake and,
9 secondly, to consider administration of fluid with
10 a higher content of sodium if symptoms attributable to
11 hyponatraemia were present."

12 That's what is being reported as Professor Young's
13 view of what was current practice in the Royal Hospital
14 in 1996. In terms of the recommendation for how you
15 treat SIADH, that you restrict the fluid intake and
16 consider increasing the sodium content of the fluid,
17 does that accord with your view as to what the practice
18 was in 1996? I don't mean the practice in the Royal,
19 but the practice generally.

20 A. Yes.

21 THE CHAIRMAN: I take it, Mr McAlinden, that's still the
22 Royal's position?

23 MR McALINDEN: I understand it is, yes.

24 THE CHAIRMAN: So the Royal's position is that, in 1996,
25 when Claire was felt to be suffering from SIADH and when

1 she had a sodium level of less than 135, which she did
2 from Monday night, the practice would have been to
3 restrict fluid intake and to consider administering
4 fluid of a higher content of sodium. But that wasn't
5 done; isn't that right?

6 MR McALINDEN: No, it wasn't done.

7 MS ANYADIKE-DANES: Mr Chairman, if that's the position it
8 may be that I can move on.

9 THE CHAIRMAN: I think so. I'm not entirely sure where all
10 the literature is going if it is in fact the Royal's
11 explicit position, and has been from least 2004, that
12 Claire's fluid intake should have been restricted and
13 that, at least, consideration should have been given to
14 giving a fluid of a higher sodium content. I'm not sure
15 where all the debate about whether Dr MacFaul made
16 a mistake or not, or the extent of his mistake, takes
17 us. I can understand it from the perspective of
18 a neurologist. I can understand there might be an issue
19 that Dr Webb wants to raise about what exactly he should
20 have done, but I'm not sure how comfortably that sits
21 with the Royal's position or the extent to which the
22 issue about all the research papers affects what is
23 stated in paragraph 9.

24 MR McALINDEN: I think the situation is, Mr Chairman, that
25 Dr MacFaul's evidence seems to suggest that if a patient

1 without a diagnosis of inappropriate secretion of
2 antidiuretic hormone -- if a patient is admitted with
3 signs or symptoms of encephalopathy and there is any
4 variation from the norm in relation to the sodium level,
5 that, as a presumptive measure, fluid restriction should
6 be initiated and higher sodium fluids should be
7 administered.

8 The position at the time, and I understand the
9 present position is, that once a diagnosis, a firm
10 diagnosis, of hyponatraemia due to SIADH has been made,
11 that the course of action which would have been adopted
12 and which still would be adopted now is to reduce fluids
13 and to consider the administration of a higher sodium
14 fluid. The difference is whether it should have been
15 treatment by way of anticipation of her problem or
16 whether it should be treatment once the problem is
17 properly and appropriately diagnosed.

18 THE CHAIRMAN: But then focusing on Claire, at what point
19 does the Royal accept that the fluid intake should have
20 been restricted?

21 MR McALINDEN: Well, it really comes back to when the blood
22 test should have been taken and when a diagnosis of
23 hyponatraemia should have been made. And if it is the
24 case that a blood test should have been taken after the
25 ward round and if that blood test would have revealed

1 a significant drop in sodium, then it could be argued
2 that at that stage other steps, other investigations,
3 such as a CT scan, et cetera, should have been initiated
4 and the proper diagnosis would have been made at that
5 stage and the proper treatment implemented.

6 THE CHAIRMAN: But there's no dispute that the blood test
7 should have been taken, a second blood test, before 9.30
8 on Tuesday night, sure there isn't.

9 MR McALINDEN: I don't think anyone is arguing that.

10 THE CHAIRMAN: We'll never know for sure, but it seems that
11 there's at least a likelihood, if not a probability,
12 that that would have revealed a falling sodium count.

13 MR McALINDEN: There's certainly that distinct possibility
14 that it would have revealed a falling sodium count.

15 THE CHAIRMAN: So the only real issue which emerges from all
16 these papers is whether, apart from SIADH, Dr MacFaul is
17 right in saying that there should have been an
18 anticipatory or presumptive diagnosis of encephalopathy
19 and, as a result of which, the fluid intake would have
20 been restricted and a change of fluid would have been
21 considered.

22 MR McALINDEN: Yes.

23 THE CHAIRMAN: Okay.

24 MR QUINN: Sir, can I just make the point here that the
25 parents are concerned also about the view that was taken

1 by Professor Young? If I can just ask for the report to
2 be brought up, WS78/2 at page 2 --

3 THE CHAIRMAN: Just give me one second.

4 MR QUINN: -- and put that beside. Because what Mr and
5 Mrs Roberts are concerned about is that when one looks
6 at the first four lines of the challenge made by
7 Professor Young in that particular analysis, that is the
8 challenge he's made to this witness's evidence, one then
9 cannot see how that fits with what is supposed to be
10 Professor Young's position in paragraph 9, which is on
11 page 9 of the letter sitting on the left. So perhaps
12 the witness could deal with that and perhaps that could
13 be dealt with by Mr McAlinden.

14 THE CHAIRMAN: Sorry, unless I've misunderstood it, I think
15 what Mr McAlinden is saying is that the Royal's stance
16 over paragraph 9 on the left of the screen, to the
17 extent that that's what should happen when SIADH is
18 identified -- what Professor Young is saying is if
19 encephalopathy is ... Even if there's a presumptive
20 diagnosis or identification of encephalopathy, at that
21 point, you move into restricting fluid and considering
22 a change to the type of fluid.

23 MR QUINN: Yes.

24 THE CHAIRMAN: But SIADH and encephalopathy are two
25 different things. Or are they?

1 A. It is possible to have syndrome of SIADH without an
2 encephalopathy. Indeed, it is not uncommon. And
3 that is why I believe we see low sodiums in children,
4 say, with pneumonia. But it is a well-recognised and
5 common complication in acute encephalopathy of any
6 cause.

7 MR QUINN: Sir, the consequences are the same. You've got
8 cerebral oedema occurring --

9 THE CHAIRMAN: Yes.

10 MR QUINN: -- through either.

11 THE CHAIRMAN: Which is why you restrict fluid and consider
12 changing the type of fluid.

13 MR QUINN: So from a layperson's point of view, the parents'
14 point of view, they really want to know how paragraph 9
15 sits with the first paragraph of Professor Young's
16 response. That's the point they're making and if any
17 comment can be made on that to clarify the issue to the
18 parents, it would be most welcome at this stage.

19 THE CHAIRMAN: Let me ask you first, Dr MacFaul: do you
20 understand the point that Mr Quinn is making on behalf
21 of the family?

22 A. Partly so. I think that my understanding is that
23 Professor Young gave the information to parents that
24 treatment had changed between 2004 -- in 2004 and
25 treatment in 1996. He appears to refer to the change in

1 routine practice from fifth-normal saline in the Belfast
2 Hospital in 2004 for all conditions, not specifically
3 acute encephalopathy. But what I understand from the
4 statement here is that, in 1996, it was already the
5 management of acute encephalopathy and, in 2004, that
6 was the management of acute encephalopathy. So there
7 was no change in my interpretation between 1996 and
8 2004.

9 MR QUINN: Thank you for the clarification. That is the
10 point the parents wanted to make on this issue.

11 Therefore, the parents -- and I want to put this on the
12 record -- feel that Professor Young's criticism, given
13 what he says in paragraph 9 of the response letter, is
14 redundant.

15 THE CHAIRMAN: Thank you.

16 MS ANYADIKE-DANES: Mr Chairman, just to perhaps refer back
17 to the fact that if, as I think Mr McAlinden was
18 suggesting, that it would have been relevant to have
19 considered and therefore that would have affected their
20 treatment if Claire came in and her presentation
21 suggested SIADH, that is something which the inquiry's
22 paediatric expert Dr Scott-Jupp did consider. In fact,
23 it's in his report. We don't need to pull it up because
24 I put it to him in evidence. 234-002-003. He did
25 explicitly consider that if you had a serum sodium level

1 of below 135 in the circumstances, that could be as
2 a result of inappropriate ADH secretion. And if that is
3 something that he, as a paediatrician, was thinking
4 should have been in people's minds, then the alternative
5 strand of treatment that Mr McAlinden was seeking to
6 distinguish may not be viable in those circumstances.
7 But I don't want to press it further because I think
8 that Dr MacFaul has already given his answer as to what
9 he thought was the appropriate course of treatment and
10 approach.

11 THE CHAIRMAN: Let's move on.

12 MS ANYADIKE-DANES: Thank you.

13 That being the case, Mr Chairman, I wasn't going to
14 deal unduly with the literature, but I did, in fairness
15 to Dr MacFaul, whose views as to what the position was
16 in 1996 have been challenged, want him to at least have
17 the opportunity to look at the then current editions of
18 Nelson and Forfar & Arneil. And if, in relation to
19 hyponatraemia and encephalopathy, one could go to
20 Nelson's 15th edition, which is the 1996 one. It's
21 page 215 for those who only have the volume, but we have
22 extracted some of the pages and the reference is
23 311-018-007.

24 This is a section dealing with electrolyte
25 disturbances associated with central nervous system

1 disorders. There's obviously a general introduction to
2 it, but perhaps, Dr MacFaul, the part you can comment on
3 in particular, if you see the latter part which has
4 "treatment", and you see that:

5 "The treatment of acute symptomatic hyponatraemia
6 ..."

7 Which is something that, I think, can result from
8 the condition of an electrolyte disturbance associated
9 with a central nervous system disorder:

10 "... should be prompt and use hypertonic saline in
11 combination ... to enhance free water excretion."

12 Can you comment upon why it is that you're trying to
13 do that in those circumstances?

14 A. You're trying to restore the blood sodium from its
15 deviated position back to normal range, which is
16 homoeostasis. And there is some debate about the use of
17 hypertonic saline because, in many other conditions
18 where syndrome of inappropriate ADH may be present and
19 yet there is no encephalopathy, such a step might not be
20 safe. But the problem with acute encephalopathy is that
21 the time window in which to restore homoeostasis is very
22 limited because of the danger of cerebral oedema and
23 because of the danger, if it's already established, of
24 it becoming worse.

25 So the opportunity to attempt to correct by fluid

1 restriction alone over two days is not available because
2 of that very tight time window. There is debate about
3 the use of hypertonic saline, but at least it is
4 addressed here as a measure of treating. One way
5 towards that extreme is to just correct with normal
6 saline and observe. But the emphasis here is where
7 there are severe symptoms -- in other words coma or
8 seizure -- and in those circumstances, in the presence
9 of hyponatraemia, there is guidance which supports the
10 use of hypertonic saline because of the emergency.

11 Q. What you've recognised is you've got too low a
12 concentration of sodium in the system, that is going to
13 have its effect on the development of cerebral oedema,
14 and that has to be addressed, so the underlying
15 principle is the same.

16 A. Yes, it is. And in the early stages, of course, when
17 the deviation of the sodium is not so extreme, the way
18 to deal with that is twofold, and as we mentioned
19 yesterday, it is to stop a fluid which donates a lot of
20 free water, because if you have a lot of free water
21 on-board, why give more? And, secondly, to restrict
22 fluid as well as consider hypotonic saline.

23 Q. If we carry on in Nelson and we go to page --

24 THE CHAIRMAN: Sorry, just before you move on. The
25 paragraph which you were being taken to, the third

1 paragraph of 56.6, doctor, depends on a diagnosis of
2 acute symptomatic hyponatraemia.

3 A. It depends on a diagnosis, sir, of an acute neurological
4 problem, and therefore this applies in any acute
5 encephalopathy. And the first sentence there states
6 that:

7 "Diseases of the central nervous system are
8 frequently associated with disturbances of sodium
9 concentration."

10 And the point I would make about that is that,
11 yesterday, we heard that Dr Kirkham's review said that
12 the syndrome of inappropriate ADH secretion is rare in
13 coma.

14 If that is the case -- and it is for Dr Kirkham to
15 explain why -- how do we explain the common finding of
16 hyponatraemia? Because all acknowledge that
17 hyponatraemia is common. And if the contribution by
18 syndrome of inappropriate ADH is not common, then the
19 only other explanation is fluid overload with water.
20 And that can only come in this situation from
21 intravenous fluid with too low a sodium content.

22 THE CHAIRMAN: Your referral back to the opening two lines
23 in 56.6, does that in turn take us back to not so much
24 the Monday night of Claire's treatment, but the Tuesday
25 morning? She'd been given some treatment through Monday

1 night, but on Tuesday morning her period of reduced
2 level of consciousness was extended, she didn't appear
3 to be improving. In fact, if anything she was worse,
4 which was why her parents spoke to the nurse who then
5 spoke, indirectly, to Dr Sands to get him to come rather
6 more quickly on the ward round. Would that be the point
7 at which it would have been emerging quite clearly that
8 there was some problem or potential disease of Claire's
9 central nervous system?

10 A. Yes. She had by that time, by definition, an acute
11 encephalopathy of unknown cause. But I come back to the
12 point, if I may, that the sodium on admission was low,
13 slightly out of range, and that was a signal of
14 something because by that time she had not been given
15 intravenous fluid; it was a signal that she was -- even
16 though it was only slightly -- out of the range,
17 a candidate for inappropriate ADH secretion.

18 MS ANYADIKE-DANES: And that is something that Dr Scott-Jupp
19 appreciated also from his position as a paediatrician.
20 In terms of your presumptive action, does one see some
21 indication of that later on in Nelson? It's page 715
22 in the text, but our reference is 311-018-012. On the
23 right-hand side column, it's about halfway down,
24 starting "it is crucial".

25 THE CHAIRMAN: It's the third paragraph under that heading.

1 MS ANYADIKE-DANES: "It is crucial to anticipate and be
2 prepared for convulsions, cerebral oedema, hyperpyrexia,
3 inadequate respiratory exchange, disturbed fluid and
4 electrolyte balance, aspiration ... [so you have to do
5 all of that]. Therefore, all patients with severe
6 encephalitis should be monitored carefully."

7 It talks about how you have to give your fluids and
8 electrolytes and medications. Then ultimately, it
9 concludes that the therapy is aimed at reducing cerebral
10 oedema:

11 "In patients with evidence of increased intracranial
12 pressure, placement of a pressure transducer [that's one
13 thing that they can do and I think Professor Neville
14 talked about that] ... as a guide to therapy aimed at
15 reducing cerebral oedema."

16 So if you have a patient -- this is the viral
17 meningoencephalitis, which is one of the things that, at
18 some point, they thought might be behind her raised
19 white cell count, that might be being the trigger, that
20 there is some viral activity going on, if you think that
21 is what is likely to be producing the cerebral oedema,
22 then is this part of your explanation that you treat
23 that presumptively, that's going to carry on developing,
24 and you try and manage very carefully the fluid balance?

25 A. Yes, that is correct, because viral encephalitis and

1 meningoencephalitis are inflammatory conditions, and
2 rather like bacterial meningitis, which is also an
3 inflammatory condition, cerebral oedema is common and so
4 is hyponatraemia and it has been well documented that
5 that is the case.

6 Q. Although I think the point is accepted by the Trust, so
7 I won't go into it. But the reference in Nelson for how
8 you deal with SIADH, which mirrors what Professor Young
9 is reported as having been his view as to what was
10 happening in 1996 -- we don't need to pull it up, but
11 the reference is 311-018-013. Page 1576 in the text:

12 "Careful attention to fluid replacement in patients
13 with conditions associated with the syndrome may prevent
14 the development of symptoms. Immediate treatment of
15 hyponatraemia consists simply of restriction of fluids.
16 Sodium should be made available to replace the sodium
17 loss."

18 And in Forfar & Arneil, the fourth edition, which is
19 the one for that period in 1996:

20 "Treatment is by water restriction to between
21 one-third and one-half maintenance and sodium
22 replacement to compensate for the secondary sodium
23 levels."

24 And we have that extract at 311-019-019, but I think
25 the Trust has accepted that that is what they agree

1 should have been happening in 1996.

2 If I can take you back to the management of
3 encephalopathy, which seems to be the point of
4 divergence. Forfar & Arneil -- and we have the extract
5 there at 311-019-010. If one maybe brings up the page
6 immediately preceding that, 009. This is the
7 investigation of coma. Then that second line there, you
8 see the management.

9 THE CHAIRMAN: Which edition is this?

10 MS ANYADIKE-DANES: This is the fourth edition, Mr Chairman.

11 So you see the management of it and the style is to
12 give these little tables. Then one can see all the
13 things that have been talked about that could and should
14 have been done.

15 But if one then goes under "management", it says on
16 115:

17 "Management of encephalopathy. The philosophy of
18 management of 'treating the treatable'."

19 And then it goes on to the maintenance of
20 homoeostasis. There you see it at item 4. Is that what
21 you were trying to explain yesterday? Was the position
22 that you treat what you can and these are the ranges of
23 things in those circumstances that you can treat? One
24 of the things you should be seeking to achieve is the
25 maintenance of homoeostasis and, I think, that you were

1 saying that in order to maintain homoeostasis, you would
2 have to be managing the fluid balance.

3 A. Yes.

4 Q. So this is the edition that would have been available in
5 1996 --

6 THE CHAIRMAN: 1994, isn't it?

7 MS ANYADIKE-DANES: Strangely enough, it is that, but it's
8 the one that was available in 1996. So although it
9 hasn't put it in the clearer terms that you referred to
10 in the third edition, nonetheless I think your evidence
11 is, if you look at that and read that with a clinical
12 eye, you understand what it is that they're telling you
13 to manage.

14 A. That is correct, yes.

15 Q. What does, just for the sake of completion now, the
16 "maintenance of homoeostasis" means?

17 A. It means ensuring that the blood pressure is maintained
18 adequately, there is no dehydration and that fluid
19 replacement or fluid maintenance is continued in a way
20 which does not donate excessive free water and if
21 inappropriate ADH secretion or another cause of deranged
22 blood sodium is found, then that should be managed
23 actively. But it also includes such elements as
24 maintaining body temperature.

25 Q. Thank you. And then I'm going to move on from the

1 literature.

2 Can I ask you about EEG? I know that you're going
3 to comment on the EEG and its availability and matters
4 of that sort for the purposes of governance --

5 A. Yes.

6 Q. -- but I wonder if you can help us here just to see the
7 extent to which you are in agreement with
8 Professor Neville, who's the inquiry's expert on
9 paediatric neurology. Professor Neville has said in his
10 report -- and we don't need to pull it up, 232-002, and
11 he makes these comments at pages 002, 006 and 007.

12 What he's essentially saying is that an EEG was
13 actually the only means by which you could make
14 a diagnosis of non-convulsive status epilepticus, that
15 it could be definitively confirmed or denied. That is
16 one thing he said; would you accept that?

17 A. Yes.

18 Q. His view was that Claire should not have been treated on
19 the basis of such a diagnosis without an EEG having
20 confirmed it, as it would lead to inappropriate
21 treatment with anti-epilepsy drugs, which could have
22 further reduced her consciousness level and her
23 respiratory drive without actually addressing or
24 improving her problem.

25 A. I agree with that.

1 Q. Sorry, "without addressing or improving her problem",
2 that was a comment by me. I don't think he actually
3 said that in his report, but that was the sense of what
4 he was saying.

5 A. I agree with that in principle. The only deviation, and
6 it's only a slight one, is that it is commended in this
7 edition of Forfar, the fourth, to be aware of seizure,
8 and I think part of the general management is number --
9 I can't see the number there, it's the second line down
10 in the principle --

11 Q. "Control of seizures."

12 A. Because seizures can occur as a consequence of any
13 encephalopathy. Viral encephalitis can cause seizures,
14 cerebral oedema can cause seizures. And to take account
15 of that, the advice given is to use intravenous
16 phenytoin in the management of an acute encephalopathy,
17 whether or not a seizure has been observed on the basis
18 of prevention.

19 Q. Then are you, at the same time, carrying out an EEG to
20 see if you can confirm your presumptive diagnosis, if I
21 can put it that way?

22 A. That is a more contentious point. You're giving it to
23 try to anticipate the development, essentially, of
24 tonic-clonic seizures, either generalised or focal. The
25 issue in Claire was that, of the range of causes of her

1 reduced level of consciousness, one of them seems to
2 have been chosen and others not fully excluded. But the
3 one that was chosen is unusual as a cause of
4 encephalopathy and is not very common and difficult to
5 diagnose without an EEG. I may say, however, that
6 in the course of an encephalopathy caused by something
7 else, it is possible to develop non-convulsive status as
8 a result of the encephalopathy itself. But it is not
9 possible to make such a diagnosis without an EEG.

10 Q. So in your view, should an EEG have been performed?

11 A. Yes.

12 THE CHAIRMAN: Sorry, there's one other point. Let's
13 suppose there's difficulty about an EEG. Let's suppose
14 there's difficulty about bumping somebody out of the
15 queue and it can't be done immediately. So it might
16 only have been possible to arrange that EEG perhaps
17 quite late on Tuesday afternoon rather than earlier.

18 A. All I would say is that it should have been done that
19 day.

20 THE CHAIRMAN: Yes. Let's assume that Dr Webb or Dr Sands
21 earlier, somehow between them they identify: we need to
22 do an EEG, and there are some people who you can't bump
23 out. So let's say it's not done until 3 or 4 o'clock on
24 Tuesday afternoon. In the meantime do you criticise the
25 prescription to Claire of anti-epileptic drugs?

1 A. I don't criticise the use of phenytoin or indeed
2 valproate. But the midazolam is a treatment which is
3 unusual in my experience, and this is why I gave so much
4 attention to it in my report, because it struck me as an
5 unusual therapy, out of my knowledge, in fact, for
6 management. That is a drug which is more specific for
7 what one would regard, from the reading about it, as
8 resistant status epilepticus. That is, for example,
9 tonic-clonic seizures which have not responded to full
10 doses of phenytoin or valproate, or it is specific to
11 the non-convulsive status. So the use of it before you
12 have identified confidently that you are treating
13 non-convulsive status is open to question. And the
14 question would be: how confident are you in the
15 diagnosis of non-convulsive status before using it?

16 It is difficult to establish non-convulsive status
17 without an EEG. The importance of the question is that
18 midazolam is a much more depressant drug in terms of its
19 effect on respiration than phenytoin or valproate, for
20 that matter. And the risk of depressing respiration in
21 coma is a very significant one, and therefore
22 I believe -- and I've looked at Claire's [inaudible
23 word] -- that it would have been very quite important to
24 obtain an EEG before exposing her to any dose of
25 midazolam.

1 THE CHAIRMAN: Sorry, that's obviously on the assumption,
2 which unfortunately doesn't apply here, that the
3 midazolam was given in the correct dosage.

4 A. Even so.

5 THE CHAIRMAN: Even when given in the correct dosage, it's
6 a drug which you would question the use of in advance of
7 confirmation of non-convulsive status epilepticus?

8 A. Yes, because of the risk that it poses to respiration.

9 THE CHAIRMAN: Thank you.

10 MS ANYADIKE-DANES: I'm going to come and ask you about
11 transfer to paediatric intensive care a little bit later
12 on, but now that we're at midazolam: if it were to be
13 used, what are your views as to whether it should have
14 been used in a paediatric intensive care setting as
15 opposed to the general ward?

16 A. Well, my response to that is simply this: that it is
17 common for level 1 intensive care -- that is care short
18 of ventilation -- to be --

19 THE CHAIRMAN: Sorry, doctor. But when you say it is
20 common, we're talking about 1996. It was common in 1996
21 or can we just get our timescales correct?

22 A. Yes, it was common in 1996 -- and, to some extent,
23 common now -- that level 1 intensive care -- that is
24 care short of intubation and ventilation -- it is common
25 for a number of children on children's wards to receive

1 that level of care. That was one of the triggers for
2 setting up the Department of Health working party, which
3 I referred to yesterday. It can be done on the general
4 ward. Some units would have a special cubicle for high
5 dependency care, called a high dependency cubicle. Some
6 hospitals would cluster such beds, particularly
7 Children's Hospitals, into a high dependency unit
8 attached to the intensive care unit. So the actual
9 physical arrangement of it varies from just giving it in
10 a bed, but with extra nurses and monitoring, to the use
11 of a special cubicle, which had more equipment, or to
12 cluster such cases in a high dependency unit attached to
13 the intensive care unit itself. The advantages of the
14 latter are that you can not only step up care -- that is
15 put somebody in there and hope they never get to the
16 intensive care unit -- and when they are in an intensive
17 care unit and are ready to come off ventilation, they
18 can step down into that unit before going back to the
19 general wards. So there are powerful arguments for
20 having one. I do not know whether the Children's
21 Hospital had such a high dependency unit attached to its
22 intensive care unit.

23 MS ANYADIKE-DANES: Assuming that the position was that
24 Claire simply stayed in the bed in which she was in the
25 general ward and mannitol was being administered, and in

1 fact was going to carry on being administered
2 intravenously until such time as somebody thought it
3 appropriate to stop it -- as a matter of fact, it was
4 started at, I think, 4.15 the afternoon of Tuesday and
5 it carried on until her respiratory arrest and just
6 before she was transferred to paediatric intensive care.

7 From how you have described what you do in terms of
8 children who might be receiving mannitol on the ward,
9 does that mean that people have to appreciate the
10 potential difficulties that a child might get into being
11 administered mannitol, and that there has to be maybe
12 a higher ratio of nursing for those children?

13 A. The drug in question is midazolam --

14 Q. Sorry, I beg your pardon.

15 A. -- not mannitol.

16 Q. Sorry.

17 THE CHAIRMAN: That comes much later.

18 A. The midazolam intravenous infusion means that she was,
19 by definition, receiving level 1 intensive care.

20 MS ANYADIKE-DANES: Yes.

21 A. She required careful monitoring by the nurses of her
22 respiratory status and of her Glasgow Coma Scale and
23 probably saturation monitoring. Saturation monitoring
24 is of the oxygen level and the problem is that there may
25 not be any change in the oxygen level while carbon

1 dioxide level in the blood is building slightly if
2 breathing is suppressed. So it is a useful measure and
3 it is continuous because it can just be put on to
4 a finger or the ear, whereas carbon dioxide monitoring
5 continuously has been an aspiration in many units and
6 I have tried it myself, but you cannot do it through the
7 skin. Well, you can, there are monitors, but they're
8 not reliable, and they're used in the new born units
9 where the skin is thinner. I did some work on that with
10 a machine to see if we could use it and it didn't work
11 in children.

12 So there was a need to monitor her very carefully
13 and it could be argued that if there was any concern
14 about her breathing, then blood gases should be done,
15 which is an arterial stab. That is a painful and
16 difficult thing to do to a child, but it has to be done
17 sometimes. But that would be done if there was any
18 concern about her breathing. Her respiratory rate, as
19 it happens -- that's the breathing rate -- appears not
20 to have deviated very much throughout the midazolam
21 therapy. But it is possible that she was breathing at
22 a normal rate, but shallow. That is purely conjecture.
23 The point is that she was at risk of carbon dioxide
24 retention.

25 Q. What I'm trying to get at is: if they were going to

1 prescribe and administer, which they did -- leaving
2 aside the overdose, but just in an appropriate dose --
3 this drug which the junior doctors and nurses have all
4 said they were completely unfamiliar with, if that was
5 going to happen, should special arrangements have been
6 made so that it could be done effectively and safely for
7 Claire?

8 A. Yes. The problem is that she hadn't at that point, in
9 my view, reached a clear indication for elective
10 intubation, which would be the next step. And by
11 "elective intubation", I mean anaesthetising her
12 briefly, intubating her with an endotracheal tube and
13 attaching her to a mechanical ventilator. That is
14 elective ventilation as opposed to emergency
15 resuscitation. I don't think at the time that she
16 started the midazolam there is enough evidence to show
17 that she needed that step. It was a step which should
18 have been considered, but what I would say is that you
19 could argue that with the use of that drug, particularly
20 after a bolus, a debate could have been entered between
21 Dr Webb and the intensive care unit. Not because she
22 necessarily needed admission, but because it was
23 a warning that there was a child who might need
24 admission.

25 Q. Yes.

1 A. Because I understand that the criterion for admitting to
2 paediatric intensive care at that time was intubation
3 and ventilation.

4 Q. Yes. And if that intravenous midazolam is being
5 administered at 4.30, which is shortly before the shifts
6 were going to change and then you were facing a night
7 shift with reduced personnel, if I can put it that way,
8 then that might be a good time to have had a discussion
9 with the paediatric intensive care and got established
10 what assistance and guidance there might be if Claire
11 got into difficulties.

12 A. In an ideal world, yes.

13 Q. But I think your view, originally answering the
14 chairman, was that you don't think it was appropriate to
15 start her on midazolam without having confirmed her
16 position, which is what you'd do with an EEG.

17 A. Yes.

18 Q. Thank you.

19 THE CHAIRMAN: Of course, doctor, the other side effect of
20 all of this would have been to alert Mr and Mrs Roberts
21 to exactly how ill Claire was.

22 A. Yes. Because the use of midazolam suggested that they
23 were treating an uncontrolled status.

24 MS ANYADIKE-DANES: Thank you.

25 MR QUINN: It just occurs to me that Professor Aronson

1 described midazolam as an experimental drug, and would
2 the doctor agree with that particular definition of it
3 at this time, that's in 1996?

4 MR FORTUNE: Sir, unlicensed drug. We must be careful about
5 the terms being used.

6 MR QUINN: That's not my term; that's the term used in
7 evidence, as I recall.

8 MS ANYADIKE-DANES: Just to put it in its context for you,
9 Dr MacFaul, it was used with reference to treating
10 a child like Claire in these circumstances. How he came
11 about that view is that when you look through the texts
12 and particularly the product information, the product
13 information did not suggest at that time using midazolam
14 in that way. The paper that Dr Webb had referred to --
15 it's in his third witness statement -- he said he went
16 back and he checked the dosage from his encounter with
17 it when he was in Canada and he referred to a paper that
18 gave him some support as to how that might be a therapy
19 that he could start, and from that particular paper
20 Dr Aronson took the view that that indicated that it was
21 perhaps still in its, I think, experimental stages in
22 its application to children in Claire's circumstances.
23 Can you comment on that?

24 A. I think the term "experimental" is, I would say,
25 possibly a bit extreme. It is the case that a number of

1 drugs are used, as has been stated, off-licence and
2 off-label in terms of how they are used. And that is
3 particularly the case in children. For instance,
4 intravenous valproate was not particularly
5 well-established at that time.

6 But to say it was experimental would be perhaps
7 a bit extreme because a number of therapies are used in
8 intensive care situations because it has somehow come
9 into practice. I think that I have made reference in my
10 report to the various guidance at the time on the use of
11 midazolam in different conditions. So I would say it
12 was avant-garde, but not necessarily experimental.

13 THE CHAIRMAN: Among the things that Dr Aronson said was he
14 wouldn't have given it. He regarded this as something
15 of a turning point, and given that Claire had already
16 had diazepam and phenytoin, he thought that the fact
17 that Dr Webb was turning to midazolam was an indication
18 that there were problems and that, at that point, that
19 was the stage to seek a transfer of Claire to
20 a paediatric neurology ward, if possible, or to
21 intensive care.

22 A. Yes. I think that it would be more appropriate to
23 consider intensive care, but the problem there is, as
24 I've referred to, about high dependency care. She was
25 receiving a form of high dependency care, level 1, on

1 the ward in terms of a continuous infusion of a potent
2 medication and the need for increased monitoring. So
3 I agree that the combination of midazolam with other
4 anti-epileptic drugs is an issue. Phenytoin, I know the
5 dose that was given was large. It doesn't suppress, in
6 clinical practice -- and I'm talking about clinical
7 practice now rather than from a pharmacological
8 viewpoint. We use phenytoin a lot intravenously and it
9 doesn't produce much acute depression. And neither does
10 valproate. But the combination of the three -- there is
11 a tendency for synergism to occur and when you add the
12 three together, the sum may be greater than the parts,
13 and each part individually.

14 THE CHAIRMAN: But midazolam on its own, you said, had
15 a much more depressant effect than the others?

16 A. Yes, indeed.

17 THE CHAIRMAN: So would that depressant effect then be
18 aggravated by the fact that it is being used in addition
19 to other drugs?

20 A. Yes.

21 THE CHAIRMAN: But more substantially affected by the fact
22 that it's given in far too large a dose?

23 A. Yes.

24 MR QUINN: Just for the record, sir, it's on the transcript.
25 It's 8 November, page 211, line 16 to 18.

1 THE CHAIRMAN: That's the use of "experimental"?

2 MR QUINN: Yes.

3 THE CHAIRMAN: Thank you. Anyway, we have Dr MacFaul's view
4 on that.

5 MR FORTUNE: Sir, perhaps we can get away from the term
6 "avant-garde" because that will no doubt come to haunt
7 this inquiry. Exactly what did Dr MacFaul mean?
8 We have "experimental", we have "off-licence", we have
9 "off-label". "Avant-garde" is not a very helpful term
10 to be added to the vocabulary.

11 MS ANYADIKE-DANES: Maybe, in fairness, it's appropriate to
12 put in context -- I'm grateful to my learned friend for
13 pulling this up -- the actual words of Dr Aronson and
14 the context in which he was making the statements that
15 he did.

16 If one starts maybe with line 7 perhaps. He's made
17 his first point. He's a specialist in the field who has
18 experience of managing such patients:

19 "... sometimes have to try new things based whatever
20 evidence is available at the time, even though the
21 evidence may not be as strong as one would want."

22 And to a certain extent, Mr Chairman, he was
23 commending Dr Webb for trying his best to see what could
24 be done at this stage and you had asked him a question
25 along those lines. That's the first point:

1 "So I don't think there's anything to say that this
2 should not have been a possible way of proceeding in
3 these circumstances given all the caveats we've
4 discussed before."

5 And we had gone through all the precautions you have
6 to adopt if you're going to administer midazolam. Then
7 he says:

8 "The second point then, which is what you're asking
9 about, is how to communicate the uncertainty in this
10 decision and how to communicate the way in which one
11 should proceed. And it's my view in such circumstances
12 that, when you are dealing with a what is really quite
13 an experimental treatment -- it's a small, open study;
14 it's not double blind, placebo-controlled, it's in
15 patients who have different conditions, not
16 well-described in the abstract but presumably better
17 described in the main paper."

18 Because that's what he was being shown, an abstract:

19 "It's an early use of this drug and one ought to
20 take great care when communicating to one's staff that
21 one wants to use this drug."

22 And that's the context in which he was saying that.
23 That's why I was asking you the questions that I was.

24 If nobody's particularly familiar with it, how do
25 you communicate that and how important is it to make

1 that clear?

2 A. I think that the warning should have been given to the
3 staff to take particular care of the respiration.
4 I take the criticism of "avant-garde" and perhaps
5 I should have used "innovative".

6 THE CHAIRMAN: The other interpretation of "avant-garde" is
7 at line 23:
8 "It's an early use of this drug."
9 Isn't that avant-garde?

10 A. Yes, that is the same.

11 MS ANYADIKE-DANES: I wonder if we could now move on to
12 a different topic, which is to do with the neurological
13 observations.

14 THE CHAIRMAN: Before we leave midazolam, do we need to look
15 at the dosage? Is that self-evident?

16 MS ANYADIKE-DANES: It's self-evident that it was an
17 overdose. I think Dr Aronson has talked about the
18 implications of an overdose, particularly in combination
19 with the other medication. I wasn't necessarily getting
20 this witness to traverse the areas that others --

21 THE CHAIRMAN: That's fine. Just for the record, doctor,
22 you are questioning the use of midazolam, but even to
23 the extent that its use is defensible, administering it
24 in triple the appropriate dose increases the potential
25 problems which you've already identified; is that a fair

1 summary?

2 A. Yes. I think if Dr Webb had a confident diagnosis of
3 non-convulsive status and had excluded other causes and
4 he felt that the non-convulsive status was responsible
5 for the underlying condition, it would not have been
6 inappropriate, given his experience of its use in
7 Canada, to use it. And I say that because it has
8 clearly been in use in other areas. That is why it has
9 appeared in these guide books on medication in children.
10 People are obviously aware of its use in epilepsy. So
11 it was not -- it was part of the armamentarium. The
12 point is it was used without confirming the diagnosis
13 and without also seeking alternative explanations of the
14 cause of Claire's illness.

15 MS ANYADIKE-DANES: Mr Chairman, the issue that you had
16 talked about, about the particular dosage, the dosage of
17 midazolam, the dosage of phenytoin, for that matter, and
18 issues surrounding that was something that I thought
19 that this witness, Dr MacFaul, perhaps might better deal
20 with in governance because there are some governance
21 issues that arise out of that.

22 There was one particular observation that you had
23 made in relation to midazolam. It's not the dose in
24 particular; it's something that was raised with,
25 I think, some of the other witnesses. It's 090-022-055.

1 There it is there. That's the calculation of the
2 midazolam and the dose. That is Dr Stevenson's entry.
3 Immediately below that is Dr Webb's entry. I think you
4 had expressed the view that Dr Webb should have noted
5 those dose errors, and that's in your report at
6 238-002-021. We don't need to pull it up.

7 Dr Scott-Jupp was put that point. I'm not entirely
8 sure ultimately what he concluded, but I suppose he
9 thought that it wasn't necessarily a matter for Dr Webb
10 to have calculated or gone over and checked the
11 arithmetic. The point was being put to him: leaving
12 aside the arithmetic, given that it was novel, should he
13 not have noted that he had made an error in the actual
14 dose? So it was 0.5 instead of 0.15. And I think your
15 view was that he should have noted that; is that
16 correct?

17 A. Yes. The mathematical calculation there is correct if
18 the 0.5 milligrams per kilogram were the dose to be
19 used. The error came in writing a prescription. And
20 the dose of the infusion is correct. What is not
21 correct is the 0.5 milligrams per kilogram, 500
22 micrograms per kilogram. It is pretty clearly evident
23 there. That is why I raised the question: why had that
24 dose been advised, if it was advised? How had it come
25 about? Because it is evident to whoever's writing

1 underneath that that was used as the basis for the
2 calculation. That is quite a high dose.

3 Q. Yes. Can I also take you to a further page in the
4 notes, 090-022-057? It's the note of Dr Steen at 4 am.
5 Dr Steen has been advised that Claire has suffered
6 a respiratory arrest and she comes in from her home to
7 the hospital, she sees the child. As in all matters to
8 do with these events, she has no longer an independent
9 recollection of what happened, but her view was that she
10 would have brought herself up to speed, would probably
11 have spoken to the nurses and so on to try and take
12 stock of where they were and looked at the notes. She
13 then writes this, if you like, summary of where they are
14 and what's happened. You can see that it starts with
15 her age and learning difficulties and so forth.

16 Then if you see about two-thirds of the way down
17 there, Dr Steen says:

18 "Has had some midazolam, but it is no longer
19 running."

20 If she had been looking at the notes to bring
21 herself up to speed, if I can put it that way, to write
22 this note and presumably ultimately to speak to the
23 parents, should she have noticed that there was a very
24 large dose of midazolam, it was 0.5?

25 A. That is a difficult question to address because

1 a general paediatrician coming across that usage,
2 it would not be part of their practice. So she wouldn't
3 necessarily be aware that this was out of range, out of
4 the advised range. It is not a drug that's used by
5 general paediatricians much at all by bolus. It tends
6 to be used by anaesthetists, if it's used in that way,
7 or intensivists. So I think Dr Steen would not
8 necessarily have understood or recognised that that had
9 been an overdose. And I suspect, but again this is
10 conjecture, that she took it that that was the advised
11 dose that Dr Webb had given.

12 Q. She has noted the different anticonvulsants and other
13 medications that Claire was administered. Would it have
14 been appropriate for her to discuss the drug regime with
15 Dr Webb? She and Dr Webb were there together at some
16 point and, in fact, met the parents together. Before
17 they did that, presumably they would be discussing
18 matters so they knew what they were going to tell the
19 parents as to what had happened and to form a view.
20 Would it have been an appropriate question for her to
21 ask him to explain just exactly what had happened about
22 the medications, why had so many different
23 anticonvulsant medications been administered, what was
24 his view?

25 A. Yes. But it's not clear from that note that at that

1 point -- I mean, Dr Steen is just noting "query
2 aetiology". So it's not clear what the cause of the
3 acute encephalopathy was. Presumably, there has been
4 some discussion between the two, but that is conjecture.
5 All that one can rely on here are the notes or the
6 witness statements.

7 Q. In fairness, she may not have spoken to Dr Webb at that
8 stage. My question to you was slightly different: at
9 a point before they go in to speak to the parents,
10 should they have had a discussion so that she could
11 satisfy her as to what exactly had happened, what had
12 been done and why, particularly if she has queried that
13 aetiology of encephalopathy?

14 A. At some point, yes, but in the timing scale, as you
15 identify here, that would have been something to have
16 done before the parents were --

17 Q. Yes, that's my question.

18 MR FORTUNE: Sir, we're very much in the world of
19 conjecture. There has been a string of questions put to
20 Dr MacFaul as to what could or should have been
21 discussed, and in particular the drug regime and
22 specifically the dosage for midazolam. At 4 o'clock,
23 whilst we may appreciate that things are very pressing,
24 how important was it then to have a discussion about the
25 drug regime? That may be a more pertinent question.

1 MS ANYADIKE-DANES: I think, Mr Chairman, I had modified my
2 question to ask him whether before they met the parents
3 they should have had that discussion.

4 MR FORTUNE: Even if you modify the question, there is still
5 whether or not you would expect such a discussion to
6 take place when clearly there are more important
7 concerns in the minds of the two clinicians.

8 THE CHAIRMAN: We'll come on to the couple of hours later
9 when we look at the questions to be answered before the
10 brainstem test is conducted.

11 MR FORTUNE: That's another matter, sir.

12 THE CHAIRMAN: It is another matter, but we'll come back to
13 it.

14 Can I ask you this, doctor, in a different way: the
15 fact that Claire was overprescribed phenytoin, but more
16 particularly overprescribed midazolam, does not seem to
17 have been raised on the Wednesday, the day of her death.
18 It does not seem to have been raised during the
19 subsequent limited autopsy or discussions with the
20 parents. It was not even raised in 2004 after the
21 family contacted the hospital and there was supposed to
22 have been a review of the treatment she received.

23 A. Yes.

24 THE CHAIRMAN: And it wasn't even raised at the inquest in
25 1996.

1 A. No.

2 THE CHAIRMAN: Do you find that hard to understand, how it
3 was repeatedly missed --

4 A. Yes.

5 THE CHAIRMAN: -- particularly the midazolam point?

6 A. Yes. It is difficult to understand. Midazolam is
7 obviously part of the therapy used. Whether Dr Webb was
8 conscious at the time that an excessive dose had been
9 given is obviously open to question. I don't know.

10 THE CHAIRMAN: But if Dr Webb wasn't there, let's move
11 forward to 2004 when Dr Webb, I think, was no longer in
12 the Royal so he would not have been involved in
13 discussions with the Roberts family. If somebody else
14 is coming in to review what happened in Claire's case to
15 respond to the family's concerns and to decide whether
16 the case should eventually be referred to the coroner,
17 then the issue about midazolam should be picked up at
18 that review, should it not?

19 A. Well, I believe so. That is one of the reasons why
20 I said in my report on governance that it would have
21 been more appropriate at that point for an independent
22 review of the records by a paediatrician with experience
23 in acute encephalopathy or a paediatric neurologist
24 rather than a review of the broader aspects by
25 Professor Young, who was a physician for adults.

1 THE CHAIRMAN: Thank you.

2 MR COUNSELL: Sir, if I could just explore that a little
3 bit? It really relates to the issue of how obvious the
4 0.5 should have been to Dr Webb, leaving aside Dr Steen,
5 whose own expertise is slightly different. Of course,
6 that bears upon what instructions Dr Webb may have or
7 may not have given to Dr Stevenson on that afternoon,
8 whether it was on the telephone, as Dr Webb appears to
9 suggest --

10 THE CHAIRMAN: Well, I'm not sure that he does really.
11 There are a couple of different versions going around
12 from Dr Webb, aren't there?

13 MR COUNSELL: There certainly are. Indeed, in the third
14 statement, Dr Webb says two things, both of which can't
15 be right, but that's another matter. The question you
16 may like to be asked of this witness is: how obvious
17 it would be to someone in Dr Webb's position,
18 particularly perhaps given that he had just looked it
19 up, that the 0.5 was wrong? And also, of course, in the
20 context of his preparing statements after that -- and in
21 particular in, I think, 2005 for the inquest -- where
22 again Dr Webb appears to completely overlook that error.
23 I'm thinking in particular of the statement which
24 appears at 090-053-165, if that can be brought up, in
25 which, towards the bottom, he deals with the bolus dose,

1 but makes no reference whatever to it being an error.

2 THE CHAIRMAN: Yes. Let's go back to 090-022-055 because

3 this was the issue which was raised with Dr Scott-Jupp.

4 If this is the position, that's fine. It's not my job

5 to push it. But doctor, it's not just that the 0.5 is

6 wrong, but the 0.5, using that as a factor in the

7 calculation, leads on to an eventual total of -- well,

8 that leads to 12 milligrams being prescribed, isn't that

9 right --

10 A. Yes.

11 THE CHAIRMAN: -- when it should have been a bit under 4?

12 A. Yes.

13 THE CHAIRMAN: So it's not just that there's one opportunity

14 to pick up the mistake, there's two, because the

15 calculation is spelled out there.

16 A. Yes. That is true. What I don't know, sir, is what

17 reference Dr Webb was using. If I recall -- and I'm not

18 precise about the documentation -- he did say that he

19 went back to his office to check on the dosages with

20 which he had been familiar when working in -- I think it

21 was Canada.

22 THE CHAIRMAN: Yes.

23 A. But I have not seen what the Canadian unit protocol was.

24 Dr Webb refers to a paper by, I think, Koul or somebody

25 like that, published in the archives. And there,

1 in that study to which he refers, the dosage is
2 150 micrograms per kilogram, which is 0.15 of
3 a milligram. Whereas it may be the case, and it is
4 again conjecture -- one has to address it in that way --
5 that what was used in Canada was that dose and that
6 would be a question, I suppose, that would be worth
7 considering: was Dr Webb using that kind of dosage in
8 Canada? In which case it would not stand out to him as
9 being an overdose.

10 MS ANYADIKE-DANES: Sorry, Mr Chairman, he actually produced
11 the abstract. That was what was shown to Dr Aronson and
12 it was quite clear it was 0.15.

13 A. From Canada or from the published study? Because the
14 paper that is referred to by Dr Webb is a publication
15 which has 0.15. But I think he was referring to what he
16 had been doing in Canada because he had experience in
17 Canada of its use.

18 THE CHAIRMAN: That may be something we develop with
19 Dr Webb. Thank you.

20 MS ANYADIKE-DANES: Yes. Thank you. Sorry, Dr MacFaul,
21 I was going to take you to the neurological
22 observations.

23 MR McALINDEN: Sorry, Mr Chairman, just before we leave that
24 point.

25 In relation to your comments about the independent

1 review or the review that was carried out by
2 Professor Young, there are two points I wish to
3 highlight at this stage. It arises out of the first
4 statement of Professor Young, WS178/1 at page 2,
5 question 1(b). You will see that Dr MacFaul has again
6 referred to Professor Young as an adult physician. And
7 it is clear that Professor Young is a consultant in
8 clinical biochemistry. In relation to the investigation
9 that was carried out by Professor Young, I would ask you
10 to go to page 4 of his witness statement at the top,
11 which is in relation to the purpose of the review:

12 "The purpose of my review was to provide an
13 independent assessment of the case and to advise
14 Dr McBride whether hyponatraemia may have contributed to
15 Claire's death. This was to inform his decision on
16 whether to refer the case to the coroner."

17 So it'd be Professor Young's evidence that it was
18 really the issue of hyponatraemia that he was looking at
19 and he certainly wasn't doing a general overview of the
20 treatment, which might probably explain why the issue of
21 the midazolam overdose was not --

22 THE CHAIRMAN: Was not addressed?

23 MR McALINDEN: Yes. It was simply that his review was
24 restricted as a clinical biochemist, a consultant in
25 clinical biochemistry, to the issue of fluid management

1 in hyponatraemia at that stage.

2 THE CHAIRMAN: Thank you.

3 MS ANYADIKE-DANES: That's going to be an issue that we will
4 develop in governance. I'm grateful for Mr McAlinden
5 saying what he has, but perhaps we'll deal with that in
6 governance.

7 THE CHAIRMAN: His intervention is perfectly legitimate in
8 order to highlight what the limits on the role of
9 Professor Young were in 2004.

10 MS ANYADIKE-DANES: Yes, from the Trust, yes, but that will
11 be an issue in governance: what his remit was and what
12 he should properly have looked at and what conclusions
13 he might reasonably have reached.

14 THE CHAIRMAN: I know.

15 MS ANYADIKE-DANES: So if I can take you to the neurological
16 observations. I'm conscious of the time, Mr Chairman.

17 THE CHAIRMAN: Let's try and get the neurological
18 observations done before we break.

19 MS ANYADIKE-DANES: Of course.

20 This issue is one of those that Professor Young has
21 commented on in his witness statement, 178/3, and if
22 we can pull up page 2 of that. He sets out there the
23 purpose of that report. It's to address the
24 fluctuations in Claire's GCS scores during her admission
25 and to comment on how they should be interpreted. In

1 particular, he wants to highlight the issues to do with
2 interpretation. He says that the inquiry has focused
3 particularly on the fall in the GCS from 8 at 8 pm to 6
4 at 9 pm, and a number of witnesses have been asked to
5 agree that this represents deterioration in Claire's
6 condition and that they have generally accepted that it
7 does. But he says:

8 "These witnesses are clearly not aware of the
9 significant literature about measurement variability in
10 GCS assessment."

11 And that's really what he wants to address. He
12 takes issue with you at the part of your report, which
13 is 238-002-075, which I think is in your full report,
14 and it says -- sorry, can we go back to where we were?:

15 "It was stated that Claire's CNS observations had
16 remained stable over a period of time and no clinical
17 signs of further deterioration were noted. This is not
18 correct. The GCS reduced over the evening and had done
19 so by the time the blood sodium level was available."

20 And then he refers to the evidence that he's going
21 to -- which he does, the papers that he does adduce are
22 attached to his statement -- and he says on the basis of
23 that your statement is unreliable and that her GCS
24 values during the day are:

25 "... entirely compatible with Claire's neurological

1 condition remaining stable, although she was clearly
2 seriously ill, and that they should not be interpreted
3 as indicating a decline in her condition over the
4 period."

5 I have to say, it would appear from that that he's
6 rather extended the record and he's not just talking
7 about any change from 8 to 9; he refers to "during the
8 day".

9 So if we can just pull up the schedule which shows
10 her GCS scores. 310-011-001. The record doesn't take
11 you past 9 because they remained fairly constant at 6 or
12 7, depending on how you are looking at it. Perhaps
13 we can have alongside that the central nervous system
14 observations sheet. It's 090-039-137.

15 So that table is to extract the information from the
16 top part of that as well as adding, in red, an
17 observation that Dr Webb made when he examined Claire at
18 2 o'clock in the afternoon. But the full CNS
19 observation chart has all the other information that
20 they were recording in relation to her, and you can see
21 what it is. In addition to that, although we don't have
22 space to put it up, there's the record of attacks, which
23 indicate when she had her seizures -- or her episodes --
24 which are 3.25, 4.15, 7.30, I believe, and 9 o'clock.

25 So the question that's being put is, firstly, do you

1 look at the GCS score alone to give you a view as to
2 whether a patient is deteriorating, or what information
3 from all that's being recorded are you actually looking
4 at to form that view?

5 A. Well, if a clinical review is undertaken by a nurse or
6 a doctor, they're looking at the general state of
7 a child --

8 Q. Yes.

9 A. -- and they use additional measures such as the
10 temperature, pulse, respiration, oxygen saturation.
11 In the context of neurological problems, the GCS is
12 used. It's a clinical scoring system and my own
13 experience of clinical scoring systems is that they are
14 subject to interobserver variability. All of them are.
15 Croup scores, our own observation scores. I have video
16 evidence of children's breathing rates and asked two
17 doctors to rate them and they come up with different
18 figures.

19 So there is an observer error in any clinical
20 scoring system and that is one of its defects. On the
21 other hand, the GCS in children, the children's version,
22 is used, it's very frequently used, it's used in head
23 injury in particular because falls will trigger certain
24 actions such as further scanning or neurosurgical
25 intervention. It has been used widely in coma and it

1 has also been used, even with its defects, in structured
2 research into coma and head injury.

3 So it is adopted in research and clinical practice,
4 even if it has these variations. I think that
5 Professor Young is making a valid point, but it is the
6 best that you have.

7 THE CHAIRMAN: Sorry, let me ask you to pause. The specific
8 criticism of you is that you're one of a number of
9 expert witnesses who appear to be unaware of this
10 literature and its relevance to the interpretation in
11 changes of Claire's condition. Are you unaware of the
12 literature about the variability in measurements in GCS
13 assessment?

14 A. In general terms, not specifically GCS, but in general
15 terms about any observation score because that is
16 something we have encountered in our own research.

17 THE CHAIRMAN: So do you think it's fair for Professor Young
18 to criticise you for being unaware of this literature
19 and, by extension, of this issue about variability?

20 A. Then he would be criticising the
21 neurological/neurosurgical profession handling children
22 in that respect and I suppose we would all have to admit
23 that that is an opportunity to be exposed to criticism.
24 Because literature is there, one would be generally
25 aware that the literature on variability in scoring

1 systems is -- we know that, it's just general background
2 knowledge. The point is, I suppose, in adopting such
3 a scoring system, one is conforming to what is accepted
4 practice and this is what was accepted practice in
5 paediatrics.

6 THE CHAIRMAN: In other words, it might be imperfect, but
7 it's the best available practice?

8 A. It's the best that we have. It's even worse in young
9 children, in small children who can't talk, for example,
10 so you can't easily assess the -- this is why I referred
11 yesterday ... In our own research studies, we've not
12 used the GCS, but that's because we used a simpler
13 system, the AVPU: alert, voice, pain and
14 unconsciousness. But the principle that Professor Young
15 is raising is an interesting and valid one. I suppose
16 one could argue, if he is saying -- and I haven't looked
17 in detail -- that, let's say, it could be variable by
18 two points, you could also argue on that basis of logic
19 that the score, say at 6, could have been ... Or the
20 earlier ones could have been 10 or 9 and also you could
21 say that the 6 could have been 4 or 2.

22 So it is the best that you have and it could have
23 been worse or it could have been better. That would be
24 one way of saying that it's open to criticism.

25 THE CHAIRMAN: Thank you.

1 MS ANYADIKE-DANES: Just so that we're clear about that
2 point, you're not saying that you don't appreciate that
3 there are studies, there is literature, there are
4 concerns about the extent to which you can rely on it
5 rigidly or how accurate any system of scoring is?
6 You're not saying you're not aware of that.

7 A. No.

8 Q. You're simply talking about what you use and how you use
9 it and why you use it?

10 A. Yes.

11 Q. In terms of that sort of criticism, is that what you
12 would have been taking on board when you were trying to
13 develop your own scales? And I think yesterday, when
14 I was taking you through your curriculum vitae, you
15 talked about the development of the acute illness
16 severity scale and other instances where you're trying
17 to bring some objective scale and structure to help
18 people in assessing the seriousness or the type of
19 illness of a particular child is presenting. So you're
20 aware of that sort of thing in developing scales of that
21 nature?

22 A. Yes, certainly so.

23 Q. And I think when you were answering the chairman just
24 now, you said you, in your hospital, didn't use the
25 Glasgow Coma Scale, you used a modified, simpler

1 version. In order to make the decision to move from one
2 to the other, you are taking on board the implications
3 of that for how reliable they can be in the detail of
4 them, if I can put it that way?

5 A. Well, may I just clarify that point? In general
6 paediatrics in my own hospital we use the AVPU scale.
7 In the research studies that we've been doing, we have
8 been using the AVPU scale. Also, in my own hospital, we
9 use the GCS. The reason we do that is that we have
10 traditionally always taken children's head injury under
11 the care of the paediatric team. That varies a bit
12 between hospitals, but ever since I went to Pinderfields
13 we have also taken under our case admissions with minor
14 head injuries and we use the GCS in every such child.
15 Now that varies across the country, whether children
16 with a minor head injury go under a paediatrician or do
17 they go under a surgical specialty. And the general
18 advice is that they should go under paediatricians'
19 care, but it does vary a bit across the country.
20 Sometimes they go under orthopaedic surgeons, sometimes
21 under general surgeons if there isn't a neurosurgical
22 service on site. So we have been using the GCS in my
23 own hospital is the bottom line on that.

24 Q. And just finally on scales, isn't it the case that all
25 children, when they are born, get given an Apgar scale?

1 A. Yes. That is a little bit more reliable though, but
2 yes.

3 Q. That is a scale as well.

4 A. Yes.

5 Q. Just to go to how one might try and deal with the
6 interobserver variability, and I think the point which
7 I think you've conceded to Professor Young is a fair
8 one, a point that's been made is in particular there are
9 changes in shift, so it may be that within the shift
10 it's perhaps not always the same nurse who does the
11 observation, but certainly there are whole changes of
12 shift when you don't even have perhaps the opportunity.
13 And that's noted on the schedule. Between 2 and 3,
14 you'll see a red vertical line, and between 8 and 9
15 you'll see a red vertical line. That's to indicate
16 changes in shift.

17 This point about the Glasgow Coma Scale was put to
18 the inquiry's expert, Ms Ramsay, who's the inquiry's
19 nursing expert. Her point about that is that very often
20 if there was a -- I hope somebody will call up the
21 reference to it for me. Very often, if there was
22 a change or a nurse felt that she was going to apply
23 a score which was slightly different, she might go and
24 speak to the nurse who had recorded the earlier score
25 and they might talk about it and she might get a view as

1 to whether there was a reason for her difference or it
2 was just her particular take on it.

3 THE CHAIRMAN: Or speak to the parents, she said.

4 MS ANYADIKE-DANES: Or speak to the parents, who were
5 usually there all the time, and get a sense as to
6 whether what she is noting is actually a real change or
7 just a difference in perception. There are ways in
8 which one can try and bring some greater accuracy to
9 what is otherwise a subjective test, if I can put it
10 that way.

11 A. Yes. I think the ideal, of course, would be one person
12 doing a sequential scoring, but that doesn't happen in
13 practice. It is a shorthand way of being able to hand
14 over what a person's impression was of the level of coma
15 from one point to another. Because otherwise, it could
16 be quite a long way of having to describe it. So it is
17 the best measure, if you like, that we have of the
18 condition in Claire. And in order to address two
19 further points, if I may.

20 Q. Yes.

21 A. Professor Young criticises my comment. I would also add
22 in the fact that, over that time in question, when she
23 was, according to Professor Young's view, possibly
24 stable and my view was she was not really stable, was
25 the emergence of a further seizure at 9 o'clock

1 sufficient to require additional therapy. So that is
2 one point.

3 The last point before I finish answering your
4 question is to just to deal with the question of whether
5 was I aware of literature about scales. And it just
6 occurred to me that one of the examples where there is
7 interobserver variation is in the assessment of children
8 with dehydration between individual observers. That is
9 based on a clinical assessment and scoring system and
10 I have a publication on that in relation to diarrhoea
11 and vomiting and I can refer you to it, where we
12 acknowledge the interobserver variation in a clinical
13 observation scoring system.

14 Q. And I've found now the reference for Mrs Ramsay. It was
15 her evidence on 8 November. It starts at page 60 at
16 line 12. It's Mr Reid asking the question:

17 "I presume that there would be different times when
18 you were taking a Glasgow Coma Scale result, and from
19 your experience what did you find about the differences
20 between the subjective views of each of the different
21 nurses when it came to assessing someone for a GCS
22 result?"

23 And her answer is:

24 "Well, it depends on the expertise of the person
25 that's doing it, and possibly, if you then get more

1 expertise of the individuals, then you get greater
2 consistency. If your assessment varies from the
3 previous one, then you would either recheck it to see
4 which one of you is the closest to it, or get somebody
5 else to come and check what you've observed because
6 there is some subjectivity to these assessments and some
7 level of expertise in terms of interpreting what you are
8 seeing in front of you."

9 He summarises that, Mr Reid as:

10 "You might double-check it yourself, you might bring
11 another member of staff."

12 And then your point, Mr Chairman, at line 11:

13 "Yes, but also for some of these things you can ask
14 a parent's view as well because the parents are the
15 constant, so they might have been there when the
16 previous person did things, and so you are asking 'How
17 did Claire respond last time?'"

18 And that would give you an indication.

19 THE CHAIRMAN: Okay.

20 MS ANYADIKE-DANES: So nonetheless, is your view that the
21 Glasgow Coma Scale is a useful tool?

22 A. Yes.

23 Q. But it's not the only tool?

24 A. No.

25 Q. So if you were trying to assess whether Claire's

1 condition had deteriorated over the day or over the
2 afternoon or even just between 8 and 9, you would be
3 looking at other recorded results and obtaining other
4 information?

5 A. Yes. Looking at your general impression of her clinical
6 state would be one. The emergence of seizures, as
7 I have just referred to, and she had another episode at
8 9 o'clock. And so the clinical assessments are not
9 confined to the GCS. Our problem, I suppose, with
10 Claire is that there is no other record in the notes to
11 which a reference can be made.

12 THE CHAIRMAN: Because no more tests were carried out on --

13 A. No more tests, no more clinical notes were added. The
14 9 o'clock assessment was followed by a change in the
15 midazolam dosage, I think, by one of the junior doctors.
16 Dr Hughes, I think it was. So there was a sufficient
17 concern about her change in neurological state in terms
18 of her seizure to increase the midazolam infusion. So
19 that would be difficult to say that there wasn't
20 a deterioration and it would be difficult to say that
21 she was stable in those circumstances, given the drop
22 in the GCS. It's on the basis of the evidence available
23 that one would say it would be difficult to assert that
24 she was stable.

25 MS ANYADIKE-DANES: Yes. You're right, the records show

1 episode, or both, that's relevant?

2 A. What is relevant is that it was some kind of disturbance
3 of her neurological status.

4 Q. Thank you.

5 A. It could be epileptic. In other words, a fit. But in
6 brain oedema it is possible, when the brain swells, to
7 get odd movements generated as part of the disturbance
8 of intracranial pressure and they become generated from
9 the brainstem if it is ... Or the basal ganglia may get
10 disturbed. These are parts of the brain which are not
11 necessarily generating seizures, but they're generating
12 what are called dystonic movements -- either extension
13 of the trunk, flexion or extension of the arms -- and
14 these may be non-epileptic episodes indicating brain
15 swelling and they're open to either. You may, if you're
16 doing cerebral function monitoring, which is a
17 continuous EEG, determine between the two, but if
18 you are not doing cerebral function monitoring, then it
19 is open to question what it is and it was not
20 unreasonable to consider an adjustment in the
21 anti-epileptic therapy in response to that.

22 Q. It wasn't so much that I was asking you; it was to ask
23 you to clarify your position that this is part of what
24 led you to believe there had been a deterioration in her
25 condition. The mother herself, who saw it -- and maybe

1 her father saw it too -- they certainly described her
2 screaming and drawing up her arms, but to them it looked
3 as if she had shocked herself out of her sleep and she
4 was sudden -- and her eyes were open. Somebody will
5 find it in the transcript if I've misdescribed it. In
6 any event, that was their characterisation of it.

7 Obviously they're not trained, they weren't sure
8 what it was, but that's how it struck them. This is how
9 the nurse has recorded it. However it's described, is
10 it to you an indication of a deterioration in her
11 condition?

12 A. It's an indication that she was unstable.

13 Q. Thank you.

14 Mr Chairman, I'm going to pass over Dr Webb's
15 examination at 2 o'clock. Professor Neville has
16 described the criticisms that he makes of it and I think
17 it starts at ...

18 THE CHAIRMAN: Dr MacFaul touched on this yesterday when he
19 said what you would be critical of Dr Webb for at
20 2 o'clock is the lack of testing which he directed on
21 foot of his examination.

22 A. Yes.

23 MS ANYADIKE-DANES: Yes. Well, Professor Neville has
24 expressed his view in not such dissimilar terms, in
25 fact, at 232-002-008 going on to 009. In Dr MacFaul's

1 own report, he talked about the lack of testing and he
2 also said at 238-002-046 that a neurologist really ought
3 to have been aware of the risk of the development of
4 raised intracranial pressure even if there were no signs
5 of it at the time.

6 So I think Dr Neville and Dr MacFaul are not so far
7 away from each other and, in that case, I don't propose
8 to go into it any further.

9 THE CHAIRMAN: I don't require it unless anybody else
10 requires it. No? Okay, thank you.

11 MS ANYADIKE-DANES: There might have been a question I was
12 asked specifically to raise. (Pause).

13 I think actually, you may have touched on it
14 a little bit yesterday, but just for clarity because
15 we have been asked.

16 If, at 2 o'clock, Dr Webb was under the impression
17 that the serum sodium level was 132, what at that stage
18 do you think he ought to have done?

19 A. In my view, he should have recognised that the slightly
20 out of range sodium -- it was out of range, not by
21 definition hyponatraemia, but out of range -- should
22 have triggered him to consider that inappropriate ADH
23 and/or water overload were present because both of these
24 conditions are contributory to evolving brain oedema and
25 brain oedema was a risk because of the brain problem

1 which Claire had.

2 Q. Thank you. Then if I might ask you about the CT scan
3 before we go on to Dr Webb's examination at 5 o'clock
4 in the afternoon. Professor Neville regarded the lack
5 of a CT scan as a major omission. In fact, he believed
6 that it should have been carried out on the evening of
7 the 21st. The reference for that, which we don't need
8 to pull up, is 232-002-004.

9 He also thought it should have been carried out
10 at the very latest by the morning of the 22nd. That's
11 232-002-007. And in any event, it should have been
12 carried out before the administration of any further
13 anticonvulsant medication other than the rectal
14 diazepam. When I had read out a part of his report to
15 you about testing, Professor Neville always thought that
16 the rectal diazepam was probably all right to
17 administer; it's what you did thereafter.

18 In terms of the carrying out of a CT scan,
19 do you have a comment as to the views that
20 Professor Neville has expressed there?

21 A. Well, I think that a scan was indicated, but exactly
22 when, I would defer to Professor Neville, I think, on
23 that point.

24 Q. Thank you.

25 A. As far as should it have been done, the answer is yes.

1 And the reason why is that you could not, at that stage,
2 know why Claire had a brain disease. And amongst the
3 conditions that could have been present would have been
4 a brain tumour of long-standing, which had just become
5 increased in size. There could have been even a small
6 bleed because she might have had a head injury that
7 somebody hadn't noticed if she'd tripped over. And
8 there could have been even a brain abscess, exceedingly
9 rare, but it does happen, without there being a fever.
10 In other words, there could have been a structural
11 lesion within the brain responsible for her brain
12 illness. And she did have focal neurological signs. In
13 other words, a difference between the sides which was
14 reported on admission. And all of these features would
15 indicate that a scan was necessary to either include or
16 exclude those conditions because one of them -- for
17 example, an abscess or a tumour, another -- would
18 require a neurosurgical intervention.

19 Q. Thank you. Then if we come now to Dr Webb's actions at
20 5 o'clock in the afternoon. Both Dr Scott-Jupp and
21 Professor Neville were asked to comment on what actually
22 happened and, more to the point, what they thought
23 should have happened at 5 o'clock in the circumstances.
24 If I provide you with Professor Neville's views. He
25 thought that Claire's state at 5 o'clock when she was

1 examined by Dr Webb required a diagnostic assessment of
2 the cause of what he considered to be her deterioration.
3 So he was of the view she had deteriorated and what was
4 required was some sort of diagnostic assessment of that.
5 That would have included electrolyte testing, an EEG, a
6 CT scan, if it hadn't already been done. And the
7 reference for that is 232-002-010.

8 He also considered that any differential diagnoses
9 should have specifically included the causes of raised
10 intracranial pressure, particularly as they are quite
11 common and he regarded them as potentially treatable.
12 And that's on the same page. And staying with the same
13 page, he said that any review of Claire's condition
14 should also have included a review of the prescribed
15 drugs. Do you differ in any way from him or wish to add
16 anything to that?

17 A. No, I agree.

18 Q. Thank you.

19 THE CHAIRMAN: Is this the difference, doctor? Can I ask
20 you it in this way. If Dr Webb had come through at
21 5 o'clock and he had seen that Claire had responded,
22 that her condition had improved, then he may have been
23 able to leave the hospital at that time or not long
24 afterwards with some reassurance that the treatment
25 he had prescribed for her was working, so you could

1 relax to some degree. But when he goes along at
2 5 o'clock and there isn't any clear improvement, despite
3 the drugs which she's been administered on his direction
4 during the afternoon, that then becomes more worrying,
5 doesn't it?

6 A. It does, sir, yes, but I was taking my approach as
7 clinical governance, and on that I would just say how
8 was the care management plan consistent with guidance
9 at the time? The guidance at the time was, by that
10 time, a range of blood investigations should have been
11 done and reported and a CT scan and an EEG should have
12 been carried out. In other words, to conform with what
13 Professor Neville has said, by that time a more precise
14 explanation should have been obtained of the cause of
15 the underlying brain disease.

16 THE CHAIRMAN: Thank you.

17 MS ANYADIKE-DANES: What in fact happens is he prescribes
18 yet more medication.

19 A. Yes.

20 Q. I think you have, to some extent, addressed the question
21 of admission to paediatric intensive care. But just so
22 that we're clear in terms of the timings of
23 consideration for these things, is that a time when you
24 think that might be considered, along with all the other
25 things that Professor Neville had indicated and you've

1 just agreed with?

2 A. I think in my own view on this, it depends on whether or
3 not Dr Webb recognised that the dose of midazolam was
4 what he had intended or was an overdose. I don't know
5 what he intended, and we have referred to that this
6 morning. I suspect it was more than he intended, but
7 that's a suspicion only. Had that been the case, then
8 an overdose would have occurred and that would have been
9 a good reason to consider intubation and ventilation
10 in that circumstance, and that would mean inviting an
11 intensive care specialist to come and see Claire and get
12 her into the intensive care unit. So there was an
13 opportunity then to do that.

14 THE CHAIRMAN: Okay. That's one scenario. If he didn't
15 realise, as appears to be the case, that there was an
16 overdose when he examined her at about 5 o'clock, in
17 terms of a referral to PICU, what is your position?

18 A. Well, I think that by that time he should have
19 considered that cerebral oedema was a significant risk.
20 He ideally should have had a feedback from his blood
21 investigations ordered at 2 o'clock, but he didn't. As
22 a minimum, I think he should have had a forward plan,
23 which would have included that as a contingency.

24 THE CHAIRMAN: Would that involve making contact with the
25 anaesthetist in PICU to discuss with them, so even if

1 she doesn't go into PICU at that point, there's at least
2 a discussion?

3 A. Yes, there's a view around, and it's still current, that
4 if you have a child that is likely to require intensive
5 care, and you've got your intensive care on site, it's
6 a good idea to discuss, if nothing else than to give
7 warning that this may be a problem in the evening.

8 THE CHAIRMAN: Thank you.

9 MS ANYADIKE-DANES: Is that also the case if you're
10 considering, as Professor Neville thought that he might
11 be considering, or ought to have been considering,
12 raised intracranial pressure? Because a way of dealing
13 with raised intracranial pressure, amongst other things,
14 might be ventilation. And if that was the case, that
15 would also require being carried out in paediatric
16 intensive care.

17 A. For certain that would be a good indication for
18 intubation and ventilation electively. Cerebral oedema
19 was very much on the cards at that point, even in the
20 context of managing non-convulsive status because
21 cerebral oedema can complicate status epilepticus.

22 Q. So in terms of having the discussion, I think the way
23 you put it to the chairman, even simply to put them on
24 notice that something like that might happen, might that
25 be a prudent thing to do if you're about to go off duty

1 and then that makes it rather easier for the registrar
2 who remains, or the junior team who might have to do
3 that without your assistance, if you've already raised
4 that with the paediatric team in intensive care?

5 A. Well, yes, because at that point Claire, in his eyes,
6 was being managed for status epilepticus with pretty
7 maximal medication. The next step, if that didn't
8 control the seizures, would have been -- to control the
9 seizures alone would have been to proceed to elective
10 ventilation because you would be adding some other
11 medication such as thiopentone, which stops respiration,
12 in effect.

13 Q. Yes. If we actually look at what he recorded for
14 5 o'clock, it's 090-022-055. At this stage, he's
15 acknowledged that she's had her loading dose of
16 phenytoin. That in and of itself was too much because
17 of the way it was calculated. She had had a bolus of
18 midazolam. And he acknowledges that she continues to be
19 largely unresponsive. So despite all that's gone
20 before, and as the chairman said, his treatment therapy,
21 she's not been responsive to that.

22 Then he takes the background from her mother, then
23 he formulates this plan, which is to deal with the viral
24 sides of things, check the cultures, and then add
25 a further anticonvulsant. But in terms of the matters

1 that you were just raising with the chairman for the
2 plan, where in that plan do you find plan B for if the
3 treatment with the anticonvulsants is not successful in
4 the way that it hasn't been successful all afternoon?
5 What's the plan B in there?

6 A. Well, there is no recorded forward contingency plan, as
7 we call plan B, which would have been good practice.

8 Q. So does that mean, without any foresight as to what
9 actually might happen, which isn't signalled there, or
10 what people should be looking out for, which is also not
11 signalled there, it's left to the rather overstretched
12 registrar and the junior members to determine who they
13 contact, when they contact them, and what they do,
14 should her condition deteriorate?

15 A. Yes. I think the other missing thing there is the
16 inter-reaction between Dr Webb and the consultant who is
17 undertaking her care.

18 Q. Yes. That probably does bring us on to that. But
19 before we get quite there, I wanted to ask you about
20 an issue to do with keeping Dr Steen informed or
21 Dr Steen keeping herself informed, if I can put it that
22 way, because that does lead on to the other question
23 about the relationship between the two consultants.

24 So far as you can help us, whose responsibility was
25 it during the various stages of the day, if I can put it

1 that way, to ensure that Dr Steen knew what was
2 happening to and with Claire? In terms of whose
3 responsibility, the three that I have in mind are
4 Dr Steen herself, Dr Sands and Dr Webb.

5 A. Well, I think Dr Webb and Dr Steen had mutual
6 responsibility to keep up-to-date. I think that Dr Webb
7 had been asked to provide an opinion and, in effect,
8 take a lead in the care of Claire while her responsible
9 consultant remained Dr Steen. He had been asked by the
10 registrar on behalf of Dr Steen. I think my view
11 is that each had a responsibility to ensure that there
12 was a discussion, either face-to-face or on the
13 telephone.

14 Q. You mean in terms of him becoming involved at all?
15 Because Dr Steen might not have appreciated that at the
16 time it happened.

17 A. No, I mean around 5 o'clock. Because he had been
18 engaged with assessing Claire. He had instructed some
19 therapy and he was reviewing the effect of the therapy.
20 So he had come to a position where he was ready, if you
21 like, to discuss with Dr Steen and, equally, if Dr Steen
22 was aware and, if she was aware, that Dr Webb had seen
23 her on her behalf, then it was incumbent for her to find
24 out what he had come to conclude.

25 Q. If we come to the period before Dr Webb is either

1 contacted, which may have been round about noon, or
2 actually first examines Claire, which is about
3 2 o'clock, but if we come into the morning. Dr Steen's
4 rota meant that she was scheduled to be in the hospital
5 that morning. During the afternoon, she was going to be
6 at a clinic, which is off the site, but at least she was
7 scheduled to be there that morning. And you will know
8 that there are issues as to where she was and so on.

9 But leaving that aspect of it aside, whose
10 responsibility, as between Dr Steen and Dr Sands, was it
11 to make sure that, by the time she leaves for her
12 clinic, she is aware that a child like Claire has been
13 admitted under her care and the belief at that stage
14 that she is neurologically very unwell, the differential
15 diagnoses are for status epilepticus, encephalitis and
16 encephalopathy?

17 A. Well, I think it would have been Dr Steen's
18 responsibility to find out what was happening to
19 children admitted under her care and, in particular, to
20 children who were unusually unwell. And Claire was
21 clearly somebody who was significantly unwell. So it
22 was her responsibility to determine whether there were
23 any children like Claire because she may not have been
24 the only one on the ward before she went off to her
25 clinic. When she did that, ideally before the morning

1 started, if you like, but if she was not able to attend
2 the ward then at least by a telephone call, and then
3 subsequently if she was in the hospital, by a meeting
4 with her registrar who had conducted the round on her
5 behalf to determine whether there were any children that
6 she should have seen or at least been in a discussion
7 with before she left for her clinic.

8 Q. Thank you. During the afternoon, is it the
9 responsibility of her registrar to keep her up-to-date
10 with what has happened to Claire or is it her
11 responsibility to phone in and to see how matters lie?

12 A. Well, if she was aware that Dr Webb was seeing Claire
13 and she was aware that Claire was significantly unwell,
14 it was her responsibility at least to ensure that she
15 spoke to Dr Webb. Of course, Dr Webb might have
16 consulted her, had a discussion with her around
17 5 o'clock, but he didn't. And in absence of that, she
18 should have contacted him by telephone as a minimum.
19 The role of the registrar -- well, he was aware of what
20 was going on and I think it would be ... I believe he
21 had a discussion with Dr Steen at some time.

22 Q. He did, in the afternoon at some point.

23 MR GREEN: Perhaps if Dr MacFaul's memory could be refreshed
24 as to what Dr Sands' recollection, as supplemented by
25 his -- as you've used the phrase on a number of

1 occasions, sir -- best guess is. If we can pull up the
2 transcript for 19 October at page 182 to start with,
3 please.

4 The run-in to it is at line 3 where Dr Sands sets
5 out his understanding that Dr Steen was the consultant
6 under whom Claire was admitted. There's no issue,
7 of course, about that. Then he begins to set out what
8 he would have said to Dr Steen in that paragraph.

9 Then if we move down to line 19:

10 "Well, I may have talked to Dr Steen by that point.
11 I know that I talked to Dr Steen after I had spoken to
12 Dr Webb, but I can't time my conversation with Dr Steen
13 exactly."

14 THE CHAIRMAN: Would you remind me: does that mean he can't
15 remember whether he spoke to Dr Steen after Dr Webb had
16 been to see Claire at 2 o'clock-ish or after
17 5 o'clock-ish? He believes that he spoke to her once
18 but he can't time --

19 MR GREEN: He believes he spoke to her once. I think, if
20 you just bear with me for a moment, that he's unsure,
21 although he accepts that he may well have spoken to her
22 after he had referred the matter to Dr Webb, but before
23 Dr Webb had seen Claire. Because if we go to page 183
24 at line 16, his recollection was that it was early
25 in the afternoon.

1 THE CHAIRMAN: Thank you.

2 MR GREEN: And then finally, if we can just follow this
3 through, if we go to page 185 at line 19, he adopts what
4 Ms Anyadike-Danes put as to what would have been said
5 during that conversation. Starting with how Claire had
6 been admitted, what her presentation was and, perhaps
7 most importantly, what Dr Sands felt:

8 "... because I had just examined her on the ward
9 round and what my specific concerns were ..."

10 Which would suggest perhaps it was shortly after the
11 ward round.

12 Then page 186, he says at line 3:

13 "'Neurologically very unwell' is a term that I've
14 used, I think, in witness statements, and I think did
15 describe how I felt about Claire, that her problems
16 appeared to me to be neurological and of a serious
17 nature."

18 Then Ms Anyadike-Danes asks the following pointed
19 question:

20 "Question: What was your expectation that Dr Steen
21 might do as a result of realising her patient was
22 in that condition so far as you saw it at that stage?

23 "Answer: I'm not sure. I'm not sure at the time
24 what I would have expected Dr Steen to do except to
25 perhaps keep in touch, preferably to talk to Dr Webb if

1 at all possible."

2 Next question:

3 "Question: What would you have actually wanted her
4 to do?

5 "Answer: Ideally, I would have liked her there."

6 I raise that series of passages for two reasons:
7 first of all, to help Dr MacFaul's memory to be
8 refreshed on the matter; and second, I wonder if he
9 might be invited to comment on whether he and Dr Sands
10 are at one with the minimum expectations of Dr Steen as
11 Dr Sands set them out at lines 10 to 12 of that page.

12 MR FORTUNE: To assist Dr MacFaul as well, so far as
13 Dr Steen is concerned, you'll recall, sir, that Dr Steen
14 has no specific recollection of the events, no specific
15 recollection of being telephoned by Dr Sands or what
16 Dr Sands said. But Dr Steen did believe that she made
17 contact with the ward about 5 o'clock or when her clinic
18 ended and was given some reassurance, in whatever terms,
19 that there was nothing to bring her into the ward
20 immediately. There is no question of her speaking to
21 Dr Webb or being contacted by Dr Webb during the course
22 of the afternoon.

23 MR GREEN: I'm grateful for Mr Fortune's interjection.

24 However, just to bring us back to the point I'm seeking
25 clarification about, I just wanted to know whether

1 Dr MacFaul and Dr Sands speak with one voice on this
2 issue.

3 THE CHAIRMAN: I think the point, doctor, is this: having
4 seen what Dr Sands had to say at the hearing, do you, in
5 broad terms, think that he did what you would have
6 expected him to do as a registrar?

7 A. Yes.

8 THE CHAIRMAN: And would you be critical of him for not
9 doing more than that?

10 A. No. He did ask Dr Webb to see Claire as well and that
11 was a very responsible action. Whether that was
12 following or before Dr Steen's discussion with him on
13 either side, it was a good thing to do. And the
14 expectations that he had of Dr Steen are entirely
15 reasonable.

16 MR GREEN: Thank you very much.

17 THE CHAIRMAN: Thank you.

18 MS ANYADIKE-DANES: Thank you.

19 The other matter that I wanted to address in terms
20 of just keeping Dr Steen informed -- it's one area,
21 of course -- is Claire's condition and how she has fared
22 over the day and what the various therapies are that
23 have been tried. There is another issue to do with what
24 her parents know about her and what's happening and
25 what's likely to happen.

1 Whose responsibility was it, as between Dr Steen,
2 Dr Sands or Dr Webb, in terms of Dr Steen finding out
3 what the position was with Claire's parents?

4 A. I think it would have been good practice for Dr Webb to
5 have spoken to the parents, and I suspect that he did,
6 I can't again remember --

7 Q. No, sorry, it's a different question I'm asking you.
8 It's not whose responsibility it is to speak to her
9 parents; at the moment I'm trying to find out who should
10 have been keeping Dr Steen informed. And the things
11 that we have so far, or I have raised with you, are to
12 do with the differential diagnoses for Claire, how she
13 has fared over the day, what the treatment therapies
14 were and so forth; the other issue is what her parents
15 know.

16 Is it for Dr Steen to find out, what did this
17 child's parents know about her condition and what's
18 being done? Is it for Dr Sands to let her know: don't
19 worry, they're being kept informed, you don't need to
20 concern yourself about that? Or is it for Dr Webb to
21 tell Dr Steen: I've spoken to them, I have briefed them
22 so far as I can on the neurological aspects. How is
23 Dr Steen to find out what Claire's parents know?

24 A. The normal mechanism is by communication through the
25 registrar, but of course at this point I suspect that

1 the therapy plan and assessment was still ongoing in the
2 afternoon.

3 Q. Yes.

4 A. And so by around the 5 pm time, one of those doctors
5 should have taken some steps. But the responsibility
6 ultimately was Dr Steen's because Claire was admitted
7 under her care. So she perhaps should have either seen
8 the parents herself or assured herself that somebody had
9 kept the parents involved. That might have been,
10 of course, through a telephone conversation with one of
11 the nursing staff because the nursing staff are often
12 conduits for information at more frequent intervals than
13 the doctors' interaction.

14 Q. But in any event, the issue, if I have you correctly,
15 should have been a live one for Dr Steen, "What do
16 Claire's parents know about her admission?", and she
17 should have been informing herself as to what they
18 actually do know --

19 A. Yes.

20 Q. -- and how that information is to be provided to them if
21 it hasn't already been provided to them.

22 A. Yes, I agree with that.

23 THE CHAIRMAN: Subject, surely, to this, doctor, that if
24 there appears to be trouble in tracing or finding
25 Dr Steen, then somebody else has to speak to the

1 parents? Because if you can't contact the consultant
2 who's responsible, then the parents shouldn't be left
3 waiting until God knows when.

4 A. I agree with that. I think it then falls on to Dr Sands
5 or Dr Webb. Sometimes, of course, in this situation, in
6 real life, it's the nursing staff who say to the
7 doctors, "Go and see them".

8 MS ANYADIKE-DANES: Mr Chairman, I am going to come and ask
9 that question specifically. At the moment, I was trying
10 to find out how Dr Steen should have got that
11 information for herself or whether indeed she should so
12 that she should have ended up the day being satisfied
13 that the parents have the appropriate information or if,
14 they haven't, how that's going to be addressed. That's
15 going to be my next question. Who should be responsible
16 during the day for keeping the parents appropriately
17 informed? If I then go to that question, which is part
18 of a larger one, which is to do with consultant
19 responsibility.

20 You have expressed the view that Claire should have
21 been seen by a consultant in the morning following her
22 admission or, at a very minimum, she should have been
23 discussed with Dr Steen. I think you've dealt with
24 that. You go on to say in your report:

25 "Dr Steen was the responsible consultant throughout

1 Claire's stay and there is no indication in any
2 documentation that consultant responsibility was
3 transferred."

4 That is certainly Dr Webb's position, that it never
5 was, he didn't ever accept her as his patient. As far
6 as he was concerned, he was providing expert guidance
7 and direction. I wonder if you could expand your point
8 that, so far as you're concerned, Dr Steen was the
9 responsible consultant throughout Claire's stay.

10 Can you explain what you mean by that and what the
11 implications of it are in terms of responsibility?

12 A. Well, the consultant responsibility is to ensure that --

13 Q. I'm sorry, I'm talking about 1996.

14 A. The consultant responsibility in 1996 was, to a large
15 degree, the same. They are responsible for ensuring
16 that the diagnosis and treatment and communication with
17 the parents is carried out to the best. If another
18 consultant is involved, then that consultant may, as
19 Dr Webb undertook, lead on the particular management and
20 offer an opinion and set out and advise on a treatment
21 plan, which he did. And the plan was implemented by the
22 general paediatric team on behalf of Dr Steen, so she
23 was responsible in a way for her junior staff in the
24 administration of the therapy plan. She was also
25 responsible throughout Claire's stay for being

1 up-to-date, if you like, with what was going on, or, if
2 she was not on call on the night of the Tuesday, to have
3 handed over to the consultant who was on call. Because
4 Claire was at least, even if Dr Steen was reassured
5 about the fact that a plan was in place and was ongoing,
6 she should have been aware that this -- I think it's
7 likely that Claire was an unusually ill child for the
8 ward that day -- to have ensured that the consultant
9 taking over was informed. The general paediatrician,
10 I mean.

11 Q. Yes. This question when it came to the management of
12 her fluid regime elicited different responses from our
13 experts, although they might have come closer together
14 when Dr Scott-Jupp was actually giving his evidence.
15 The question is: to what extent should the neurologist,
16 Dr Webb, have been involved or offered guidance and
17 opinion on her fluid management?

18 A. Well, in my view, and I've stated it in my report,
19 I expect part of the neurological opinion and treatment
20 plan in an acute encephalopathy is to encompass the
21 management of the fluids. By that, I mean he should
22 have advised on the fluid treatment plan because of the
23 reasons we've discussed, of the need for fluid
24 restriction and adjustment of the sodium.

25 That advice should have been given to the junior

1 paediatric team either verbally or in writing in the
2 notes. The fact was that the prescription and
3 administration of the fluids was undertaken by the
4 junior paediatric team, general team, but they should
5 have been working to a plan set out by the neurologist
6 in the same way as the drug therapy was set out by the
7 neurologist, but the prescription of it and the
8 administration of it was undertaken by the general
9 paediatric team.

10 Q. I understand.

11 Are you of the view that because of the particular
12 role or implications of fluid management in the
13 treatment of her neurological condition, if I can put it
14 that way, it is so integrally bound up with each other
15 that that is something that the neurologist himself
16 should have understood, appreciated and taken on board
17 as part of his responsibility?

18 A. That is my opinion on this matter, yes.

19 Q. Then if we go to the communications between consultants,
20 I was asking you before about how Dr Steen should have
21 been informed, and I think your view came down,
22 essentially, that it was her responsibility to know
23 what was happening with Claire and, so far as it can be
24 done, she should be taking the initiative to satisfy
25 herself as to what was happening, in broad terms.

1 But in terms of closer discussion, Dr Webb has been
2 asked to provide advice and guidance in relation to her
3 patient, and he is planning her drug therapy and seeing
4 what her response is to that and adjusting her drug
5 therapy, bearing in mind the possibility of a CT scan
6 the next day, that sort of thing. Because he's doing
7 that, to what extent should the two consultants have
8 been discussing Claire's treatment with each other and
9 who should have taken the initiative to do that?

10 A. Well, they should have discussed at least by telephone
11 if not face-to-face. The mechanism by which Dr Webb
12 communicated, I suspect, was through the junior staff.
13 So he may have felt that he had discharged that
14 responsibility and that that team would have kept
15 Dr Steen informed or that Dr Steen -- and this is the
16 preferable option -- would have, knowing about the
17 presentation of Claire, because we've just heard that
18 she did, made sure that she was kept up-to-date by her
19 juniors as a minimum, but preferably I would guess,
20 given the condition, that after she'd heard about it
21 from her juniors she would have initiated and should
22 have initiated a discussion with Dr Webb.

23 Q. If, as seems to be the case, although we do not know
24 exactly, that Dr Steen and Dr Webb have not actually
25 made contact with each other by 5 o'clock. He is about

1 to go off duty, although he remains on call. He's
2 adjusting her medication again. If he hasn't heard from
3 her, should he be contacting her irrespective of whether
4 it would have been preferable, prudent or protocol for
5 her to contact him? Should he be trying to reach her?

6 A. I think in terms of the balance of where the
7 responsibility lies, my view, which I'm trying to
8 articulate, is that it was the responsibility of
9 Dr Steen, really, because I think it would be fair to
10 say that Dr Webb had written in the notes, he had
11 written a drug therapy plan. I think he should have
12 written a fluid plan as well, which we've just
13 addressed. And he had had an interaction with
14 Dr Steen's team.

15 Q. Yes.

16 A. So to an extent, he could have satisfied himself that he
17 had discharged that responsibility in offering the
18 opinion and therapy plan to the general paediatric team.
19 I think therefore I would place the greater onus on
20 Dr Steen to have informed herself and to have initiated
21 a contact with Dr Webb, who had seen Claire on her
22 behalf.

23 Q. Then what do you think should actually have happened at
24 5 o'clock?

25 THE CHAIRMAN: In terms of what?

1 MS ANYADIKE-DANES: In terms of the plan going forward.
2 I don't just mean literally the prescription of
3 medication, but how Claire's care was going to be
4 managed.

5 MR FORTUNE: Is 5 o'clock before Dr Webb examines Claire?

6 MS ANYADIKE-DANES: Sorry, you're quite right. I mean after
7 he has examined her.

8 MR FORTUNE: And after he has spoken to her mother. So he's
9 got a full history and he's about to alter or has
10 altered the plan.

11 MS ANYADIKE-DANES: Yes.

12 A. Well, he has offered a plan, which we've just discussed
13 did not include a contingency plan for the forward
14 management. He may well have felt that by doing that,
15 he was now handing back to the general paediatric team
16 in the expectation that the general consultant,
17 Dr Steen, would become involved in some way. You could
18 argue, well, in not knowing that, there's the case he
19 should have initiated a telephone conversation, but
20 I think we've just covered that.

21 Q. Yes. So that's from his side. From Dr Steen, what do
22 you think should have been happening at about that time?

23 A. I think she should have seen Claire.

24 Q. She should have come back at the end of her clinic to
25 see Claire?

1 A. Yes.

2 Q. And if she had done that, what do you think should have
3 been happening? If she'd been able to do that and had
4 a meeting with Dr Webb, which would have been ideal,
5 I presume.

6 A. Yes.

7 Q. Let's say that happened. What do you think should have
8 been the outcome of that?

9 A. I believe she should have had a discussion with Dr Webb
10 either face-to-face or on the telephone as a minimum.
11 I think she should probably have written her own
12 assessment of what was going on in the records. And
13 that didn't happen. And I think that there should have
14 been some kind of contingency and handover plan, because
15 by that time Claire was pretty unwell, to the consultant
16 who was taking over for the evening.

17 Q. It wasn't going to be a consultant, it was going to be
18 a registrar.

19 A. I meant the consultant because, by 5 o'clock, either
20 Dr Steen was the consultant on call, and I don't know,
21 or overnight there was a consultant general
22 paediatrician responsible for Claire's management on
23 behalf of Dr Steen. That is the person, the shadow, if
24 you like, that hasn't appeared. I don't know who that
25 was.

1 MR FORTUNE: Nor does the hospital, apparently.

2 THE CHAIRMAN: No.

3 MR FORTUNE: Sir, can I ask Dr MacFaul whether, in these
4 circumstances, if Dr Webb for some reason is unable to
5 get hold of Dr Steen, Dr Webb is about to go off duty
6 but remains on call for the night, is there any duty on
7 Dr Webb to find out who the on-call consultant is to be
8 to speak to that consultant with a view to flagging up
9 what might be a problem during the course of the night?

10 THE CHAIRMAN: In other words, if Dr Webb doesn't speak to
11 Dr Steen at 5, 5.30, on Tuesday evening, should he speak
12 to the person who is going to be the on-call consultant
13 and/or speak to the oncoming registrar?

14 A. Either could have happened. I do think that there's an
15 argument for him, yes, to discuss with the consultant on
16 call. On the other hand, I believe Dr Webb was on call
17 himself that night. So he may well have felt that if
18 a problem was going to occur, he would have been
19 contacted as well. I don't know what his expectation
20 in that respect was. It's not written in the notes like
21 "Keep me informed" or anything like that. There's no
22 forward plan. But he would have envisaged that the
23 consultant paediatric team would continue looking after
24 Claire, whoever that consultant was.

25 If he had not had a discussion with the on-call

1 consultant, in other words if he and Dr Steen had not
2 communicated, then one could argue that he should have
3 contacted the on-call consultant, or indeed the
4 registrar.

5 MS ANYADIKE-DANES: That's on Dr Webb's side. On Dr Steen's
6 side, I was asking what you thought she should have done
7 ideally. Well, you think she should have come and seen
8 Claire. Ideally, she should have had an opportunity to
9 speak to Dr Webb either then or on the telephone. What
10 else do you think she should have done before she went
11 off duty?

12 A. Well, if she had done these two things, she should have
13 written in the notes what her assessment was and she
14 would have -- if she was on call herself that night,
15 that's fine. If she was not, I think she should have
16 contacted the consultant on call.

17 Q. And spoken to that consultant, effectively briefed the
18 consultant about Claire?

19 A. Yes, because it looks as though Claire was the most
20 unwell child on the ward that day. But of course, we're
21 talking about 1996 and we're talking about a regional
22 teaching hospital. I don't know what the convention and
23 practice was at that time. One of the things about
24 it is that within such a hospital, you have quite a lot
25 of supportive resources and you may feel the registrar

1 was, if you like, capable of picking up the strands.
2 I think there's a lot of evidence to show that those
3 registrars were very busy and really distracted from
4 carrying on plans and review to an extent which couldn't
5 be relied on. So I do think that Dr Steen should have
6 seen Claire, spoken to Dr Webb, written in the notes,
7 and then, if she wasn't on call, communicated with the
8 on call consultant.

9 THE CHAIRMAN: There's lots of options and hypotheses and
10 possibilities, but the one thing that does not appear to
11 have happened at any point is a consultant to consultant
12 conversation about Claire.

13 A. Yes, I think that is definitely really, in the
14 circumstances, a major shortcoming.

15 MS ANYADIKE-DANES: And then one can move on to the
16 discussions with Claire's family. If she had done that,
17 should she have spoken to Claire's parents?

18 A. Oh yes, yes.

19 Q. What sort of thing should she have been telling them?

20 A. Well, she should have told the parents that Claire was
21 significantly unwell in the views of the staff on the
22 ward, that they had brought in another expert, Dr Webb,
23 to assist, that it was considered that she was in coma
24 of a degree and that she was being treated for
25 non-convulsive status because that was thought to be

1 the cause of the condition by the team.

2 Q. What Dr Scott-Jupp had said in his report -- I think
3 it's at 234-002-011. He considers that Claire's parents
4 actually weren't appropriately informed either by the
5 medical or nursing staff of the severity of Claire's
6 condition. He says they should have been spoken to,
7 whether by a registrar, consultant or a senior nurse,
8 but the information that they should have had was that
9 Claire was quite unwell, her diagnosis was still not
10 entirely certain, further investigations might have been
11 necessary and that there was a possibility that if she
12 didn't improve a transfer to intensive care might be
13 necessary. Would you disagree with any of that?

14 A. Not at all, no.

15 MR FORTUNE: Sir, without ducking the issue of Dr Steen's
16 responsibility on the assumption she comes in, examines
17 Claire and then speaks to the parents, what does
18 Dr MacFaul say, bearing in mind that Dr Webb has
19 examined Claire at about 5 o'clock and spoken to the
20 mother? Is that not an opportunity when he should have
21 outlined Claire's situation as he saw it? Does he
22 expect Dr Steen to repeat all of that if she comes in
23 later?

24 MS ANYADIKE-DANES: Well, I wonder if I could frame it in --

25 THE CHAIRMAN: Let me ask it this way. What should Dr Webb

1 have said to the parents when he saw Claire at about
2 5 o'clock-ish? Sorry, it was Mrs Roberts on her own at
3 that point.

4 A. I think he should have given an indication that Claire
5 was significantly unwell, that she had a brain disorder
6 which had not been fully characterised and that his
7 plan, in fact, was to do a CT scan the following day and
8 that she was on a package of therapy which he expected
9 to control her symptoms. That would be the minimum that
10 he should have conveyed.

11 MS ANYADIKE-DANES: I think, in fairness to Dr Webb, how the
12 point was put is that if he was aware that he was
13 brought in to give a specialist view and that she was
14 Dr Steen's patient, he may have wanted to give rather
15 limited information and leave Dr Steen to give a fuller
16 explanation. Of course, that would depend on whether
17 Dr Steen had sufficient information to give a fuller
18 explanation, but I think that's where the balance lay.
19 So far as you're concerned, how does it work? Does the
20 specialist give the specialist view or is he entitled to
21 expect that the consultant who's responsible for the
22 child gives the full view?

23 A. I think that the specialist called in should give the
24 parents a summary of his conclusions and his treatment
25 plan.

1 Q. As his own responsibility?

2 A. Yes.

3 Q. Irrespective of what the consultant is going to give as
4 her responsibility?

5 A. Yes.

6 THE CHAIRMAN: Well, aren't there two things? First of all,
7 it would look rather odd to the parents that this is
8 a doctor who's come in at least twice, maybe three times
9 to see their daughter, and hasn't explained to them
10 what's wrong and so on. And I very much suspect that
11 Mr and Mrs Roberts might be sitting listening to this
12 and wondering, "Well, surely you don't stand on ceremony
13 about who should have rung who between the
14 consultants and who should have told us what". Nobody
15 should have stood on ceremony. One of the consultants
16 should have spoken to them to explain exactly what was
17 going on with Claire in the most appropriate terms at
18 that point.

19 A. I agree with that, yes.

20 THE CHAIRMAN: And that should have been a process which was
21 going on through the day?

22 A. Yes, by somebody.

23 THE CHAIRMAN: And it doesn't even have to be the same
24 person. It could be that nurses do it at one point, it
25 could be that the registrar does it, it could be the

1 consultant does it?

2 A. Yes.

3 THE CHAIRMAN: But one thing that should never have happened

4 is that they went home at some point soon after

5 9 o'clock without appreciating remotely what condition

6 Claire was in or the risk she was at.

7 A. I understand that, yes.

8 THE CHAIRMAN: And that just should not have happened.

9 A. No.

10 THE CHAIRMAN: Thank you. Let's not stand too much on

11 ceremony about who should have rung who.

12 MS ANYADIKE-DANES: One thing that Dr Scott-Jupp expressed

13 a view on was in the most careful way possible,

14 nonetheless the parents -- I think if it wasn't

15 Dr Scott-Jupp, it might have been Dr Aronson -- that the

16 parents should have had the opportunity to realise that

17 Claire was sufficiently unwell that they might want to

18 stay that evening. I think it was put in the way that

19 one wouldn't want necessarily to frighten parents or

20 make them feel guilty if they couldn't because their

21 personal circumstances didn't permit them to do that,

22 but at least to give them the information in such a way

23 where, if that was possible, they could make that

24 decision and stay there. He thought that that kind of

25 information should have been provided to the parents.

1 Would you accept that?

2 A. Yes, I think they should have been made aware of how
3 unwell and how ill Claire was, yes.

4 Q. During the day you said that it could be done by
5 different people during the day. Is it everybody's
6 responsibility who interacts with Claire and her
7 treatment and the parents to make sure that the parents
8 have some appreciation of what's being done to their
9 daughter, why it's being done and what her condition is?

10 MR FORTUNE: Does "everybody" include the nurses?

11 MS ANYADIKE-DANES: Yes, I'm talking about the nurses.

12 A. Well, I think that there is an element of
13 cross-communication that can occur. So the ideal
14 is that the doctors managing her would do so. The
15 nursing staff ideally have a named -- I don't know
16 whether that was in place at the time, but I think in my
17 own hospital in 1996 and in many others there was the
18 concept of the "named nurse". That's the one that's
19 taking the lead on your child, as it were.

20 Q. Yes.

21 A. So rather than, as has just been suggested, that you
22 can't have all the nurses just being asked a little bit,
23 it would be better for any communication to be
24 channelled through the nurse that was particularly
25 engaged with Claire at that time, the so-called named

1 nurse.

2 Q. That could, for example, be the nurse who's taking the
3 hourly observations?

4 A. Yes.

5 THE CHAIRMAN: Another take on it is that a nurse or the
6 lead nurse should nudge or suggest to the doctors that
7 they need to tell the parents more?

8 A. Oh yes.

9 THE CHAIRMAN: Without necessarily doing that themselves,
10 particularly in a complex case?

11 A. Yes, very much so. That is one of the things that
12 nurses do all the time. They ask us to go back and
13 say -- one of the things they say is that they haven't
14 understood what you've told them, please go back and
15 tell them again.

16 THE CHAIRMAN: Yes.

17 MS ANYADIKE-DANES: Even if they didn't want to take upon
18 themselves the duty of explaining what might have been
19 quite a complex emerging condition, are the nurses in
20 a position to appreciate whether the parents at least
21 understand that they've got a daughter who's really
22 quite ill, that at least they could understand?

23 A. Yes, and of course Claire was having an unusual form of
24 therapy with an infusion of midazolam, and that in
25 itself, as well as the other anti-epileptic drugs that

1 she was on, was a measure of unusual therapy, and that
2 should have been -- the parents should have been made
3 aware of that.

4 Q. Thank you.

5 A. There is a counsel of perfection. It just occurred to
6 me and perhaps it's not relevant. At the time in
7 question -- and it's something we did struggle with was
8 to what extent a parent should be informed that the
9 drugs being prescribed and used on a child are off
10 licence or off label. I say "struggled" because an
11 awful lot of what we use in outpatients and so on has
12 been off label or out of licence. So one wouldn't
13 criticise the doctors at the time if they hadn't done
14 that, but it is an issue.

15 Some hospitals produce a little printout that says,
16 "There's your prescription", if you like. "We are
17 giving this drug off label, that's why". It explains
18 why. And the reason for doing that was, of course, when
19 as an outpatient the parents would pick up
20 a prescription, they would usually open the leaflet that
21 was in there and they would say, "Not suitable for
22 children". And when that happens, of course it causes
23 problems, so it's better to anticipate that.

24 THE CHAIRMAN: Yes, okay.

25 MS ANYADIKE-DANES: Thank you.

1 MR FORTUNE: Sir, there has been no evidence about that
2 particular aspect, that there should have been such
3 a discussion.

4 THE CHAIRMAN: No.

5 MR FORTUNE: Indeed, none of the experts have criticised any
6 of the clinicians for not giving that explanation, as
7 far as I can recall. Dr Aronson dealt with the issue of
8 off label, off licence, but it went no further than
9 that.

10 THE CHAIRMAN: Yes. I don't think that Dr MacFaul is being
11 critical because he introduced that comment that he was
12 making by saying that this may be a counsel of
13 perfection, so I think that's something short of being
14 critical.

15 MR FORTUNE: Yes. We need to stay with real life.

16 THE CHAIRMAN: Well, Dr MacFaul isn't departing from real
17 life, he's reminding us that there are different levels
18 of standards. We generally shouldn't be critical and
19 I shouldn't be critical of people who fall below
20 perfection; there are other standards. So I'm not
21 concerned.

22 MR FORTUNE: And I wasn't being critical of Dr MacFaul.

23 THE CHAIRMAN: I understand. I think it was suggested
24 earlier that the parents -- this constant debate about
25 how much you tell parents. Part of that, I assume,

1 doctor, is your assessment of how much information
2 particular parents can take? Some can take more
3 information than others, some understand more than
4 others; is that correct?

5 A. Yes, that is true.

6 THE CHAIRMAN: There was at least one suggestion that it
7 might have been better when the midazolam was added to
8 the mix, that some explanation about that -- that this
9 wasn't off licence, but it was a newer treatment or an
10 innovative treatment.

11 A. I think that would be a reasonable step to take. As
12 I said earlier, I think in my preamble, if we go back to
13 the transcript, I said I wasn't being critical of the
14 doctors at the time because it was a hot topic, if you
15 like, for debate. Should they have been told that an
16 innovative therapy was being used? That can cause
17 nervousness. I think one would just say that you're
18 giving the best treatment and the maximum treatment was
19 being given to control Claire's problem, would have been
20 a way of saying it.

21 THE CHAIRMAN: Okay, thank you.

22 MS ANYADIKE-DANES: I want to move on to the serum sodium
23 result at 11.30 that evening.

24 THE CHAIRMAN: Well, if you're moving on, it's 1 o'clock,
25 we're not going to get Dr MacFaul finished before lunch,

1 you were in broad agreement with that.

2 The question is, though, whether you thought that
3 the requirement for a CT scan was of such importance
4 that it ought to have been arranged for the evening of
5 her admission at some point.

6 A. I think it is difficult to envisage Claire's
7 presentation on that evening in sufficient detail. She
8 had obviously presented with an element of disturbed
9 level of consciousness, from my reading of it. It
10 wasn't clear immediately whether she had had a seizure
11 and was in the recovery stage from it or whether she was
12 just unwell. It was also known that Claire had some
13 degree of learning disability and it is the case that
14 communication in that situation may not be as clear.
15 The parents would be able to give a clear advice on how
16 much she was different from normal.

17 So what I'm saying is that I don't think it was so
18 clear-cut to my reading of it, the presentation to
19 a general paediatric team, that this is a child in
20 sufficiently deep coma to justify pulling all the stops
21 out. I concluded, and I think to some extent stand by
22 that, that it was reasonable to observe for a period of
23 time to see what happened, because in general
24 paediatrics that's what we do: we observe the trajectory
25 of the illness, which moves at different paces and it

1 goes higher and lower in different patients. That is
2 part of the practice of general paediatrics.

3 In support of Professor Neville's view, however,
4 would be the fact that she had focal neurological signs:
5 there was asymmetry and there are what are called upper
6 motor neurone signs with the upgoing plantar. And again
7 you could argue that that was sufficient to indicate
8 a scan. But as far as the doctors were concerned, it
9 may be that she'd already had those because she was
10 known to favour one side. That was in the history. And
11 she may, as far as they knew, have had such signs as a
12 long-standing feature.

13 It was on that background that I felt that I would
14 distinguish the urgency of the scan from
15 Professor Neville's view, and that I suppose is
16 encompassing a general paediatric vision rather than the
17 paediatric neurology vision. So that, I think,
18 summarises my position.

19 Q. The other factor is that for a CT scan to be arranged
20 that would have been done with the involvement of
21 a consultant, so that would have required the registrar
22 that evening to have contacted her consultant and had
23 that organised. And that might add another layer to
24 a consideration of: have we reached a stage where this
25 is something that ought to happen tonight, as opposed to

1 perhaps on review by the daytime team?

2 A. Yes. In my report, I did say that to some extent there
3 was an argument for involving a consultant at that time,
4 but that would depend on the level of experience of the
5 admitting registrar.

6 Q. Thank you very much. Then the other point to raise with
7 you is one that you touched on a little bit when you
8 talked about her learning difficulties. It was known
9 that Claire had had epilepsy or she had had some form of
10 seizure activity when she was quite small, a baby. They
11 had never really got as far as, as far as her records
12 show, the bottom of why she had it, but she came under
13 the care of a paediatric neurologist at the Children's
14 Hospital, Dr Elaine Hicks.

15 A. Yes.

16 Q. And you've probably seen her earlier notes and records
17 relating to that period. And they knew that when she
18 came in and they also knew, in broad terms, the
19 treatment that she had had for it and also when,
20 roughly, she had had her last episode, if I can put it
21 in that way. The fact that that had happened and maybe
22 also the fact that she did have learning difficulties,
23 did that in any way make Claire more vulnerable perhaps
24 than another child who didn't have that history to the
25 sort of disturbances that you described earlier, perhaps

1 to the onset of SIADH or anything of that sort that
2 could be working in her condition?

3 A. I don't think so, no. She had a long-standing problem,
4 but I don't think it ... There was no structural lesion
5 on the CT scan when it was done. There is some still
6 ongoing debate about whether she had a cellular problem
7 on the histology of the brain. But I don't think I've
8 seen anything there that would lead me to conclude that
9 she was more vulnerable to getting brain oedema than
10 another child.

11 Q. Professor Neville's view -- and one sees that at
12 232-002-012 -- was that they had assumed that she had
13 a subclinical seizure activity and, maybe influenced by
14 her history, they simply stuck firmly to non-convulsive
15 status as a diagnosis. His view was that that seemed to
16 have stopped other avenues being pursued until it was
17 almost too late.

18 A. I think that that applies to the 22nd.

19 Q. Sorry, I meant in relation to the 22nd.

20 A. My view on that I expressed in my report and it's based
21 on my experience, and I would defer to
22 Professor Neville, who's a much greater expert in that
23 area than I am, and indeed taught me. My experience of
24 non-convulsive status is that it usually occurs in
25 children who have had poorly-controlled seizures over

1 a long time and it usually occurs in children who have
2 had myoclonic seizures, which are a peculiar type of
3 seizure, and that because of that Claire was not
4 a particularly high or even moderate candidate for that
5 condition because she hadn't had those seizures. There
6 was some suggestion that as an infant she might have had
7 infantile spasms. That's a condition that has myoclonic
8 seizures, but it has a very characteristic EEG
9 appearance. The term hypsarrhythmia comes from the
10 description of a sea horse, and you have the appearance
11 of a sea horse on the EEG. So they were looking for
12 that pattern on the EEG when she was under Dr Elaine
13 Hicks, and they did not find it.

14 So as a younger child she didn't appear to have the
15 myoclonic syndrome. She appears to have had what are
16 called tonic-clonic seizures, and furthermore they were
17 well controlled, very well controlled. She was over
18 therapy and was seizure-free for a number of years.

19 So for all these reasons I came to the conclusion
20 that she was not likely to have non-convulsive status as
21 a particularly significant risk.

22 Q. Thank you. Then I wonder if I can take you now to the
23 events at 11.30.

24 MR FERNANDO: Sir, my learned friend raised a comment
25 earlier in respect of the registrar seeking the approval

1 of a consultant. My understanding from Dr Sands' first
2 witness statement was that it required the approval of
3 a consultant neurologist. And I wonder whether that
4 made a difference in respect of the evening of the 21st.

5 THE CHAIRMAN: The CT scan?

6 MR FERNANDO: Yes, the CT scan, sir.

7 A. Well, it places a higher hurdle in the process.

8 THE CHAIRMAN: You can see an argument for it being
9 considered, but you're not critical of the fact that it
10 wasn't done and every added element makes it a bit more
11 unlikely that it was a requirement on Monday night?

12 A. That was my opinion.

13 THE CHAIRMAN: Yes, okay.

14 A. But I defer to Professor Neville's view in some ways.

15 MS ANYADIKE-DANES: Thank you. The events at 11.30. In
16 fact, we can pull up the medical notes and records so
17 that we're dealing with it. 090-022-056. There we see
18 that the serum sodium level has come back. Those bloods
19 were taken at 9.30. They were, as we understand it,
20 primarily being taken for the phenytoin levels, but they
21 also provided the opportunity to do serum sodium tests,
22 which is what happened. So you've got the serum sodium
23 level at 121, the phenytoin level at 23.4 and when that
24 comes in, that note is being written up by Dr Stewart,
25 who's quite a junior SHO.

1 In terms of the medication at that time, it's
2 unclear whether they had started the intravenous
3 phenytoin. The records seem to suggest that that might
4 have happened at 11 o'clock. But then the evidence of
5 Dr Stewart was that he thought he had received this
6 record at about the time that he was going to administer
7 the phenytoin, so the conjunction may not be entirely
8 precise as to which order things went in.

9 Certainly the increase in the midazolam had occurred
10 because that occurred by 9.30. She had had her sodium
11 valproate. It's not clear whether she'd had a further
12 infusion of that. And she had, round about that time,
13 the cefotaxime and she'd also had some paracetamol, and
14 the acyclovir had been started at 9.30. So all that has
15 happened and Dr Stewart is now writing up these results
16 and forming this view, preliminary view, because he has
17 a query over it, hyponatraemia, and he queries whether
18 it's fluid overload and low-sodium fluids and he also
19 queries whether it's SIADH, either of which may be
20 producing the hyponatraemia.

21 He also notes:

22 "Impression: query the need to increase the sodium
23 content in the fluids."

24 And he contacts the registrar.

25 The question I wanted to raise with you is: in terms

1 of the fluid restriction, the upshot of his discussion
2 with the registrar is that the fluids should be reduced
3 to two-thirds of their present value, and that produces
4 the rate of 41 ml per hour, and also to send the urine
5 for osmolality tests.

6 What I wanted to ask you is: was that an
7 appropriate, so far as you are concerned, response in
8 terms of fluid management in all the circumstances at
9 that time?

10 A. The plan to reduce the fluid? The plan was correct.

11 Q. Yes.

12 A. I agree with Dr Stewart that the sodium content of the
13 fluid should have been increased. I appreciate that
14 that step was not taken on the advice, as far as
15 I understand it, from Dr Bartholome's evidence, given
16 I think on the transcripts which I've read, but I'm
17 relying on memory, to the fact that she wanted an urine
18 osmolality done first. I would be critical of that.
19 I think that the immediate step should have been to
20 increase the sodium as well.

21 Q. Should she have taken it further and discussed Claire
22 with her consultant?

23 A. I believe so, yes.

24 Q. Dr Scott-Jupp, just so that we have it, his view was
25 that Dr Bartholome should have actually re-examined

1 Claire --

2 A. Oh yes.

3 Q. -- at that stage and a more severe fluid restriction
4 should have been imposed. He considers that it might
5 even have been appropriate to stop IV fluids completely
6 and it would have been advisable to check the blood
7 osmolality as well as the urine osmolality. The
8 reference for that is 234-002-008, which we don't need
9 to pull up.

10 Professor Neville's view was that he would have
11 expected Dr Bartholome to have taken further action,
12 including inducing diuresis by mannitol and ventilating
13 Claire to reduce the intracranial pressure that he
14 believed was present at that time. And the reference
15 for that is 232-002-011. Can you comment on those
16 experts' views?

17 A. Well, I've expressed in my report that I thought the
18 registrar -- it was obligatory for her to see and record
19 her assessment of Claire and also that she should have
20 called a consultant. I think the next steps
21 envisaged -- which are elective ventilation and
22 mannitol -- would be indicated by her condition at this
23 stage, certainly so. But I think that the step -- the
24 process to doing that would probably have been via the
25 consultant rather than Dr Bartholome doing that,

1 although there was an argument for her doing it.
2 I understand she was the paediatric neurology registrar
3 and that she was also a senior registrar, more
4 experienced than others, and she could and perhaps
5 should have initiated those steps herself.

6 Q. She herself was the sole registrar there covering,
7 I think, about 115 beds at the time.

8 A. Yes.

9 Q. So there may have been reasons why she wasn't able to
10 come and examine Claire. I think her evidence was that
11 she would have wanted to examine Claire and may even
12 have intended to do so, but in any event it doesn't seem
13 to have happened.

14 MR GREEN: Sir, may the doctor be invited to consider what
15 she actually said about the systemic pressures that she
16 was operating under in an effort to see whether, on
17 reflection of those pressures, he is prepared to cast
18 his comments more softly?

19 THE CHAIRMAN: I think if I can summarise it -- you'll
20 correct me if I'm wrong, Mr Green -- it's the fact that
21 she was the registrar in charge of 115 patients on wards
22 and A&E, which seemed to me to be overwhelming and
23 almost certain to cause problems. Not just on that
24 night, but potentially night after night.

25 A. Well, I agree, and I agree with the points raised,

1 I accept that, that she was under a lot of pressure, and
2 there are lots of reasons why she didn't get involved.
3 What I'm saying is that in terms of standards of
4 practice to be reached -- and don't forget that my
5 approach is from the governance point of view -- it was
6 necessary for Claire to have been seen -- let me couch
7 it in this way -- by a senior doctor at that time. If
8 Dr Bartholome was so engaged -- and I understand that --
9 then that was a further indication to summon
10 a consultant, given the underlying condition in Claire
11 and given these findings, because more ready access to
12 a consultant would have been a solution within that
13 system of heavy workload and I have made reference in my
14 report to this very heavy workload as being a factor to
15 have been -- and I expected it to be brought up in some
16 sort of governance process. But that's obviously
17 separate from this discussion. Because it was clearly
18 an unreasonable workload. So I accept that perhaps I'm
19 being hard on Dr Bartholome. I'm just matching what was
20 done with what should have been done and what should
21 have been done was the involvement of a more senior
22 doctor.

23 THE CHAIRMAN: So acknowledging the extreme pressure that
24 Dr Bartholome might well have been under that night, she
25 receives a calls at about 11.30, it alerts her to

1 a very, very low sodium reading --

2 A. Yes.

3 THE CHAIRMAN: -- and she discusses an alteration of the
4 fluid regime.

5 A. Yes.

6 THE CHAIRMAN: She then wants to see Claire, but apparently
7 can't.

8 A. Yes.

9 THE CHAIRMAN: Does that make it all the more necessary to
10 bring in a consultant?

11 A. Yes.

12 MR GREEN: What she said is she should have contacted
13 a consultant, she would normally document having
14 contacted such a consultant, she hadn't documented it on
15 this particular evening and, in terms, she couldn't say
16 one way or another whether she had. It's a complete
17 blank in her recollection.

18 THE CHAIRMAN: I think it's hard to avoid the conclusion
19 that she didn't because when the consultants were later
20 contacted, they both came in.

21 MR GREEN: I follow that point.

22 THE CHAIRMAN: I accept your point or, more importantly,
23 I think perhaps the doctor accepts your point that there
24 is some level of criticism of Dr Bartholome, but it's as
25 much directed at the pressure she was placed under by

1 the way in which the Children's Hospital was organised
2 at night as it is personal to her.

3 MR GREEN: Absolutely, and I raised it at this point because
4 this seems to be a classic example of where the
5 governance and clinical issues merge into one.

6 THE CHAIRMAN: Thank you.

7 MS ANYADIKE-DANES: Thank you very much.

8 There are three possibilities as to which consultant
9 might have come in if a communication had been made: it
10 could have been Dr Webb, who had been conducting or
11 managing her treatment therapy previously and was the
12 neurologist; it could have been the on-call paediatric
13 consultant; or it could have been Dr Steen, whose
14 patient Claire was. Do you have a view as to, if
15 anybody was contacting a consultant at that time, which
16 consultant should have been contacted?

17 A. I think probably in the hierarchy of things and --
18 it would have been the immediate involvement of the
19 consultant paediatrician on call. Claire was under the
20 consultant paediatrician and it would be then for that
21 consultant paediatrician, having seen or updated himself
22 or herself on Claire's condition, then to update with
23 Dr Webb's opinion so that she might or he might have
24 contacted Dr Webb.

25 Q. Yes. And if for any reason that on-call consultant

1 couldn't be reached, then do I understand what you're
2 saying to be that it's Dr Webb you then go to?

3 A. He was on call, I understand, and yes, that would be my
4 view.

5 Q. Thank you very much.

6 MR FORTUNE: Sir, without standing on ceremony, to use your
7 words, if time is of the essence does the hierarchy
8 actually come into play? Is it not who is best in all
9 the circumstances?

10 A. If I may answer that? As far as I understand it at this
11 point, Claire was much the same. She had deteriorated a
12 bit over the evening, she wasn't stable -- let me
13 underline that because of the features we've spoken
14 about this morning -- but she wasn't, at that time,
15 collapsing. If you had a child who was collapsing then
16 clearly, yes, you would get hold of who you could
17 immediately. Here, I would have expected an immediate
18 consultation with a consultant about this.

19 Dr Stewart did the right thing, he contacted the
20 senior registrar. The senior registrar wanted to do
21 something more, but was distracted by a completely
22 unreasonable workload from doing so. So we have
23 a situation which means that something isn't done.
24 That is part of the process that you're examining.

25 THE CHAIRMAN: Yes.

1 MS ANYADIKE-DANES: But I think the point was that if
2 a consultant needs to be brought in or contacted at this
3 stage, who, for Claire's condition, is the best
4 consultant in terms of their expertise?

5 A. Well, this is a fluid management problem and the
6 paediatricians -- and I think Dr Scott-Jupp said he
7 thought the paediatricians should be capable of handling
8 an electrolyte problem. My advice was that the
9 paediatric neurologist should have advised on the
10 underlying regime. Here we have a situation of an
11 acutely developing hyponatraemia in a child with an
12 encephalopathy. This is a very risky situation.
13 Dr Stewart has beautifully encapsulated what needs to be
14 done in terms of immediate treatment.

15 The next stage though -- of envisaging frusemide,
16 mannitol, elective ventilation -- is either the
17 paediatric neurologist on call in consultation with
18 a consultant paediatrician, or a consultant
19 paediatrician contacting intensivists, because the
20 intensivists have an expertise in this area.

21 I agree with Professor Neville's actions as
22 proposed. It was the time -- I think I may have said it
23 in my report, but I'd have to go back -- to consider
24 elective ventilation and these other steps to shrink the
25 brain swelling.

1 Q. So it seems like -- I'm just trying to see if we can get
2 a definitive answer. It may not be one of those things
3 that --

4 THE CHAIRMAN: I'm taking it from that that, frankly, it
5 doesn't matter whether you call the paediatrician or the
6 paediatric neurologist, but you certainly bring in
7 a consultant.

8 A. Yes.

9 MS ANYADIKE-DANES: Either could have managed the
10 appropriate regime for her?

11 A. Yes. And probably consult with intensive care.

12 Q. Thank you.

13 THE CHAIRMAN: Unfortunately, this didn't happen, obviously,
14 but if a consultant had been contacted about 11.30 and
15 let's say arrived at about midnight, do you think it's
16 pretty much inevitable that that would have led to
17 Claire being transferred to intensive care?

18 A. That is a more difficult situation.

19 THE CHAIRMAN: So it wasn't even inevitable at that stage?

20 A. Well, I think it should have been, but you asked me what
21 would have happened.

22 THE CHAIRMAN: Yes.

23 A. What might have happened would be that the steps that
24 have been set out here, reducing the fluid volume and
25 increasing the sodium content and waiting and seeing,

1 might have been the step taken. Because elective
2 intubation -- that is giving a light anaesthetic and
3 intubating and establishing on a ventilator -- are all
4 pretty strenuous activities for a child to sustain. But
5 it certainly should have been part of that discussion
6 and forward plan. Whether it should have happened
7 then -- and Professor Neville believes it should, and
8 I would lean to support that view -- it is difficult to
9 see what would have happened because I don't know what
10 the opinion of the on-call paediatrician would have
11 been, for example.

12 THE CHAIRMAN: Yes.

13 MS ANYADIKE-DANES: Thank you. I'd like to move on to
14 Claire's arrest, which is what happens next. She
15 suffers a respiratory arrest at 2.30. She is intubated
16 then and she is transferred to paediatric intensive
17 care. The parents are informed and they make their way
18 to the hospital. Dr Steen is notified, she comes to the
19 hospital, and Dr Webb is notified, and he comes to the
20 hospital. It's not entirely clear whether the on-call
21 paediatrician -- and I think you refer to that person as
22 a shadowy character in the sense that nobody has
23 actually pinned down whether there was one, and if there
24 was, who it was. So those are the only people that
25 we are aware of who were actually contacted about that

1 collapse.

2 So that happens and the parents come in. If we can
3 keep up the notes that are made by Dr Steen and Dr Webb
4 at the time. It's 090-022-057.

5 MR FORTUNE: Can I just remind my learned friend they're not
6 the only people because, of course, Dr Clarke comes from
7 PICU to assist Dr Bartholome?

8 MS ANYADIKE-DANES: Thank you very much.

9 So that's the note. You have looked at that before,
10 at least the note from Dr Steen you have looked at
11 before. I'd just like to ask you about that before
12 I then ask you about the discussions with Claire's
13 family. Just above the 3 am note there's:

14 "Fluids restricted to two-thirds. Obs otherwise
15 stable."

16 And then that's in the light of the reciting of the
17 results that Dr Stewart had written in his note. So far
18 as I can recall, we've seen no lab report for that serum
19 sodium test of 121. So it's to be presumed that if
20 Dr Steen is writing that down there, it's because she's
21 at least seen the entry by Dr Stewart where he recites
22 those results, and also if she's looking at that she
23 would have seen his view -- if we pull it up alongside
24 for convenience, 090-022-056. There we are. She would
25 have seen his view that you've just described as

1 beautifully encapsulating not only the likely problem,
2 but a way forward for it.

3 A. Yes.

4 Q. When she is writing that note, is that anything that she
5 should reflect in the note, the possibility that it is
6 hyponatraemia caused in that way?

7 A. Yes, I think she should have. I know that in her
8 summary later, in the autopsy request form, there is an
9 appreciation of what was going on. Should she have
10 written it there? Well, it was already recorded in the
11 notes. The content of a note written in the context of
12 this situation in the middle of the night tends to be
13 variable and doesn't always summarise what is in the
14 doctor's mind. The fact that fluid had been restricted
15 is a response to Dr Stewart's response and, ideally,
16 yes, she should have written it, but in practice
17 it would be not unreasonable to see the note that she
18 has made, other than the omission of the midazolam,
19 which I think is a significant omission, and I don't
20 know why that is the case.

21 Q. Even if she wasn't trying to summarise all that had been
22 written before, if I can put it that way, and therefore
23 have included it at that point, is it something that she
24 should have at least thought about so that when she's
25 forming her views, perhaps for discussion with Dr Webb,

1 and thinking that she's going to have to have some sort
2 of discussion and explanation for the parents, that
3 she's reflected on that possibility that what might have
4 happened is actually the hyponatraemia resulted from
5 fluid overload as a result of low-sodium fluids?

6 A. Yes. I mean, she has ordered mannitol, which is a way
7 of shrinking the brain. She hasn't advised frusemide,
8 which is a way of getting rid of water as well, which
9 would have been part of the regime. She's considered
10 doing urgent CT scan, she has a forward plan, and it may
11 well have been in her mind, and certainly when Dr Webb
12 enters later, that's top of the list.

13 Q. The reason I'm asking this is because when Dr Steen was
14 giving her evidence, although she can't remember it, her
15 thinking was that the hyponatraemia resulted from the
16 SIADH and therefore was part of a chain of consequence,
17 if I can put it that way, and that it wasn't the
18 hyponatraemia per se resulting from fluid overload that
19 had caused the cerebral oedema. In fact, you can see
20 Dr Webb's note just immediately below hers:

21 "SIADH. Hyponatraemia, hypoosmolality, cerebral
22 oedema."

23 That was the mechanism of the terminal cerebral
24 oedema, if I can put it that way, whereas Dr Stewart has
25 a different mechanism for that. He would have, if one

1 turns it into the same pattern, the administration of
2 the low-sodium fluids, fluid overload, hyponatraemia
3 developing, and as a result the cerebral oedema, which
4 continues unabated until she cones. That's
5 a possibility from his first line.

6 What I was asking you is: given that he's actually,
7 in cryptic terms, set that out in the previous page,
8 which she's had to look at to get the results, is that
9 something she should have thought about to at least have
10 a discussion of that sort with Dr Webb ahead of speaking
11 to the parents?

12 A. Yes, I believe so, and whether she recorded it or not is
13 the issue that we were discussing before. But yes, she
14 should have considered how hyponatraemia could arise
15 and, as we've been discussing, the mechanisms were
16 well-known at the time to be a combination of
17 inappropriate ADH and volume overload, water overload.
18 Yes, she should have done and I think so should Dr Webb.
19 We know from subsequent events that there doesn't appear
20 to have been any consideration of the two factors which
21 were combining to produce the hyponatraemia.

22 Q. Yes, Dr Webb's got the second limb of Dr Stewart's
23 assessment, if I can put it that way, and there doesn't
24 seem, as I'm hearing you say, to be evidence any of
25 a consideration of the first limb.

1 A. No. Neither in the autopsy request form because there
2 is no suggestion there that water overload might have
3 contributed, nor in the subsequent events in reflection
4 on what might have happened to Claire.

5 Q. And although it's not a very comfortable discussion to
6 have with the parents at whichever stage you do it, but
7 is not the potential significance of it that if it's
8 caused -- and if I can call it Dr Stewart's first
9 line -- like that, then that's a fluid management issue,
10 and that does bring with it the possibility that her
11 fluid management was inadequate?

12 A. Absolutely. The iatrogenic causation of hyponatraemia
13 is documented in textbooks as a significant causation of
14 hyponatraemia in acute encephalopathy.

15 Q. If you can help me with what you think in all the
16 circumstances Dr Steen and/or Dr Webb should have been
17 discussing with the parents. There are some periods of
18 time when that might happen. There's probably a time
19 just before she goes off and gets her CT scan before
20 they see what happens, and then of course when the
21 CT scan comes back, they're able to see what the
22 position is, and there's a discussion around brainstem
23 tests, the first one, and then the second one and the
24 results of those. So there is quite a period of time in
25 the early hours of the morning, stretching down into,

1 I think it's 6.25 in the early evening, when the second
2 brainstem test is done. But without necessarily wanting
3 to be too definite about hour by hour, when exactly it
4 should have been happening, what is the information that
5 you think that Dr Steen and/or Dr Webb ought to have
6 been giving to the parents?

7 A. If I put myself in the position of meeting the parents
8 at that point, which is possibly the easiest way to
9 handle the question, I think I would explain that Claire
10 has suffered brain swelling and that that has caused her
11 to stop breathing and has damaged her brain
12 irretrievably, that the brain has swollen from an
13 underlying disease of the brain and the complications of
14 that, which are a reduced sodium level, and that the
15 reduced sodium level was due to the production of
16 a higher amount of hormone, which reacts to acute brain
17 illness, but also to volume overload, fluid overload
18 from retention of water, resulting -- and I suppose one
19 would have to say possibly in part from the intravenous
20 infusion.

21 THE CHAIRMAN: Sorry, when you say, "I suppose one would
22 have to say", that's --

23 A. It's a difficult -- one is always hesitant to lay blame
24 on oneself, I think, and on the regime. It would have
25 to be stated because if you're explaining the

1 hyponatraemia and you've properly conceived its
2 mechanism, then you are considering the two main causes.
3 One is fluid overload and the other is inappropriate
4 ADH. There's only one way that the fluid overload could
5 have occurred and that is by the fluid that had been
6 administered.

7 MS ANYADIKE-DANES: What the parents actually recall being
8 told from Dr Steen -- and one sees it at Mr Roberts'
9 witness statement at 253/1, page 14. It's his answer to
10 question 14(c). He is asked a series of questions as to
11 who gave him the results of various things and then it
12 says:

13 "Please describe any other discussion that Dr Steen
14 and Dr Webb had with you at that time."

15 He says:

16 "Dr Steen explained that the virus from Claire's
17 stomach had spread and travelled into Claire's brain and
18 caused a build-up of fluid. I recall asking Dr Steen if
19 it was possible for any type of surgery or to drill into
20 Claire's skull to drain the fluid or relieve the
21 pressure build-up. Dr Steen informed me it was not
22 possible. I asked her if everything possible had been
23 done for Claire and if anything else could have been
24 done. Dr Steen informed me that everything possible had
25 been done for Claire and nothing more could have been

1 done."

2 Apart from what you have just answered and your
3 response to the chairman, can you comment on that
4 particular explanation?

5 A. Well, it is one of the explanations. There was no
6 reference in that discussion to the epilepsy being the
7 cause of brain illness in Claire, which was what was
8 being handled as the primary explanation, and the
9 alternative explanation which had not received much
10 attention, but had received some, was
11 meningoencephalitis because Dr Webb had attempted to
12 treat that with acyclovir.

13 But in terms of saying "everything possible had been
14 done" is evading the issue because, actually, her
15 management was not up to the standard of the time. The
16 standard of the time, which we've gone over a number of
17 times, is fluid restriction and adjustment of the sodium
18 content of the intravenous fluid, and that should have
19 happened, in my view, from, at the latest, around
20 mid-afternoon. So in that sense, this was misleading.

21 Q. And nothing more could have been done if that refers
22 back to the period of her treatment?

23 A. Well, I think that that is wrong.

24 Q. Thank you.

25 MR FORTUNE: Could we establish from Dr MacFaul whether at

1 this time -- and we're talking about the period before
2 6 o'clock in the morning when the first set of brainstem
3 tests are carried out -- what it is that the consultant
4 should be telling the parents? Is it, "This is the
5 situation, we're managing that as best as we can", or,
6 is it that and, "By the way, this is how we got here"?
7 Because perhaps Dr MacFaul will accept that there is
8 a time for reflection once everything has been
9 considered fully by the consultant or, in this case,
10 both consultants.

11 A. Well, I think in response to that, at the time that they
12 were talking about what was being done then, I think
13 it would be fair to say that by that time Claire was in
14 intensive care and was being ventilated and had
15 a CT scan. So in the sense that part of that question
16 posed, everything possible was being done at that stage.

17 But the answer there, "had been done", is reflecting
18 what had happened the day before. It doesn't seem that
19 either here or later or during the entry into the
20 records that we've just been rehearsing that Dr Steen or
21 Dr Webb had appreciated the contribution that the
22 failure to adopt the mechanisms of containment of brain
23 swelling by fluid management -- it doesn't seem as
24 though they reflected that this might have been
25 causative.

1 That failure to reflect and consider what might have
2 been done is then carried forward beyond this time to
3 the autopsy request form. It may well be that the
4 doctors just did not appreciate that form of treatment
5 and, if so, I and others have criticised that. And
6 in the context of them misunderstanding, they may have
7 been explaining to their own satisfaction. I think I'd
8 better stop at that point because I don't think there's
9 any more to say on it, really.

10 THE CHAIRMAN: I think Mr Fortune's question was really
11 directed at the timing of the explanation which was
12 given to Mr and Mrs Roberts about, (a), what is
13 happening now and, (b), what was happening before.

14 A. Yes.

15 THE CHAIRMAN: Do I understand your answer correctly to mean
16 that, yes, there is no absolute right and wrong way of
17 going through that, but you have to explain what's
18 happening now.

19 A. Yes.

20 THE CHAIRMAN: The point at which you explain how this has
21 come about is not necessarily quite so clear.

22 A. No. I think that's true.

23 THE CHAIRMAN: Okay.

24 A. Yes. There was something else I had considered, but
25 it's gone out of my mind. It was a very difficult time.

1 At this point, I think both consultants had appreciated
2 that, although the formalities of brainstem testing had
3 to be done, that, in essence, Claire was irretrievable.

4 MS ANYADIKE-DANES: Perhaps we can now turn to the brainstem
5 death form itself. That's 090-045-148. If we can pull
6 up alongside that 090-022-058.

7 The particular note that I would like you to look at
8 first is Dr Webb's entry. That's the entry at 6 am,
9 "Brainstem death", and it's going to be evaluation 1.
10 He recites matters. Then you see, literally three lines
11 up from his last line, if we can just expand that:

12 "Under no sedating/paralysing medication."

13 I had put that line to the inquiry's expert
14 pharmacologist as to whether that was an accurate thing
15 to say at that time given what Claire had in her system,
16 if I can put it that way, and the length or the
17 half-life of the medication that she had in her system.
18 His view is that that wasn't an accurate statement.
19 Do you have a view?

20 A. Yes, I do, and I expressed it in my report, that this
21 was not correct.

22 Q. Not correct?

23 A. It was not correct that she was under no sedating
24 medication. The fact is that she was still having some
25 effect of the sedating medication because the phenytoin

1 was likely to be at a significant level, exactly what --
2 but it has a long half-life. I would defer to the
3 pharmacologist. The valproate is a sedating medication,
4 both phenytoin -- and all anticonvulsants are, to
5 a lesser or greater degree, particularly when first
6 used.

7 So those two drugs -- I suspect valproate was still
8 in the system, but again I'd need to defer to
9 a pharmacologist and I am not absolutely certain when
10 the last dose was given, but I suspect that it was
11 present and couldn't be ruled out as being present, let
12 me put it that way. Then the midazolam infusion had
13 stopped some, perhaps three or four hours before, again
14 uncertain. I suspect, given the loading dose, and given
15 then the infusion, that there would still be some
16 midazolam in Claire's system, but again I would need to
17 defer to a pharmacologist to be sure.

18 So in essence, what I'm saying is that it was
19 incorrect to state that she was under no sedating
20 medication.

21 Q. I think actually her phenytoin levels had been taken.

22 MR FORTUNE: They were 23 at about 9.30.

23 THE CHAIRMAN: 23.4.

24 MS ANYADIKE-DANES: Yes, 23.4. 090-022-057 I think shows
25 you that they were taken together. I think they were

1 19, if my memory serves me rightly, or thereabouts.

2 There we are, 19.2.

3 MR FORTUNE: 090-031-101.

4 MS ANYADIKE-DANES: We have it here, it's up on the screen.

5 19.2 is what they were.

6 I had asked Dr Aronson, who's the inquiry's expert
7 pharmacologist, about that, and he said even though that
8 was slightly within range, in his view it was still too
9 high and he would have preferred to have waited,
10 deferred the first brainstem test and waited until the
11 levels came down to 10 or below and then performed the
12 first brainstem test. In any event, his view was that
13 it wasn't accurate to include in the notes "under no
14 sedating/paralysing medication".

15 A. I agree. She was under that because phenytoin has
16 a long half-life and I'm confident that there would have
17 been phenytoin in her system. What I'm not so confident
18 about is the degree of midazolam that would still be
19 remaining. That was where I would defer to
20 a pharmacologist. And similarly, the valproate. They
21 are all "sedating medications" to a greater or lesser
22 degree, although in practice they're not so sedative,
23 but they are still sedating medications by definition.

24 Q. When you say you're not so sure, in fact when Dr Aronson
25 was thinking about it, if one assumes that they

1 literally stopped the infusion of midazolam at
2 3 o'clock -- it's unclear exactly when they stopped it.
3 This note says, "Midazolam is no longer running".
4 That's Dr Steen's note. And she's moved at some stage
5 between 3 and 4. It's not clear whether they stopped it
6 running before they moved her at some point or when she
7 arrived at intensive care, but in any event, assuming it
8 was 3 o'clock, he was unclear as to exactly how much
9 would still be in her system. And Professor Neville
10 thought that you might actually do a blood test to
11 satisfy yourself about that.

12 A. Yes.

13 Q. Given that there is some uncertainty from the experts
14 themselves without the benefit of further testing of
15 exactly what was in her system and therefore what its
16 effect was, am I understanding you to say that Dr Webb
17 couldn't, with confidence, say that she had no sedating
18 or paralyzing medication?

19 A. Absolutely not because she would definitely have had
20 phenytoin in her system because of its long half-life,
21 as a minimum.

22 Q. Thank you. If we bring back up the brainstem death form
23 at 090-045-148. The first of the questions relates to
24 "Drugs/hypothermia". 1(c) is:

25 "Could other drugs affecting ventilation or level of

1 consciousness be responsible for the patient's
2 condition?"

3 And the answer to that is "no". Both at 6 am and at
4 6.25 pm when the second test is done. Do you have
5 a comment about that?

6 A. Yes, I do. I think that's an incorrect completion of
7 the form and I've said so in my report.

8 THE CHAIRMAN: What's the effect of it, doctor? If that had
9 been completed accurately in your view by the word "yes"
10 being entered, would that have led to the deferral of
11 the test?

12 A. In theory, yes. One should have deferred it even
13 a couple of hours because then you could write on the
14 form to be honest about it, and open, that yes, she
15 still had it, and you could put an addendum that at this
16 stage it is unlikely to contribute to the outcome of the
17 test. I think that was probably true then as well and
18 it would have been an indication to defer the first of
19 these two. The second of the two, of course, some hours
20 later is a system, it's a system to try to overcome
21 these problems.

22 THE CHAIRMAN: What is the purpose of this question? What's
23 the purpose of 1(c)?

24 A. It is, in a way, to make whoever's completing the form
25 state what is or is not there and to consider whether or

1 not the outcome of the testing could be affected by
2 those drugs.

3 THE CHAIRMAN: And as it happens, you don't think in
4 Claire's case that was a possibility, but there may be
5 other cases?

6 A. There may be other cases. In my personal opinion,
7 specifically to Claire, did I think this would have
8 affected the outcome of the brainstem test, the answer
9 is, in my personal opinion, I don't think it would have
10 done. But the point is I suppose it's inaccurately
11 completed.

12 THE CHAIRMAN: Okay. Mr Fortune?

13 MR FORTUNE: Can we have Dr MacFaul's opinion on this?

14 Because my learned friend read 1(c) incorrectly.

15 According to the transcript, my learned friend read

16 "been" as "be".

17 THE CHAIRMAN: B-E instead of B-E-E-N?

18 MR FORTUNE: Yes.

19 THE CHAIRMAN: There's a grammatical error in the question.

20 MR FORTUNE: If it's "be" it's one thing. If we import so

21 that 1(c) reads:

22 "Could other drugs affecting ventilation or the
23 level of consciousness have been responsible for the
24 patient's condition?"

25 Then is "no" an appropriate answer in those

1 circumstances? It's a poorly drafted paragraph (c) as
2 Dr MacFaul will no doubt acknowledge. How should it
3 read?

4 THE CHAIRMAN: That's why I asked him what the reason for
5 the question was in the first place.

6 MR FORTUNE: And you'll recall Dr Haynes on this point, sir.

7 THE CHAIRMAN: Yes.

8 A. I think it probably is "be responsible for the patient's
9 condition at the time of testing". I suspect that's the
10 aim of it. There are publications which give this
11 because this is an intercollegiate -- I think this is
12 the output of an intercollegiate working party and I
13 would need to go back to see if the wording accurately
14 reflects it. My interpretation is "at the time of
15 testing".

16 THE CHAIRMAN: Right. And in that event, since Claire had
17 been given anticonvulsants, which do have a depressive
18 effect on the level of consciousness, the answer to the
19 question, is it still "no" or is it "yes"?

20 A. "Yes." It should have been "yes" in my view.

21 MS ANYADIKE-DANES: If you think you're going to answer
22 "yes" to them -- other than a "yes" to (e), for example,
23 or a "yes" to 3(b) -- is a better thing to defer do that
24 you can answer "no" or to answer "yes" with a very
25 strong explanation as to the consequences of that added

1 to it?

2 A. Ideal practice would be to defer the test.

3 Q. Thank you. What do you do in the interim when you're

4 deferring it? Are you just waiting or do you carry out

5 any tests?

6 A. Well, you could do a blood test to assist in evaluating

7 the impact that the drug might have. You obviously

8 continue as far as supportive care in ventilating and

9 maintaining homeostasis as best you can. The

10 maintenance of homeostasis of a child in this situation

11 is not easy.

12 Q. Can I ask you about (f)? In your view, is (f) correctly

13 answered?

14 A. My reading of this --

15 Q. And it definitely says "be due".

16 A. Yes, "be due". Is now, here and now. Here, I suppose

17 what is being considered is this is applicable to all

18 situations -- is the child hypothyroid, for example? In

19 other words, is there an endocrine or metabolic problem

20 like hypoglycaemia, which can cause coma. So the answer

21 is, you should have that in mind.

22 Q. And hyponatraemia?

23 A. Hyponatraemia -- well, that comes, I think -- is there

24 nothing on electrolytes? That would be included -- yes,

25 that's where the electrolyte business should come in,

1 yes.

2 Q. Yes. So is that an appropriate answer "no" in your
3 view?

4 A. Well, that depends on the level at the time, and I can't
5 recall exactly what the level was because the sequence
6 of -- the timing of this test was done at ... We need
7 to know what the levels were.

8 Q. Yes, we can just get that. It was 129, I believe.
9 Let's see the reference, though. 090-057-207. Can we
10 blow that up a little bit? There we are.

11 A. And the timing of the test?

12 Q. 6 o'clock, the first one.

13 A. Is it 129 or ... Is it that one? Ah, 6 o'clock, yes.
14 It's 129.

15 Q. Yes.

16 A. I think the proper answer there would probably have to
17 be, "Yes, there is a problem, because that is not in
18 range". Having said that, it is unlikely, in my view,
19 that a blood sodium of 129 would significantly affect
20 the response to a brainstem testing process. But to be
21 specific to that question, the answer is: it could have
22 done.

23 Q. How important is it to ensure that these things are
24 answered precisely accurately, if I can put it that way?

25 A. Well, it is a difficult situation because, as I've

1 already alluded to, a child -- and the same with an
2 adult -- who has got to the state of brainstem coning
3 starts to open a cascade of deranged electrolytes and
4 other features as well. And to get absolutely perfect
5 electrolytes before you complete a brainstem test would
6 be very difficult. It should be attempted, but it's
7 very difficult. A seriously out of range level, you
8 would have to defer. But a 129, I think the answer on
9 the form should have been, "Yes, there was", but then
10 possibly either to defer it or to just carry on, but
11 note it.

12 Q. Yes. Could you answer "yes" and then note the actual
13 level --

14 A. Yes.

15 Q. -- which would give some indication?

16 A. Yes, yes. Because what it would show is that you have
17 considered it and concluded that it's not responsible
18 for the condition. Because in essence -- and it may be
19 worthwhile if this is important to ask anaesthetists who
20 do this much more often -- what their practice is. But
21 I would have thought, in my own opinion, that 129 would
22 not make me conclude that the response to the brainstem
23 tests would be such that it would be an inaccurate test.

24 THE CHAIRMAN: But do I understand you correctly that the
25 answer to 1(c) is a bit more serious?

1 A. Yes.

2 THE CHAIRMAN: And is part of the problem here not just the
3 fact that the test went ahead at 6 am on this basis,
4 which you think is questionable, at least, but that it
5 raises questions about the level of understanding which
6 Dr Steen and Dr Webb had at 6 o'clock or their level of
7 recognition of what had brought about Claire's
8 condition?

9 A. Yes, I think that would be fair to say. But obviously,
10 more important, in terms of the governance hat which I'm
11 wearing, that it was an inaccurate completion of the
12 form.

13 THE CHAIRMAN: Thank you.

14 MS ANYADIKE-DANES: Then I wonder if you could go back to
15 a point that you made, just for clarity. I think when
16 I had taken you to the statement from Mr Roberts as to
17 what he recalls Dr Steen telling him and his wife about
18 Claire, you looked at also the note at 090-022-057 for
19 Dr Steen's summary of matters. You expressed the view
20 that the omission of midazolam was a significant
21 omission from her summary, if I can put it that way.
22 Why do you consider it to be significant?

23 A. Well, she was listing the medication that Claire was on,
24 and that was not a complete record.

25 Q. And was the midazolam a sufficiently important part of

1 her regime to have required it to have been included?

2 A. I think so, yes. It can't have been very familiar to
3 Dr Steen as a treatment.

4 THE CHAIRMAN: Just for the record, Dr Steen said in her
5 evidence that if she'd got talking to Dr Webb earlier
6 during the day, she would certainly have asked him about
7 the drugs he was prescribing for Claire because they
8 were well beyond her familiarity in the treatment of
9 children.

10 A. Yes.

11 MS ANYADIKE-DANES: Just finally on that, because I've been
12 asked about it, 090-022-057, if we can now pull it up.
13 It's really a bit of clarification of something else you
14 said. On the third line, when she's reciting that
15 Claire was seen by Dr Webb, and then towards the end
16 there's a query about the aetiology. So she is not
17 quite sure either how Claire is being diagnosed as acute
18 encephalopathy -- either she's not very sure or she's
19 not certain that Dr Webb is very sure what the cause
20 was. In any event, the query is there and they are both
21 going to be there in intensive care. Apart from the
22 possible discussion that you think they might have had
23 about hyponatraemia and how that resulted, do you think
24 she should have taken the opportunity to try and get
25 from Dr Webb, if he knew it, his view as to how she had

1 developed the acute encephalopathy?

2 A. Yes.

3 Q. Was that important in your view?

4 A. Yes. I think she was making this note before Dr Webb
5 appears on the scene.

6 Q. Yes, exactly. It's like an aide-memoire for her in
7 a sense, that query, and that's why I'm asking you if
8 you thought that was something that she should have
9 picked up with Dr Webb when he does come --

10 A. Yes.

11 Q. -- and get his best explanation for that.

12 A. Yes, I do.

13 MS ANYADIKE-DANES: Mr Chairman, I don't have any more
14 questions, but there may be some, and I wonder if
15 I might do the rounds.

16 MR FORTUNE: Before my learned friend does the rounds, as
17 she puts it, on the subject of discussions with the
18 parents, I was waiting for my learned friend to ask
19 Dr MacFaul about the contents of the document
20 090-028-088, which is the relative counselling record.

21 THE CHAIRMAN: Yes, let's round that off, thank you.

22 MS ANYADIKE-DANES: Thank you.

23 That's the description. You have dealt with that in
24 your report. It's at 238-002-029. Maybe if you pull
25 that up alongside, perhaps that would be the better way

1 to do it. I didn't ask you about it because in
2 paragraph 138 you had referred to it as being a good
3 record. I don't know if my learned friend has
4 a particular point that he would like to ask you to
5 address.

6 MR FORTUNE: I was merely drawing Dr MacFaul's attention to
7 it because you had been referring to discussions between
8 the parents and Dr Steen. These would have been two
9 further discussions certainly in the presence of a nurse
10 each time. And of course, there is certain information
11 imparted to the parents before and after the first tests
12 for brainstem death.

13 MS ANYADIKE-DANES: Yes. Dr MacFaul, I wonder if I can do
14 it in this way. My learned friend Mr Fortune and also,
15 I think, the chairman have asked you about certain
16 information that might have been imparted at certain
17 times during what must have been quite a difficult time,
18 from some time past 4 o'clock up until 6.30 or so in the
19 evening. What I was trying to seek from you is, at the
20 end of it, what is the sum of the information that the
21 parents should have understood about what happened to
22 their daughter? Without necessarily asking you to go to
23 each and every stage, what might they have been told at
24 this stage and what might they have been told at that
25 stage? But just to pick up on what my learned friend

1 has said, is it important that they're told certain
2 things at certain stages, leaving aside the issue of the
3 post-mortem, just in terms of what has happened to their
4 daughter and how that happened? Are the timings
5 important?

6 A. They are to the extent that there is a need to explain
7 what is going on now. In other words, what is Claire's
8 state here and now? And that is what's being explained
9 there. How has she got there? Well, they're ascribing
10 this to a virus. And why had she got into that state?
11 Because of breathing difficulties, because of brain
12 swelling, and we think the brain swelling is due to a
13 virus or has been caused by a virus. I think it's
14 a good nursing record. It's a record that a nurse has
15 tried to put in the notes to reflect a conversation. So
16 she is in a way making a synopsis of what has been said,
17 and I thought, to that extent, it had served its purpose
18 well. But in my next paragraph in my report I do say
19 that I thought that the doctors should have recorded
20 what they had said to the parents in terms of content
21 and timing to a greater extent than they did.

22 Q. So that might have been a good nurse's note in terms of
23 recording what she heard and trying to reflect that?

24 A. Yes.

25 Q. But that's a whole different issue from what the doctors

1 THE CHAIRMAN: Okay. What do we have?

2 MS ANYADIKE-DANES: Three points, Mr Chairman.

3 The first relates to the conversation between

4 Dr Steen and Claire's parents. Dr Steen's view is,

5 although she can't remember it, she thinks she would

6 have mentioned low sodium. The parents say that that

7 wasn't mentioned to them, but in any event that is her

8 view. If she had mentioned low sodium as being

9 a problem, does that satisfy the requirements in

10 addition to what is also recorded? Does that satisfy

11 the requirements of a proper explanation or not?

12 A. I think if she had explained that there was low sodium,

13 I think the next point would be to say there was a low

14 sodium because ...

15 Q. Right. And from what you had said before, that would

16 lead into possibly having to explain that that was down

17 to the way the fluids had been managed.

18 A. Partly so, and the other would be the syndrome of

19 inappropriate ADH combined with the water overload.

20 Q. So it's a step along the way if she had said that?

21 A. It's a combination of the two.

22 THE CHAIRMAN: But to mention low sodium on its own, does

23 that take things anywhere?

24 A. No. From the parents' point of view, if low sodium had

25 been mentioned, it should have been accompanied by an

1 explanation, firstly, of how it had come about and,
2 secondly, what effect it had had on the brain swelling.

3 THE CHAIRMAN: I think I should say for completeness,
4 Dr Steen is quite accurately saying she doesn't remember
5 the conversation, but her basis for suggesting that she
6 mentioned low sodium was because that was what she
7 thought would have alerted Mr and Mrs Roberts to
8 hyponatraemia when they watched the local television
9 documentary in 2004. Mr and Mrs Roberts say that isn't
10 what alerted them at all. Even if she did say low
11 sodium, it doesn't advance things unless it then leads
12 into an explanation, which it is not suggested was
13 given.

14 A. Yes.

15 MR FORTUNE: Having asked my learned friend to deal with
16 this matter, I have suggested to my learned friend that
17 it's day 3 of Dr Steen's evidence, it's on Wednesday
18 17 October. The transcript is at page 122 and the
19 questioning starts at line 19. I understand that my
20 learned friend and I may be looking at different page
21 numbers. There we are.

22 MS ANYADIKE-DANES: I hope I summarised it reasonably
23 fairly.

24 MR FORTUNE: If we go on to page 123, you may have noticed,
25 sir, that Dr MacFaul does not use the word

1 "hyponatraemia" as being a word to be used with parents.

2 THE CHAIRMAN: That's right.

3 MR FORTUNE: Nor does Dr Steen in her explanation on the

4 assumption that this is what she might have said.

5 THE CHAIRMAN: No, and I think that the evidence to date has

6 been that if you're going to explain something to

7 parents in this terrible situation, using a word like

8 hyponatraemia is relatively uninformative because, like

9 all of us, they need a more simple understanding, at

10 that point at least, of what's happening.

11 A. Yes.

12 MR FORTUNE: In fact, you'll recall Professor Savage didn't

13 use that term either.

14 THE CHAIRMAN: Yes.

15 MS ANYADIKE-DANES: Thank you.

16 Then I have two other questions. One goes back to

17 a point that I had raised again with you, which is the

18 reference to the omission of midazolam from Dr Steen's

19 note. The only question is why you used the expression

20 "significant" and it was wondered what was your

21 explanation for that. You didn't just say it was an

22 omission from her note, you said it was a significant

23 omission, and I think that's the point that people want

24 to understand: why you think it was significant.

25 A. Well, Claire had suffered a respiratory arrest, almost

1 certainly from brain swelling. But midazolam can cause
2 respiratory arrest. It's rare, but it happens. That's
3 why I felt that it was a significant omission.

4 Q. Thank you. Then the final point. I wonder if we can
5 pull up 089-003-006. I'm going to ask for something to
6 be pulled up alongside it. Can we pull up alongside it
7 096-018-111? You have seen part of this before. On the
8 left-hand side, that is recording a meeting relating to
9 certain questions that were put. Then, on the
10 right-hand side, is the response that he receives from
11 Nichola Rooney. The question relates to item 1, which
12 starts:

13 "Was Claire's condition underestimated, ie were the
14 doctors concentrating on a viral infection when a more
15 serious illness was building, which required early
16 diagnosis?"

17 Then it leads into the question of whether
18 hyponatraemia was considered at this stage.

19 Then, if one sees the answer to it which comes at
20 1(c):

21 "Claire's condition was not underestimated as she
22 was considered to be very unwell, with a diagnosis of
23 non-convulsive status epilepticus and
24 encephalitis/encephalopathy. Claire consequently
25 received intensive medical intervention."

1 And their question is:

2 "Is that really a satisfactory answer to Mr Roberts'

3 question?"

4 THE CHAIRMAN: Satisfactory in the sense of accurate or

5 satisfactory in the --

6 MS ANYADIKE-DANES: Accurate and complete.

7 A. Well, it is an account that she had been recognised to

8 be very unwell. That recognition, of course, was later

9 in the day, probably from -- well, late morning,

10 I should say. The diagnosis of non-convulsive

11 status epilepticus was the working diagnosis.

12 Encephalitis had been considered and treated with

13 acyclovir. Encephalopathy was the underlying condition.

14 That is also -- all of that is the truth. Claire

15 consequently received -- that's consequently upon those

16 diagnoses -- intensive medical intervention. That again

17 is the truth because she did receive intensive therapy

18 for status epilepsy in the sense that, as we've

19 discussed, she was on several anticonvulsants, including

20 one which I described in an unfortunate term, but was

21 innovative in essence, and that is pretty intensive and

22 I have explained that she was receiving level 1

23 intensive care. So that is the truth. I would leave it

24 to others to determine whether it's the whole truth, but

25 it is certainly the truth.

1 Q. The issue that they're getting at is, if they were
2 proceeding upon those as differential diagnoses, had
3 they not considered other diagnoses, which were serious
4 and developing without attention? And I think if you
5 lead that first question into the second, "Was
6 hyponatraemia considered at that stage?", that's what
7 I think Mr Roberts is really getting at, that there was
8 something else that they could have addressed, they
9 didn't address it, and all the time they were looking at
10 those other differential diagnoses, that condition was
11 developing, she was deteriorating and untreated for that
12 potential condition.

13 A. Unless it is answered on the next page of the letter --

14 Q. Let's pull up the next page. That's 112. So the
15 closest one gets to it is (d), which is:

16 "At the time of admission, Claire's sodium was only
17 slightly below the normal serum level. At this stage,
18 hyponatraemia as a complication of her illness was not
19 considered as a major component."

20 One could then add "and never was" in terms of
21 what's recorded for her.

22 A. Well, again, that is a statement of the truth at the
23 time of admission, which is what is the entry point.
24 Hyponatraemia was not, at that time, considered a major
25 component. So that is again a statement of the truth.

1 Q. Yes. But I think it's not really addressing what
2 Mr Roberts is asking you to help with, which is all
3 those things may be the statement of the truth, but does
4 it still mean that there was something more serious,
5 namely a developing hyponatraemia that they had not
6 correctly diagnosed and, therefore, had not treated?

7 A. Well, the fact of the case is that that is what
8 happened. She developed hyponatraemia, it was not
9 recognised through failure of frequent enough
10 monitoring, and it was not treated until, or an attempt
11 to treat it, until very late.

12 Q. Yes. I think what Mr Roberts is getting at is, when it
13 was recognised -- it was certainly recognised in the
14 notes by Dr Stewart --

15 A. Yes.

16 Q. -- who had a pattern for how that had happened. I think
17 what Mr Roberts is wanting to know is: should they have
18 explained any of that in much the same way as when I was
19 asking you about the discussion between Dr Steen and the
20 parents, and your view is that they should have referred
21 to the low sodium, hyponatraemia, and the possibility
22 that that had been caused maybe by SIADH, but maybe by
23 the very fluid regime that had been administered to her.
24 And that, I think, having heard your evidence about
25 that, that is what Mr Roberts is getting at. Should

1 some of that explanation not have been reflected in this
2 letter?

3 A. Absolutely, yes.

4 MR FORTUNE: If you look at paragraph 5(a), and perhaps you
5 can bring up the next page of the letter so that
6 Dr MacFaul can read the entire letter.

7 MS ANYADIKE-DANES: Yes:

8 "Claire was given fifth-normal saline fluid, which
9 is the most common type of fluid to be administered in
10 1996. Treatment has now changed. Nowadays, Claire
11 would be given smaller amounts of a different type of
12 fluid following admission. It is not possible to say
13 whether a change in the amount and type of fluids would
14 have made any difference in Claire's case as she was
15 very ill for other reasons."

16 MR FORTUNE: 8(a) may also assist.

17 MS ANYADIKE-DANES: "Hyponatraemia was not thought, at the
18 time, to be a major contributor to Claire's condition.
19 It is noted from the ..."

20 And then it goes on to deal with the post-mortem
21 report:

22 "The presence of hyponatraemia was indicated in the
23 clinical summary provided to the neuropathologist
24 conducting the post-mortem."

25 Does that indicate there that hyponatraemia, if it

1 was indicated in the clinical summary, means it was
2 something that was recognised and therefore that goes
3 back to Mr Roberts' point: if they did recognise it,
4 is that something that they were treating Claire for or
5 had they not treated her adequately for that and were
6 focusing on these other matters? That's actually what
7 he was asking in terms of the completeness of this
8 answer to his concern.

9 A. Well, in respect of 5(a), I have already addressed this
10 question because I don't think -- although it was the
11 most common type of fluid to be administered in 1996 in
12 general paediatric practice, it was not appropriate in
13 acute encephalopathy and I think we have mentioned that
14 at some length. The next statement is "treatment has
15 now changed". I believe it has not, and I have again
16 addressed that issue. This is where I differ from
17 Professor Young's view and I have explained that.

18 Hyponatraemia was not, at that time, thought to be
19 a major contributor to Claire's condition. Well, it was
20 listed on the autopsy request form as a significant
21 finding. It was also recognised in the discharge letter
22 from the intensive care unit. So the fact is that it
23 was documented as a significant contributor. I believe
24 that "the clinicians failed to appreciate" would be the
25 most generous interpretation of the degree to which it

1 had contributed to her condition.

2 Q. In fact, we will be returning to this letter and the
3 explanations during governance. But I think Mr Roberts
4 was simply wanting, given that you were talking about
5 fullness and completeness of explanations, to know
6 whether you regarded this letter to him as being a full
7 explanation of what had happened.

8 A. I don't, no.

9 Q. Thank you. One final point. 090-022-057. If you look
10 in the margin of this note, you'll see the osmolality
11 figure --

12 A. Yes.

13 Q. -- of 249. Then if you look at the first line of
14 Dr Webb's note:

15 "SIADH, hyponatraemia, hypoosmolality."

16 As I understand it, the range, normal range, is 275
17 to 295. It would seem that Claire's result is outside
18 that. Is there any connection to be made between that
19 result and the hypoosmolality inclusion in that line by
20 Dr Webb?

21 A. Yes, she was hypoosmolar. The osmolality as recorded is
22 low, and one of the factors in maintaining homeostasis,
23 which is part of the therapy of acute encephalopathy is
24 to try to get osmolality within the normal range, if not
25 a little bit above the lower end of the normal range.

1 In fact, Milner & Hull, the little handbook which
2 doctors carry round with them or at least study for
3 membership says specifically in 1992 -- I think it's
4 that document, it's in my report -- "maintain the
5 osmolality at 300".

6 Q. So what is the significance of that figure so far as you
7 understand it?

8 A. Well, one of the simplest ways to estimate the
9 osmolality is roughly to double the blood sodium level.
10 So it was 121, double that, it's 240. It's not far off.
11 And so you always have to add the glucose on as well and
12 a bit of potassium, but they're small figures. As
13 a rough estimate of osmolality at any stage you simply
14 double the sodium for a quick answer, unless you have a
15 blood osmolality, which they have here. It is low.
16 It's significantly low.

17 Q. And what does that mean in relation to her condition?

18 A. Water overload or syndrome of inappropriate ADH
19 secretion.

20 THE CHAIRMAN: Doctor, thank you very much. It's been
21 a long two days for you. We'll see you again in
22 governance in December.

23 (The witness withdrew)

24 Timetabling discussion

25 Ladies and gentlemen, as you know, Dr MacFaul's

1 evidence was the only remaining evidence to hear this
2 week. I'd already announced that we were not going to
3 sit next week. We're going to resume on Wednesday the
4 28th with the evidence of Dr Webb who has recovered
5 sufficiently to come and give evidence. That will start
6 on Wednesday the 28th and run into the 29th. That first
7 week, starting on Wednesday the 28th, we're going to sit
8 on the Friday, so it'll be Wednesday to Friday. The
9 following week, we'll resume and then go Monday to
10 Thursday on 3 to 6 December, Monday to Thursday again on
11 10 to 13 December and, perhaps, Monday to Wednesday on
12 17th, 18th and 19th. We'll circulate a more detailed
13 schedule over the next few days when we fit various
14 witnesses into place, but we intend to start on
15 Wednesday the 28th with Dr Webb straightaway and we'll
16 leave any opening of the governance element until into
17 the week of Monday the 3rd. But we'll put a date on
18 that.

19 I think that sorts your problem out, your problem
20 having arisen from our indication to everyone that we
21 weren't sitting on the Monday and Tuesday.

22 MR FORTUNE: I'm very grateful for that, sir.

23 Insofar as those three days -- the Wednesday,
24 Thursday and Friday are concerned -- is it envisaged
25 that Dr Webb is likely to take most if not all of those

1 three days?

2 THE CHAIRMAN: I certainly hope not.

3 MR FORTUNE: Are we to expect any witness apart from Dr Webb

4 during those three days whose statement or reports we've

5 not yet had?

6 THE CHAIRMAN: No. In fact, what we're looking at -- and

7 this is to be confirmed -- is Dr Webb on Wednesday into

8 Thursday, and then we'll try to do doctors Herron and

9 Mirakhur on Thursday and Friday. I'm not sure that

10 there are any statements that you shouldn't now have.

11 MR FORTUNE: I was merely asking.

12 THE CHAIRMAN: I think there have been supplementary

13 statements coming in from people like Professor Young

14 and one or two others, but I think that the governance

15 statements are out. The sole exception is that we're

16 still hoping to get something from Professor Lucas, who

17 reported, as you'll remember, in Adam's case, and his

18 oral evidence was, by agreement, dispensed with because

19 it turned out to be non-controversial.

20 MR FORTUNE: I'm grateful for that indication because, as

21 you might imagine, Dr Steen has asked me more than once

22 when she is likely to be asked to come and give evidence

23 the second time.

24 THE CHAIRMAN: Yes. What I have is very much a draft

25 schedule and I think if we -- it is likely to be in the

1 week of Monday the 3rd, perhaps on Thursday the 6th.
2 But that's a perhaps. That's for Dr Steen herself. On
3 this provisional schedule which I have, she would give
4 evidence on Thursday the 6th, but that is subject to
5 confirmation about the availability of various other
6 witnesses who we've gone back to repeatedly about days
7 and another day and then a different day and so on.

8 The important thing is that we're starting on
9 Wednesday the 28th. That will be a Wednesday to Friday
10 that week. And the following weeks are: Monday to
11 Thursday, 3rd to 6th; Monday to Thursday, 10th to 13th;
12 and hopefully finishing by Wednesday the 19th.

13 MS O'ROURKE: Sir, do you have any idea when
14 Professor Neville will come? Our difficulty is in terms
15 of arranging an appropriate person to be here. As you
16 know, I am sort of filling in for Mr Sephton. Obviously
17 it's gone beyond the timetable anticipated. He's
18 obviously an important witness as far as Dr Webb is
19 concerned. Obviously, one of us will have to be here on
20 the 4th because Dr Scott-Jupp is coming back and he's
21 obviously significant. Do we have an idea for
22 Professor Neville? Is it going to be that week and, if
23 so, when?

24 THE CHAIRMAN: At 1.30 I was told that we were trying to get
25 Professor Neville in in the morning of Tuesday the 4th

1 and Dr Scott-Jupp in the afternoon.

2 MS O'ROURKE: That would be perfect if it's workable.

3 THE CHAIRMAN: It hasn't been confirmed. What we're trying
4 to do is get Professor Neville and Dr Scott-Jupp
5 finished on Tuesday the 4th and then the governance
6 openings on the morning of Wednesday the 5th. We'll let
7 you know as soon as we possibly can. Thank you very
8 much. Until two weeks.

9 (3.48 pm)

10 (The hearing adjourned until
11 Wednesday 28 November 2012 at 10.00 am)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1		I N D E X	
2			
3	DR RODERICK MACFAUL (continued)		1
4	Questions from MS ANYADIKE-DANES		1
5	(continued)		
6	Timetabling discussion		156
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

