

Tuesday, 8 May 2012

1

2 (10.00 am)

3

(Delay in proceedings)

4

(10.05 am)

5

DR MALCOLM COULTHARD (called)

6

Questions from MS ANYADIKE-DANES

7

THE CHAIRMAN: Doctor, you can take it that you know --

8

I think you have been following -- we've had three weeks

9

of evidence so far.

10

A. Indeed, yes.

11

THE CHAIRMAN: Some parts of that have been particularly

12

helpful and significant in clarifying some factual

13

issues we were unclear from the statements and people --

14

particularly Dr Taylor -- have changed their position

15

and we've also had quite a bit of expert evidence last

16

week.

17

So your reports are taken as read.

18

Ms Anyadike-Danes will not take you through your

19

reports. Your evidence today and, if necessary

20

tomorrow, will focus on the more important areas which

21

are still perhaps in dispute; okay?

22

A. Yes, I understand, thank you.

23

MS ANYADIKE-DANES: Dr Coulthard, good morning. There are

24

a number of your reports. I'm not going to read them

25

all out now. I will perhaps clarify with my learned

1 friends that they have received them all. But in any
2 event, the first of them is dated 9 August 2010 and they
3 continue up to -- the last substantive report being
4 17 March 2012. Then there is one latter one that's just
5 come in, in April of this year, dealing with
6 a particular point in relation to dialysis, peritoneal
7 dialysis.

8 So there they are. I take it that you are standing
9 over those, save any comments that you have to make in
10 your oral testimony?

11 A. Yes.

12 Q. Thank you. Do you have a copy of your CV there?

13 A. Not with me, no. (Handed).

14 Thank you.

15 Q. I hope everybody has a copy of it. It would have come
16 rather late in the day, but anyway there it is now.
17 I wonder if we could start with discussing some elements
18 of that CV. Firstly, if we go to your -- you started
19 off, I understand, at the Royal Victoria Infirmary,
20 is that correct, before you then went to London?

21 A. Yes, that's right.

22 Q. Pausing there, are there two hospitals in Newcastle?

23 A. There are two that are involved in transplantation.

24 Q. So it's the Royal Victoria and what's the other one? Is
25 it the Freeman?

1 A. The Freeman Hospital.

2 Q. Does one specialise in paediatrics rather than the
3 other?

4 A. Nearly all of the paediatrics, but not all of it, that
5 goes on in Newcastle goes on in the Royal Victoria
6 Infirmary. Paediatric cardiology goes on in the
7 Freeman, but all the rest of paediatrics including
8 nephrology goes on at the RVI. Transplantation is
9 almost entirely centred at the Freeman Hospital, so
10 there's cardiac, liver and kidney transplantation in
11 a transplantation centre at the Freeman Hospital. The
12 only transplantation that went on at the RVI when
13 I started in 1984 was paediatric transplantation and
14 a small number of adult kidney transplants. And
15 subsequently, all transplantation occurs at the Freeman
16 apart from children's kidney transplants; they still
17 occur at the RVI.

18 Q. When you started, if I can put it that way, were those
19 two hospitals in different trusts so far as you're
20 aware?

21 A. When I started, trusts were not a phenomenon that
22 existed. They were two separate hospitals with two
23 different managements --

24 Q. Managed separately, sorry, is the point that I'm getting
25 at.

1 A. Yes, they were.

2 Q. Then if we go to your period in Guy's, I think you
3 were -- actually, before that you were in Great Ormond
4 Street.

5 A. That's right.

6 Q. What took you there?

7 A. By 1981, in Newcastle, there were no paediatric
8 nephrologists in Newcastle. Children's kidney disease
9 was looked after by general paediatricians and there was
10 very little transplantation at all of children and it
11 was identified in Newcastle that there was a need to
12 start a department of paediatric nephrology, and
13 I was -- as a result of that decision, I spent two years
14 in London training to become a paediatric nephrologist
15 and came back to a post so that, in 1984, I returned
16 back to Newcastle and then became a consultant in 1985.
17 So that was two years of training, the first year at
18 Great Ormond Street.

19 The configuration of services in London has changed
20 in that time. When I was at Great Ormond Street, no
21 kidney transplantation went on at Great Ormond Street.
22 London effectively worked as a unit where Great Ormond
23 Street was the hospital that did the majority of acute
24 kidney management.

25 So they dealt with children with all sorts of kidney

1 diseases. But those children that got to the point that
2 they would be considered for transplantation were then
3 transferred to Guy's Hospital. So I spent a year at
4 Great Ormond Street training in paediatric nephrology in
5 general and I then went to Guy's Hospital. At Guy's
6 Hospital, at that time, there was obviously some general
7 paediatric nephrology going on, but the main emphasis at
8 Guy's Hospital was dialysis for chronic cases, ie
9 children who have got permanent long-term kidney disease
10 and transplantation.

11 Q. Can I just ask you, was Professor Koffman there when you
12 were at Guy's?

13 A. No.

14 Q. So you spent your time in Guy's and then you come back.
15 And when you come back, is the idea then that you will
16 develop the paediatric renal transplant service in
17 Newcastle?

18 A. Yes.

19 Q. How were you able to do that? Where did you get your
20 resources from in terms of surgeons, anaesthetists and
21 so forth?

22 A. It has obviously evolved considerably between 1984 and
23 2012, but in 1984 paediatric nephrology was really
24 practised by general paediatricians and I then came in
25 to lead on the medical side. I then became the

1 paediatric nephrologist and looked after all the
2 children, and as has happened elsewhere -- and I know
3 happened in Belfast for the first few years -- for the
4 first 7 or 8 years, I was single-handed so I was the
5 only paediatric nephrologist in Newcastle. It
6 subsequently built up. That's from the medical
7 perspective. From the surgical perspective,
8 transplantation surgery has always been done in
9 Newcastle by transplant surgeons as opposed to
10 paediatric surgeons.

11 When I went back there and they -- when I started
12 there they'd done one or two transplants in older
13 children, teenagers. They hadn't really done any
14 transplantation in young children. Immediately when
15 I started there, I liaised very closely with the
16 transplant surgical team -- some of them were at the RVI
17 and mostly at the Freeman and increasingly moved across
18 to the Freeman. But I liaised with them directly and
19 they were direct colleagues rather than paediatric
20 surgeons.

21 In terms of the anaesthetist arrangements, they were
22 very different in 2004 from what -- again, from what
23 they are now. In 2004 --

24 Q. Do you mean 2004?

25 A. Sorry. In 1984. From 1984 to 2012, I beg your pardon.

1 In 1984, when I was required to do an
2 anaesthetist -- required an anaesthetist to do a
3 transplant, I would ask for the anaesthetist on call,
4 who was the anaesthetist that would cover children's
5 surgery, but was not very often -- very often was not
6 a paediatric anaesthetist, it would be an anaesthetist
7 covering a general rotation. And my relationship with
8 the anaesthetist in relation to transplant surgery --
9 I don't know if you want me to expand on that now.

10 It was very different from how it is now. Over the
11 years, we've increasingly become -- to sub-specialise
12 and now I would only deal with the consultant paediatric
13 anaesthetist, but in those days you had a paediatric --
14 sorry, a general anaesthetist, consultant anaesthetist.

15 Q. We are going to come back to that relationship, which
16 will cover the sorts of discussions you would have when
17 you were actually faced with the offer of a kidney for
18 transplant. What I'm really asking you to help us with
19 at this stage is actually your experience in developing
20 a paediatric renal transplant service.

21 You'll probably appreciate from the evidence that
22 Professor Savage has given that he also had a task
23 facing him, roughly like that, when he was the only
24 consultant paediatric nephrologist, and he was also
25 trying to develop a paediatric renal transplant service

1 coming out of the Belfast City Hospital, which was
2 a separate hospital, and in those days from a separate
3 trust.

4 So it would be helpful for you to explain how you
5 developed that, initially where you obtained your
6 protocols from and what stage you had reached by 1995
7 in the evolution of that service, if I can put it that
8 way.

9 A. Okay. I'd got my kidney transplant training in Guy's
10 Hospital. I went directly from there to Newcastle and
11 I took with me, as well as the general training that
12 I had, I took with me protocols from my training from
13 Guy's Hospital. So when I arrived in Newcastle, I set
14 up a service in which I produced local protocols, but
15 they were very, very much based on the protocols I'd
16 come across in my training. And I then -- in terms of
17 the purpose of those protocols, essentially in terms of
18 managing my team -- that is to say paediatricians, my
19 junior doctors and the nurses that I was working with --
20 was that I would use the protocol with them as an
21 educational tool to bring them on board.

22 My relationship with the surgeons in terms of
23 developing the service was to develop very close
24 relationships with the surgeons to agree and discuss
25 with them the protocol that I was aiming to use and to

1 agree that we were all happy with that. And then to
2 continue --

3 Q. Sorry, can I just ask you: when you say "agree we were
4 all happy with that", did they have any input into the
5 protocol itself?

6 A. There are different elements of the protocol. In terms
7 of elements such as fluid management, they accepted that
8 I was -- that was my area of speciality and I -- they
9 obviously, when we first met, wanted to know that I was
10 a plausible guy and that I would bring along appropriate
11 skills and that they realised that that was an area that
12 I would cover. And they were happy for me to just deal
13 with that. When it came to more shared areas such as
14 immunosuppression, in which transplant surgeons will
15 have very great interest, in those areas we debated the
16 details, although in fact what I set out was more or
17 less fully accepted, but they had a strong input into
18 a discussion on to how we would immunosuppress children.

19 And in terms of things like our relationship with
20 the surgeons meeting the families, liaising with the
21 families, how we would interact in terms of when
22 children were brought in for surgery, when they were
23 consented for surgery, when they were put on the list,
24 those sorts of arrangements were also discussed. Some
25 of that went into the protocol and other parts of that

1 were just an unwritten agreement.

2 Q. How did that work?

3 A. How did the relationship with the surgeons --

4 Q. Yes, the involvement with the surgeons at the stage when
5 you're thinking that you'll put a child on to the
6 transplant register right up until the time when an
7 offer is being made. How did that relationship work?

8 A. Okay. The primary carer for a child in chronic renal
9 failure, in my view as a paediatric nephrologist, is the
10 paediatric nephrologist. Our role as paediatric
11 nephrologists would be to identify children that were
12 progressing into kidney failure or had developed kidney
13 failure which we decided was irreversible and needed
14 dialysis or transplantation. At that point when we
15 first considered the possibility of transplantation,
16 we would discuss it in great depth with the family so
17 that they fully understood the issues and the direction
18 that we were moving in, the sort of events that they'd
19 be facing in the future. Then at that point, we would
20 introduce them to the transplant surgeon.

21 Now, that took place as a joint clinical meeting,
22 usually on our territory, but sometimes on the surgeon's
23 territory. So in practice, what nearly always happens
24 would be that we would talk to the transplant surgeon
25 privately about -- ask them if they would attend

1 a clinic with us, give the outline of the case and all
2 the background of the case so that the surgeon would
3 then actually come to the clinic where the parents and
4 other supportive relatives and the child, the paediatric
5 nephrologist, the children's kidney nurse and the
6 transplant surgeon would literally have a combined
7 clinic where we would all discuss the issues. And then
8 the surgeon would examine the child, discuss issues with
9 us and with the parents and with the child, if they're
10 older children, examine the child and then come to
11 a plan at that point with us about timing, whether or
12 not we'd need to use dialysis, what sort of dialysis,
13 what sort of particular issues the surgery might carry
14 with it and so on.

15 So at that point, we would forge a joint plan.

16 Q. Sorry, just before we get into the joint plan, when you
17 were having your earlier discussion with the surgeon,
18 when you came back and you were seeing how this
19 paediatric transplant service might be delivered and you
20 were discussing with them the protocols that you were
21 developing, your local protocols, and I think you said
22 part of your discussion is about how they would become
23 involved in this --

24 A. Sure.

25 Q. Is that part of what you agree with them, that there

1 will be meetings -- they've been called
2 multidisciplinary meetings; they don't have to be called
3 that -- that you would wish them to come to and wish
4 them to be involved in --

5 A. Absolutely. I mean, it's a two-way process. I wanted
6 the system to work like that, but equally, the
7 surgeons -- and obviously there was a lead surgeon then
8 who I had a particular close relationship with. We
9 built the service up together. That lead surgeon also
10 made it very clear to me -- if I had needed it making
11 clear to me -- that he would not be prepared to run
12 a service any other way. He was not a technician,
13 he was a major player in the decision-making about which
14 children would go on call, that he had met the families,
15 he had met the child. His phrase was, "There's no way
16 I am going to operate on a child unless I've put my hand
17 on their belly", but which he meant he had met them,
18 examined them and talked to the family.

19 THE CHAIRMAN: Doctor, can I assume that this didn't happen
20 overnight when you went back to Newcastle from London in
21 1985; this is what developed over the following years?

22 A. Not really, no. It more or less happened overnight to
23 be absolutely honest, in the sense that actually the
24 precise thing that happened was that when I came back,
25 there was a teenage boy who I felt was needing fairly

1 urgent transplantation and my first approach to the
2 transplant surgeon about that was an interaction in
3 which we forged this relationship.

4 THE CHAIRMAN: Okay.

5 A. He made it very clear to me what he would want from me.
6 I had a protocol, he looked at the protocol, he said how
7 he would want to work, and we just -- it happened that
8 we had a very common approach, so we just agreed there
9 and then that's how it would work. And since then it
10 has obviously evolved in a whole number of ways in the
11 sense that, in 1984, he was the surgeon that did all the
12 children's transplants; there is now a bigger team. But
13 the whole system developed and continued to develop
14 along those lines. Initially, it would be
15 a relationship between myself and a surgeon and we would
16 sit down and discuss it -- we wouldn't call it
17 a multidisciplinary meeting, we'd call it a chat -- but
18 as more people became involved, it became formalised.

19 THE CHAIRMAN: Are you talking about a single surgeon?

20 A. Initially, I worked directly with a single surgeon, but
21 he was the head of a team and all the surgeons that
22 worked with him and under him worked in that way. And
23 as he -- other people came up and became more senior,
24 that became the established norm and we effectively
25 institutionalised our initial arrangements.

1 THE CHAIRMAN: Because they followed his lead?

2 A. Because they followed his lead and because, I suspect,
3 that's what they wanted to do anyway. But that's how it
4 worked, yes.

5 MR FORTUNE: Sir, while we certainly encourage this line of
6 questioning, can we establish from a Dr Coulthard what
7 he means by "a protocol"? Because we've had reference
8 to guidelines, we've had reference also to an unwritten
9 agreement mentioned just a few moments ago by
10 Dr Coulthard. Could we establish what is what?

11 MS ANYADIKE-DANES: Yes, we will certainly do that. You're
12 quite right. There has been some discussion about what
13 those terms mean.

14 When you came back to Newcastle and you knew that's
15 what you were coming to do, did you have any thoughts
16 about how that would work with the other disciplines,
17 primarily the surgeons, or was it simply fortuitous that
18 you ended up forging a relationship with the surgeons?

19 A. I had in mind that it would work in that way.
20 I couldn't see any other way that it could work and
21 certainly where I trained, in Guy's Hospital and a Great
22 Ormond Street, that's exactly how the relationship was
23 then. Although in Great Ormond Street, there was no
24 transplantation when I worked there, children in Great
25 Ormond Street were transferred as they reached a point

1 where they required it to Guy's Hospital and, while
2 I was at Great Ormond Street, I met the transplant
3 surgeon from Guy's coming to Great Ormond Street having
4 exactly that kind of relationship with the paediatric
5 nephrologists at Great Ormond Street. Then as I moved
6 across to Guy's, there they were in that setting.

7 That was a model that seemed to be an obvious model
8 and it's the one I wanted to follow. So I came back to
9 Newcastle thinking that that was the model I wanted to
10 forge. And the transplant surgeon had the same view.

11 Q. Were you aware of whether that sort of model existed in
12 other centres where they were carrying out or starting
13 to carry out paediatric renal transplants?

14 A. I think it -- I'm almost certain that it did so. It's
15 interesting to note that nearly all of the paediatric
16 nephrologists in the UK at that time went through Guy's
17 or Great Ormond Street -- virtually all of them did
18 so -- and it was the model that was taken to be the sort
19 of standard model.

20 Q. Then just one more question before I do address this
21 issue with you as to guidelines and protocols and so
22 forth. That is the fact that your surgeons, at least
23 initially, were coming from another hospital and on
24 a different site. Did that introduce any difficulty
25 into establishing this arrangement?

1 A. No. No. In actual fact, right at the beginning in 1984
2 there was some transplant surgery in the RVI and some
3 at the Freeman and it was being moved across to the
4 Freeman, so I kind of got the tail end of them actually
5 being on site. But in a sense it was irrelevant because
6 the hospitals are only a mile-and-a-half apart and we
7 meet in other academic settings. It was just expected
8 that you would have to have that relationship. The fact
9 there's a mile-and-a-half between you is really
10 irrelevant. That couldn't be allowed to be a barrier to
11 this sort of working --

12 Q. Well --

13 A. -- and it never has acted as such.

14 Q. Sorry. The geographic distance is one thing, but you
15 said those hospitals were under separate management. So
16 did that affect matters, that two management systems had
17 to have a relationship to allow the resources of one to
18 be applied for the service of another?

19 A. That was never anything that impinged on me at all. The
20 two hospitals and clinicians between the two hospitals
21 have always worked -- you know, that has never been
22 a barrier, as far as I've ever seen, to working. The
23 fact that we then became a single trust, to me, was
24 completely irrelevant because the working relationship
25 was forged between clinicians and the fact that the

1 management was this or that was not really relevant to
2 us.

3 Q. Let me take you to the point that my learned friend
4 Mr Fortune has mentioned. You will know that the
5 document that was drawn up by Professor Savage and
6 dated September 1990 has been variously referred --
7 I think it is referred to as a protocol, but it has been
8 described in other ways. You also have referred to
9 bringing the protocols that you were used to in London
10 and making them applicable to your local situation. And
11 you have referred to that as a protocol.

12 When Dr Haynes was giving his evidence, and I think
13 maybe Professor Forsythe and Mr Rigg, they talked about
14 guidelines, guidance and so forth and said that there
15 was a very clear difference between guidelines and
16 protocols. From your point of view, when you refer to
17 having developed a protocol, which had some input from
18 the surgeons and this developed over time, what are you
19 talking about? Are you talking about a protocol,
20 a guidance, an aide-memoire for you and your team? What
21 are you talking about?

22 A. I'm talking about a document which outlines the
23 requirements of the exercise. It would include
24 information about the aims of each part of the -- it's
25 difficult to say this without using protocol and

1 guidelines in a specific way. It would, for example,
2 give the reason why we would want the fluid management
3 to be as was laid out. It would give the prescription
4 of the formulation that we would use so it would produce
5 that fluid management. It would give the doses of which
6 medications that we would want to give. In that sense
7 it's prescriptive for -- let me start again.

8 For me as a consultant who wrote the document, for
9 me personally, it was a sort of aide-memoire and it was
10 more a teaching tool so that I would be able to give
11 that document to a junior doctor and I would expect them
12 to follow it. So for them, I suppose it's a protocol,
13 I want them to follow this, I want them to take the
14 bloods I ask, to send them at the appropriate time to
15 the appropriate place and so forth --

16 Q. Let's --

17 A. It doesn't mean, however -- and this is my problem with
18 terms like "protocol" and "guideline" -- it doesn't mean
19 that everything in it has to be slavishly followed
20 because there's always an element of judgment in any
21 medical situation. So for example, the antibiotics to
22 give as per the protocol. However, part of your medical
23 judgment will be to discover whether that child had an
24 allergy and then to choose a different antibiotic so
25 that it's -- to me, the terms "protocol" and "guideline"

1 are often used interchangeably and I'm using them sort
2 of interchangeably.

3 In terms of its use for the surgeons or the
4 anaesthetist, it would have yet a different role.

5 Q. What did you foresee as its use for the surgeons and
6 anaesthetists?

7 A. For the surgeons, when we developed the protocol and
8 adjusted the protocol, it was a formal forum about which
9 we could debate changes. So when I arrived, I wanted
10 to -- I brought with me an immunosuppressive scheme, the
11 surgeons discussed that and maybe we would tweak it
12 a bit and then we would come to a final decision of what
13 we would done. Then a bit later, a new drug would come
14 on the scene and we would change it. So the protocol or
15 guideline is changed according to development and times
16 and having it as a written formal protocol is a way
17 that, in a sense, prevents me, on the one hand, as
18 a paediatric nephrologist, from just making changes
19 without informing people.

20 So in a sense, it was a way of -- it was
21 a formalised way of ensuring, almost like minutes, that
22 we're in agreement on some of these details. That's how
23 it was used with respect to the surgeons. The surgeons,
24 having agreed it, wouldn't ever look at it on
25 a day-to-day basis.

1 Q. But they would know about it?

2 A. They would know about it and we would discuss it at
3 ongoing meetings, "We would like to change the protocol
4 because this drug has come in and we want to introduce
5 this drug, what do you feel?", and we would, you know --
6 the paediatric nephrology transplant surgeons are a team
7 in terms of those changes and nobody would take
8 a unilateral decision.

9 Q. In fact, a change like that actually happened here when
10 Dr O'Connor came from Bristol. She brought with her the
11 Bristol protocol -- if we carry on using the word
12 "protocol" because that's what's on the front of all
13 these documents she brought with her. She started on
14 1 November and, as a result of that and a discussion she
15 had with Professor Savage, they did actually change the
16 immunosuppressant drugs: they introduced or substituted
17 methylprednisolone, for example, which hadn't previously
18 been in the protocol that Professor Savage had devised.
19 Is that the sort of thing that you're talking about?

20 A. That's exactly right.

21 Q. That was for the surgeons. For the anaesthetists, what
22 role did you think your protocol had for them?

23 A. The protocol included in it the principles of fluid
24 management during surgery and some details about how
25 that would be achieved, including the use of the CVP and

1 so on. Those were embedded in it. I have to say,
2 latterly, after 1995, but just to round this, we
3 subsequently rewrote and updated a protocol with
4 paediatric anaesthetists so that we would have one that
5 they had contributed to in the same way the surgeons did
6 initially with the original protocol. And in 1995, that
7 wasn't the case. We had embedded in it the principles
8 of how we wanted the children to be managed in terms of
9 fluids during surgery, but I never used that protocol as
10 an actual paper document in that manner. I would
11 actually always have a discussion with the anaesthetist
12 about what I required of him or her.

13 Q. Was that discussion along the lines of the fluid
14 management or the fluids that you had included in your
15 protocol?

16 A. Yes. The information was in the protocol and the
17 principles and how we would go about making those fluid
18 prescriptions would be in the protocol, but I didn't
19 expect that document to be used by any particular
20 anaesthetist because, to me, that would not be
21 a sufficient form of communication. In those days,
22 protocols were paper, they would be in the ward
23 somewhere, and although they were important to us and we
24 used them very proactively, from the perspective of an
25 anaesthetist who was doing an anaesthetic for us for

1 a transplant, I would not rely on them reading that as
2 being sufficient communication. I would talk to them
3 about what was in there.

4 And obviously, it would be available if there was
5 dispute or discussion and they wanted to see the
6 background to it, it would have been available. As it
7 happens, until we actually sat down with paediatric
8 anaesthetists and wrote it in a bit more detail, no
9 anaesthetist ever actually asked me for the document
10 because it was a discussion that we were having. The
11 discussion would have gone much deeper than the document
12 would have provided information on.

13 Q. So the protocol, so far as you're concerned, would have
14 been no substitute for the discussion you wanted to
15 have --

16 A. Absolutely not.

17 Q. -- about the individual needs of the particular patient?

18 A. Yes. Because -- whereas we had a personal relationship
19 with the transplant surgeons, the lead one and then
20 subsequent surgeons, there would only would be a small
21 number and they would do transplant surgery, they would
22 have views and opinions about, for example,
23 immunosuppression. They were part of what I would
24 regard as a core team.

25 The anaesthetists -- I'm not diminishing their role

1 at all, but the anaesthetists, our relationship with
2 them was very different because on any particular -- by
3 their very nature, cadaveric transplants are
4 emergencies, they're unplanned. And by their very
5 nature, you have no idea, when you're writing protocols
6 or planning a child's surgery, who the anaesthetist will
7 be, what his background is, what his skill base is. And
8 so it was beholden on, in my view, the paediatric
9 nephrologist that when a transplant was actually
10 happening, to seek out and discuss the plan for it, the
11 transplant, from an anaesthetic fluid perspective and
12 I wouldn't have relied on either handing them a bit of
13 paper or expecting them to know that such a bit of paper
14 existed.

15 THE CHAIRMAN: When you said that the discussions which
16 you'd had with the anaesthetists went beyond what would
17 be setting out in writing in the protocol, would that be
18 to the extent that you would have discussed with an
19 anaesthetist what type of fluid might be used?

20 A. That was also in the protocol, but when I say it would
21 go beyond that, what I'm saying is in terms of detail.
22 I would have a much more extensive exchange with them
23 than -- they would have learned more from a discussion
24 with me than they would from reading my protocol because
25 I would have been more expansive.

1 MS ANYADIKE-DANES: And what sort of thing are they learning
2 from you, just so we're clear?

3 A. Okay. From the point of view of the anaesthetic, the
4 paediatric nephrologist is not in any way setting out to
5 talk to the anaesthetist about issues to do with pain
6 relief or sedation or muscle relaxation. Those are
7 areas that are entirely within the expertise of the
8 anaesthetist and not in my expertise. So those areas
9 I wouldn't be interested in discussing with him.
10 I wouldn't have anything to bring to that. What I would
11 be bringing to that discussion would be how we were
12 going to manage the child's fluids. Do you want me to
13 outline how I'd do that in practice?

14 Q. Yes, that would, I think, be helpful. Before you do
15 that, are we talking about events prior to and including
16 1995 and not more recent?

17 A. Yes. This is up to and including 1995, yes.

18 There are broadly two components to the fluid
19 management of a child having a transplant. One element
20 is that you have to replace fluid that the child is
21 losing from their native kidneys, from their own
22 kidneys -- so when they go to theatre, they have their
23 own kidneys and they may or may not be losing urine, and
24 that needs replacing. So that's one section. The other
25 section is that you need, at the time of transplant

1 surgery, to have a child very fluid replete. You want
2 the child to have more fluid on board than an average
3 healthy child would have just running around. You want
4 to make sure they're really well filled. Not
5 excessively filled, but very well filled. So there are
6 two components.

7 Now, the first component -- I mean it's very simple,
8 really. What we would do is to measure the
9 concentration of salt in the -- sodium in the urine on
10 the child on admission and use that to inform the
11 anaesthetist of what fluid would be the appropriate
12 fluid for that section, for replacing the urine.

13 Now, there's a -- the minority of children that have
14 a transplant -- the minority of children, the majority
15 of adults, but the minority of children that have
16 transplants -- don't pass urine at all. So that bit for
17 those children is very simple. They don't need any
18 fluid replacement. Most children going to transplant
19 surgery have their own native original kidneys produce
20 large, typically -- moderate or large volumes of urine,
21 which is of fixed concentration. Their kidneys are able
22 to produce urine, but they're not able to flexibly
23 regulate it in the way that healthy kidneys are.

24 Q. Does that mean that most of them are more like Adam or
25 not?

1 A. Yes, he would be typical. I have to say that, as it
2 happens in Belfast, there is a condition called
3 congenital nephrotic syndrome which is a genetic
4 condition which happens to be a bit commoner [sic] in
5 Belfast than in the mainland and those children actually
6 come to end-stage renal failure without any urine. So
7 they're an anuric group. So they would be a bit more
8 represented here. It might be even numbers here.
9 In the rest of the UK, the majority -- a clear majority
10 of children coming to transplantation -- will have an
11 urine output which is an inflexible or a fixed type.
12 And I don't know the figures here exactly, though I have
13 actually been involved with studies involving Belfast,
14 and I think it's about equal numbers that come.

15 So essentially, you measure the concentration of
16 salt in the urine, then you know what concentration it's
17 going to be coming out at because it's kind of fixed,
18 and then you can replace it with the nearest convenient
19 intravenous fluid or make up a particular fluid. In
20 practice, as it happens, the vast majority of children
21 who have end-stage kidneys, ie kidneys that still work
22 but aren't doing enough work and have to be
23 transplanted, the majority of those children have
24 a urine concentration of about sort of 70 to 90
25 millimoles per litre. That's the concentration of salt.

1 And that happens to be approximately half the
2 concentration in your blood. There is a solution called
3 half normal saline which contains a sodium of
4 77 millimoles per litre, which is approximately half
5 that in the blood, and so the majority of times, if you
6 had a child like Adam, what I'd be saying to the
7 anaesthetist is, "This child passes about 60 ml of urine
8 an hour and it's equivalent to half normal saline, so
9 that's what I would like you to use; okay?" So that's
10 one element.

11 The other element is to talk about the CVP and fluid
12 management for that. Now, that's kind of -- from my
13 perspective, it's kind of quite interesting historically
14 because, in 1984, when I first came back to Newcastle,
15 I came back understanding that what you needed to do was
16 to regulate the amount of fluid that you gave according
17 to the child's CVP. That was what I was taught. I had
18 actually assumed that that's how all kidney
19 transplantation was done, but I discovered when I first
20 started doing it in Newcastle that the anaesthetists
21 were not aware of that because the adult transplant team
22 in 1984 in Newcastle didn't use CVP in that way. They
23 managed the fluid balance of their adult patients by
24 other clinical judgments. And I have to say that's
25 considerably easier in adults than it is in children

1 because of the -- because the precise nature that you
2 ... You need to be much more pedantic and pernicky
3 about fluid management in small children because it's
4 very easy --

5 Q. There's not a lot of latitude?

6 A. Yes, there's not much flexibility on that. So in
7 1984/85, up to about 1990, when I asked an anaesthetist
8 to anaesthetise a child for a transplant, I would be
9 saying, "Right, we need this much fluid". I wouldn't
10 say "we need", I would say, " This child produces 65 ml
11 an hour [say]of the equivalent of half normal saline, so
12 that's what I'd suggest you use for that. We want this
13 child's CVP up to 9 or 10 at the end of the procedure",
14 and they would say, "What? You want a CVP?", and you
15 would then have to go through and explain the rationale.
16 It's all very simple, it is very straightforward why you
17 would do that, it makes complete sense, but it was a new
18 thing then for transplantation in terms of adults. So
19 for -- most anaesthetists wouldn't have come across
20 using it in that particular format. So in those days
21 I had to explain it in great detail. That's why I was
22 saying much more detail than would just appear in the
23 protocol.

24 By about 1990, the adult physicians had also adopted
25 the same approach and so, much more frequently by the

1 time you were getting to 1990, if I spoke to an
2 anaesthetist, I would say, "I want the CVP to be
3 whatever", and they would say, "Sure, in adults we tend
4 to get it to 7 or 8", or whatever it was, and we would
5 have a discussion about the detail but there'd be no
6 discussion about the principle of it that you would want
7 their CVP up and you would get it there by fluid
8 expanding them, by giving them volume. And then -- and
9 certainly by 1995, that would be what would be expected.

10 Q. But in this case, Dr Coulthard, Professor Savage had the
11 benefit of a consultant paediatric anaesthetist,
12 Dr Taylor. That's what Dr Taylor's discipline was.

13 A. Sure.

14 Q. So in 1995, he would have understood about the need for
15 measurement using CVP?

16 A. Yes.

17 Q. So if you fast forward a little bit from where you were.
18 You were at 1990, when the anaesthetists were just
19 beginning to embrace that both in their adult practice
20 and presumably in their paediatric practice.

21 A. Yes.

22 Q. If you fast forward to 1995 then, what is the level of
23 detail of the discussion that you're having with the
24 anaesthetist about the fluid management whilst a child
25 is in the operating theatre?

1 A. In a sense, the discussion is exactly the same.
2 Certainly the bit about the urine replacement because
3 that would be something that the anaesthetist maybe
4 wouldn't be especially familiar with, that concept of,
5 "This is how we work it out". But it's very
6 straightforward. The second part, I would then start
7 saying: we want a CVP -- in actual fact, there is an
8 element here, without being too sort of touchy-feely
9 about it, there's an element here of respecting other
10 professionals' knowledge and information. And
11 I wouldn't want to go to an anaesthetist and suggest
12 he was starting from a different position. What I would
13 do is say: we want, obviously, a CVP line, we will
14 provide you with a CVP line. So we would send a child
15 to theatre with the central line that we wanted because
16 we had different sized ones for different children and
17 it would save the anaesthetist scrabbling around finding
18 the particular one. And we would then say, "We want you
19 to run a CVP", and if they said, "Yes, that's fine.
20 What pressure are you aiming at?" That would be one
21 conversation. If I met somebody who raised their
22 eyebrows and said, "You want a CVP line?", I'd go back
23 to my 1984 situation.

24 That is why a conversation is much better than
25 protocol. By a conversation, you can gauge whether

1 somebody has a full understanding of your requirement
2 and, at the end of it, you would know that the
3 anaesthetist would know you want a CVP, why you want
4 a CVP, and what you want the pressure to be by the time
5 the surgeons have reached the point that they're ready
6 to connect the kidney to the blood flow.

7 Q. And release the clamps?

8 A. Yes.

9 Q. And would you know also the approach that the
10 anaesthetist is going to take to manage those fluids?

11 A. We would ask them to "fill them up," meaning give enough
12 volume to the child -- fluid volume to the child -- in
13 order to achieve that CVP. I wouldn't -- going beyond
14 that would not be necessary with an anaesthetist. An
15 anaesthetist would know what that meant. They wouldn't
16 be fit to be an anaesthetist if they didn't know what
17 that meant, that essentially what one is saying is: give
18 plasma or saline in order to expand the child's volume
19 in order to achieve a particular CVP. I wouldn't
20 actually expect to tell them which fluid to use for that
21 because there's no choice.

22 Q. Except you have indicated that you would be suggesting
23 Hartmann's in relation to the replacement of urine.

24 A. That's very different because that is a particular
25 estimation that is something that we're very used to

1 making. If you are dealing with a patient, child or
2 adult, who's got normal kidneys, then the degree of
3 precision as to whether you give exactly this fluid or
4 that fluid is nowhere near as important because if an
5 anaesthetist chose to give half normal saline or normal
6 saline or fifth normal saline in particular
7 circumstances, what a child with a healthy or normal
8 kidney would do would be to excrete urine in
9 a particular way so as to compensate for that.

10 For example, if a child got a normal saline instead
11 of half normal saline to replace the urine, that would
12 tend to accumulate more salt in the body. If they had
13 normal kidneys, they would excrete that salt, no
14 difficulty whatsoever in the same way that you and I
15 excrete salt after we eat a bag of crisps. So you don't
16 then have to be so prescriptive. The thing about
17 anybody with kidney failure -- but in my speciality, the
18 thing about children with kidney failure, by definition,
19 is that by the time is kidney's at end stage, it's not
20 able to perform as it should do, and that includes that
21 it is not able to perform flexibly and make adjustments
22 to the urine volume and the amount of salt in it, so
23 you have to take over that regulatory role. Although
24 that's kind of obvious and fairly simple and
25 straightforward, perhaps if you're an anaesthetist doing

1 95 per cent of your anaesthetics on patients who have
2 normal kidneys, it's kind of helpful to remind them
3 about that at the time.

4 So that's why I did that. I would say, you know --
5 I wouldn't be taking the view that I was teaching
6 them: that's how you do it. I'd be saying: I've saved
7 you the trouble of working that out and, in this child's
8 case, it's half normal saline that you want. Maybe it
9 was jogging them a bit, but that would be its purpose.
10 When it comes to giving volume to expand a child's
11 vascular compartment, there will be no need to debate
12 that.

13 Q. Thank you.

14 MR FORTUNE: Sir, before we leave this aspect, could we
15 clarify with Dr Coulthard something he said a moment
16 ago:

17 "When we [the nephrologists] send a child to the
18 anaesthetist with a CVP line."

19 Does that mean that the child has the line already
20 inserted? If so, is that done by the nephrologist? Or
21 is it physically the case that the line goes with the
22 child for the anaesthetist to place rather than having
23 the anaesthetist looking round the theatre and getting
24 the runner to find the line?

25 A. It's the latter. We would have a favoured particular

1 line of a particular diameter and length that we would
2 like them to use and we would send that with the child
3 so that when they put a central line in, they not only
4 didn't have to scrabble around to find the right one,
5 but we would know that they would have the one that we
6 wanted.

7 MS ANYADIKE-DANES: Can I one question in that sort of area?

8 If you, as a nephrologist, knew that the child had had
9 a number of central lines -- which I think from your
10 reports you said is quite often the case when children
11 reach this stage, that they've had a number of
12 procedures that have involved a number of central lines
13 and sometimes, maybe, the patency of their vessels is
14 a little difficult to manage with a central line --
15 is that likely to be part of a discussion that you'd
16 have with the anaesthetist?

17 A. Yes. We would say that they'd had a number of central
18 lines, yes. To be honest, that's almost the norm.
19 There will be very few children that would reach
20 end-stage renal failure and require a transplant that
21 didn't -- hadn't previously had several central lines.

22 Q. Yes, normal for them, but when you were discussing, for
23 example, the way in which you would address the fluid to
24 deal with the particular sodium concentration in the
25 urine passed by this particular child, you said that may

1 be something that the anaesthetist might not appreciate
2 because they may be more familiar dealing with children
3 with normal kidney who wouldn't have that particular
4 problem. So if you have anaesthetists who are not doing
5 that many paediatric renal transplants, they may be not
6 as familiar as you could be with children who have that
7 particular difficulty. Is that part of what you'd be
8 discussing?

9 A. Yes, it would be.

10 Q. Maybe we will deal separately with multidisciplinary
11 meetings, but since we're here anyway let me ask you it.
12 When you're having those meetings -- and I think, at one
13 stage, you said you'd formulate a plan -- we might come
14 back to that -- is that sort of thing about how you're
15 actually going to deal with the transplant of that
16 child, is that a part of that plan and would it go down
17 to the detail of what condition their cardiovascular
18 system was in and how easy or not it might be to manage
19 matters?

20 A. Yes.

21 Q. Is that part of what you discuss?

22 A. It would be, but I have to say the position of the
23 central line would not be a major part of that
24 discussion because the majority of children that go to
25 transplant already have had multiple lines. And

1 although it does make it more difficult, the fact
2 is that that's how it is. In the years that I have
3 practised, I can only remember one or two children where
4 it actually created a major difficulty and we've had to
5 use a femoral line. So although this is the case and it
6 does make it more difficult, it's usually not
7 insurmountable.

8 The only children where you really anticipate
9 a major problem is where children have had a special
10 event -- for example, if they've had a major thrombosis
11 as part of a previous illness or something like that --
12 and then one would know about that because of their
13 clinical history. If their clinical history is simply
14 that they've had four or five central lines, that would
15 be part of the anaesthetist's package and you would warn
16 them they've had four or five central lines and the last
17 one was on the left or whatever it was. And you'd
18 expect them to cope, despite that.

19 Q. Thank you very much. I am going to come back to these
20 multidisciplinary meetings and things that you would
21 discuss, but since we were in that territory I thought
22 I'd ask you that question.

23 If we come back to the actual protocol, in fact the
24 actual protocol is to be found at 002/2, page 52. At
25 least the first page of it is. That's the actual

1 protocol which I'm sure you've seen in the course of
2 preparing your reports.

3 A. Yes.

4 Q. The Bristol protocol, just so that we have it -- maybe
5 we can put it alongside -- is 002/2, page 64.

6 If we keep then turning in parallel, the
7 immunosuppressant can be found on the left protocol,
8 which is the Belfast one, at page 53. If we turn to
9 that one. That's the immunosuppressant.

10 In terms of the Bristol one, the immunosuppressant
11 there, I think, can be found at 002/2, page 65. Maybe
12 we can enlarge paragraph 7 there.

13 The evidence has been that when Adam went into
14 surgery, Dr O'Connor and Professor Savage had discussed
15 the immunosuppressant and what they were going to use is
16 methylprednisolone, which you see at paragraph 7 from
17 the Bristol, as opposed to the immunosuppressant that
18 you see at paragraphs 2 and 3 in the Belfast one.

19 A. Mm-hm.

20 Q. What Dr O'Connor said was she went in initially to the
21 theatre -- she was going to go in from time to time
22 anyway -- but she went in initially, partly to clarify
23 matters. I'm not going to bring it up now, but the
24 reference for it is her evidence on 25 April, and you
25 can find it starts at page 58, lines 15 and 16.

1 She was concerned that the anaesthetist should know
2 exactly what immunosuppressant is to be used.
3 Do you have any comment about having to go into theatre
4 for that purpose? Did it cause an element of confusion
5 or not? Not her going in; the fact that they were using
6 a part out of one protocol.

7 A. Right. I'm not sure quite which of the questions --
8 I've got a couple of questions. I'm not sure which bit
9 of it you're asking me. Are you asking me
10 am I surprised or confused about the fact that they made
11 a relatively last minute change or are you talking about
12 the fact that she went into theatre to --

13 Q. You can answer the first one.

14 A. The first one I think is fine. I think that represents
15 a discussion between two professionals where
16 hydrocortisone intravenously is a form of steroid,
17 methylprednisolone is a very parallel steroid. There
18 would be a debate between them. They are, in many ways,
19 almost interchangeable. There are reasons for choosing
20 one over the other. I can imagine that that is the sort
21 of thing that would occur as a result of a discussion
22 between two professionals and I think the fact that that
23 was discussed just prior to the transplant seems
24 entirely appropriate. I've no problem with that at all.
25 I think that's fine.

1 Q. Okay.

2 A. It's changed -- the fact that what they're doing is
3 different from what's written in their protocol is
4 entirely acceptable. That's why I was kind of referring
5 back in the earlier question about protocols and
6 guidelines. The information is there, you have to give
7 an intravenous steroid and they -- but you are not
8 hidebound by following the precision of it. You can
9 then use that as guidance and you can discuss which is
10 the right one.

11 Q. Can I ask you this though: who actually administers it?

12 A. I can tell you exactly what happens in Newcastle, and
13 I'm sure the same arrangements will apply. Having made
14 the decision of what drug you're going to use and the
15 dosage, that would be written up, but the -- our
16 protocol would actually state this, that the doctor
17 looking after the -- the paediatric nephrologist or his
18 representative, ie me or my registrar, would write up on
19 the drug sheet going to theatre the dose of the drug,
20 the name of the drug and the route of administration.
21 So you would write up, for example: intravenous
22 methylprednisolone -- if it's 10 per kilo they're
23 using -- 200 milligrams and the time of administration,
24 which would be at release of clamps. So the
25 prescription would be written by a doctor and if it was

1 written by a junior doctor, I would anticipate always in
2 this situation that it would be double-checked by
3 a consultant before the child went off. So the child
4 would go to theatre with a drug sheet which would have
5 that already prescribed, including the time. There
6 would be no debate from the perspective of the people in
7 theatre as to what they're meant to be giving because
8 it would be what's written on the sheet.

9 Not only that -- in practical terms, again really
10 just to make sure things run ultra smoothly because you
11 get one shot at a kidney transplant. To make sure
12 things run really smoothly parallel to our sending along
13 a line, we would also, in fact -- and it would be in our
14 protocol that you'd ask the ward nurses to obtain that.
15 In practice, we very often got them to mix the
16 solution -- it comes as a dry powder -- so what is
17 delivered to theatre is the child, the drug sheet and
18 the drug, and the timing of it is written on the drug
19 sheet. So it then becomes the anaesthetist's job to
20 ensure that that prescription is carried out.

21 So the anaesthetist would want to know from the --
22 he would be knowing anyway because it's a crucial part
23 of their interaction -- but he would want to know from
24 the surgeon when the clamps are coming off because he
25 would actually deliver that at the time.

1 Q. So we're clear: there'd no need for a nephrologist to
2 come in and check that? In your hospital, the
3 prescription is there, in fact more than that, the
4 actual drug is there --

5 A. Yes.

6 Q. -- which is to be administered in accordance with the
7 prescription. So the fact that some other
8 immunosuppressant drug might have been on the protocol
9 is neither here nor there because they will be adhering
10 to the actual prescription that is made for that child
11 on that day?

12 A. Exactly.

13 MR FORTUNE: Can we assist Dr Coulthard by referring either
14 to 058-035-133 or the same document at 059-006-011?
15 Because it's Professor Savage's management plan that is
16 set out. There it is.

17 THE CHAIRMAN: 133.

18 MR FORTUNE: If Dr Coulthard casts his eye down a third of
19 the page:

20 "In theatre to have."

21 And you'll recall that the evidence is that the
22 methylprednisolone had to be obtained specially, to be
23 brought into theatre, for it to be infused by the
24 consultant anaesthetist.

25 MS ANYADIKE-DANES: Yes, absolutely. I think that what

1 Dr Coulthard is saying is that that prescription would
2 be written up and the drug would accompany the child to
3 theatre. My understanding -- it may have been a slight
4 refinement on the way Dr O'Connor put it -- was that she
5 was going to have to go and get it and she was concerned
6 to make sure that there was no misunderstanding on the
7 part of the anaesthetist because they had slightly
8 changed the immunosuppressant regime. I think
9 Dr Coulthard's evidence is that there shouldn't be any
10 misunderstanding because there's a prescription and,
11 better yet, there's the drug in his hospital.

12 MR FORTUNE: And also at the time that the drug is
13 administered, in other words before clamps are released.

14 MS ANYADIKE-DANES: Exactly.

15 A. In terms of the relationship between the anaesthetist
16 and the use of the protocol, I would not be expecting an
17 anaesthetist to be confused by that at all, even if ...
18 You know, it is not their role. Their role is not to
19 decide which immunosuppressive drug to give. In that
20 case, they're doing almost a nursing job of
21 administering something that has already been written up
22 by another doctor.

23 Q. Yes.

24 THE CHAIRMAN: Is there evidence that Dr Taylor was confused
25 by this?

1 MS ANYADIKE-DANES: There was no evidence from Dr Taylor.
2 It was Dr O'Connor's evidence.

3 THE CHAIRMAN: Yes, but --

4 MR UBEROI: [Inaudible: no microphone].

5 THE CHAIRMAN: I'm not sure where we're going with this
6 because there's no evidence. Professor Savage has
7 described it, he has said when it should be given and
8 there's no suggestion that Dr Taylor somehow became
9 confused. And you wouldn't expect him to be confused
10 because --

11 A. No.

12 THE CHAIRMAN: -- he has the note and if Dr O'Connor comes
13 in to confirm everything's fine, that's not what went
14 wrong.

15 A. I agree.

16 MS ANYADIKE-DANES: Although in some of the statements it
17 has not been entirely clear as to who administered it.
18 There seemed to be some suggestion that the nephrologist
19 has to be there for it to be administered. But in fact,
20 in the way that Dr Coulthard has clearly put it, there's
21 a prescription, the drug is there, and all that the
22 anaesthetist has to do is follow the prescription,
23 effectively.

24 I wonder if I could ask you just one final thing
25 in relation to your protocol, and that is, I think, when

1 you were talking about it, you said that it was
2 something very much for your team as well as it being of
3 benefit to others, and in the team you included the
4 nurses?

5 A. Yes.

6 Q. How do the nurses get to know about it, about your
7 protocol?

8 A. The nurses -- there are two different sorts of nurses
9 that I'm referring to. First of all, there are
10 paediatric renal nurses. That is to say, nurses who are
11 part of the core members of the children's kidney
12 management team. Those nurses are party to all of these
13 discussions. They would have been party to writing the
14 protocol and they would have been party to all the
15 practical arrangements that we would make about the
16 protocol. They would be an integral part of writing the
17 protocol. So they would know about it by being part of
18 the core team.

19 The second group of nurses would be the nurses on
20 the ward where the child is admitted. The protocol
21 itself would be -- copies of the protocol in those days
22 would have been lodged on the ward in a file and as part
23 of the nurse education system, the renal nurses, the
24 children's kidney nurse specialists, would also attend
25 the ward, attend ward rounds and would teach the key

1 nurses on the ward about it. So there'd be a general
2 awareness that there was a transplant protocol and
3 I would then ring the ward and say, "I've just had
4 a phone call, and we're thinking about a kidney for
5 somebody or other", the nurses would get that child's
6 notes, get the information and get a protocol sheet and
7 they would read it. But we would always -- I mean,
8 kidney transplants are not happening every day in
9 children and the protocol would be read and discussed by
10 the junior doctors and the nurses as part of a team.
11 They would sit there and say, "What do we have to do
12 here?" They have to admit the child, they have to do
13 this with the dialysis, take these bloods and so on. So
14 it would be a guide to what was in front of them and
15 they would be very actively reading it. In practice,
16 they would actively read it.

17 Q. In those early days -- up to, say, 1995 -- when you were
18 developing your service, did you have team meetings when
19 you'd actually discuss these things?

20 A. Yes. Yes, we did. The system that we ran for
21 paediatric nephrology is that we had a meeting, a weekly
22 meeting. There are umpteen sorts of multidisciplinary
23 type meetings, but this multidisciplinary meeting that
24 we had, we've always had ever since I started there,
25 again becoming more formalised in its approach.

1 We would have a meeting every week in which we'd go
2 through the details, pertinent details, about children
3 that had been seen in the clinic, children that had had
4 transplants, children that were awaiting a transplant,
5 any child that had been brought to our attention through
6 some clinical activity that week. And that team meeting
7 would consist of the paediatric nephrologist, paediatric
8 renal nurses -- or nurse, at the beginning -- dietician,
9 social worker and a ward nurse.

10 Q. I think Professor Savage referred to meetings composed
11 very much like that.

12 A. So in those meetings, for example, if you had done
13 a transplant on a child and the following meeting you'd
14 be discussing how it had gone and the details and any
15 difficulties with the way the protocol was running would
16 be brought up there. For example, if there was an issue
17 for the ward nurses that we hadn't anticipated that they
18 didn't have enough methylpred on the ward and had to go
19 and get some from somewhere, we would -- you know, the
20 minor details. You would iron out future plans. That
21 meeting was in order to share the details of protocols,
22 if you like, and make sure they ran smoothly in future.

23 Q. And would you be surprised if any of those nurses or
24 junior doctors would say, in your time, if I can put it
25 that way, that they actually weren't aware of the

1 protocol?

2 A. They would all have been aware of it. I would have been
3 very surprised. That would have been an unacceptable
4 remark if they were working on the team and didn't know
5 about the protocol --

6 Q. That would have been unacceptable?

7 A. -- where were they? Yes. It's a key document
8 in relation to the child's actual clinical management.
9 I mean, just to say what physically happened with the
10 protocol is that when a child came in, their actual --
11 one of the copies of the protocol -- it wasn't
12 a protocol you kept and you got one out and put their
13 name on it and where it says, for example -- we didn't
14 use this particular dose -- but if it said "methylpred
15 10 milligrams per kilo", then you would write next to it
16 the child's dose. This is why I can see why
17 Professor Savage uses the term "aide-memoire". It kind
18 of summarises all your management issues on one -- in
19 one document and you actually put in the child's weight,
20 the child's -- even if it's somewhere else in the notes,
21 as a convenience, you'd have weight, height, surface
22 area, drug doses and so on.

23 Q. So it'd be personalised for that child?

24 A. It would be personalised and it would go with the
25 child's notes and stay there.

1 Q. Thank you. You, I think, have discussed one way or
2 another, much of what I wanted to ask you in relation to
3 the multidisciplinary meetings. There's just one issue
4 that I don't think you have covered, but you dealt with
5 it in one of our reports. 200-007 and you address it at
6 pages 113 to 114. There you say:

7 "The final decision to plan to undertake
8 a transplant should not be made by the paediatric
9 nephrologist alone, but jointly by the paediatric renal
10 team and the transplant surgeons."

11 What I wanted to ask you about is the
12 multidisciplinary meetings that you have talked about
13 and talked about how they evolved and gradually became
14 more formalised and so forth, that's you in Newcastle.
15 In your knowledge of your colleagues elsewhere, were
16 such meetings common practice in the rest of the UK in
17 1995?

18 A. Which meetings are you talking about?

19 Q. Multidisciplinary meetings.

20 A. The multidisciplinary meetings of the type I've
21 described?

22 Q. The ones that would involve the surgeon.

23 A. Okay. I would assume that they would be commonplace
24 because it seems to me mandatory if you're going to put
25 a child on call for a transplant to involve the surgeons

1 at that point. We actually have -- there's actually --
2 it may be better if I just outline three types of
3 meetings. The multidisciplinary meetings that we talked
4 about weekly is one sort. A second meeting is the
5 actual clinical meeting, that's a clinical -- a clinic
6 visit that I described earlier. I would consider that
7 as a clinical meeting, if you like, where you're
8 actually meeting the family and the surgeon together.
9 That, I would be sure, would happen everywhere. I'd
10 hope so.

11 Q. In 1995?

12 A. Oh yes. I went from my -- that's how I was trained in
13 1984. So I took that to Newcastle and I think --
14 I can't see how you could run a team like this safely
15 and effectively without doing that.

16 The third sort of meeting -- I don't know if it's
17 relevant to mention it now -- is that, in addition to
18 the meetings with the surgeons, by the fact that
19 the child is needing a decision making is we'd have
20 regular much less frequent meetings -- now they're about
21 every two months, so perhaps every three or four months
22 at some stages -- where you'd have a meeting which
23 involved paediatric nephrology, doctors and nurses,
24 transplant coordinator, transplant surgeon and
25 immunologists -- that is to say the team from the

1 laboratory that does the cross-matches; okay? And you'd
2 have regular meetings with them and you would go through
3 a list of all the potentially -- potentially, all the
4 children on the waiting list and all the children who
5 have had a transplant.

6 Q. In 1995?

7 A. Oh yes, yes. What you would then do would be -- the
8 children that are just stable with transplants, of which
9 there are dozens at any point in time, you wouldn't
10 really -- you'd only raise issues about ones where
11 there's a problem. Any child that had had a transplant
12 that was having a problem you'd discuss, every child on
13 the waiting list you'd discuss. Because you might put
14 a child on the waiting list at a point in time where his
15 dialysis is going fine, the parents are coping,
16 everything is satisfactory and maybe there's an issue
17 down the line that the dialysis is becoming problematic.
18 That will alter the relative urgency with which you have
19 to transplant the child. So those meetings would be to
20 review changes that had occurred that might affect the
21 surgery, changes that occurred that might affect the
22 cross-match decisions, changes that occurred that might
23 affect their medical management. So we would share
24 those and mostly you'd tick them through, but there
25 would always be one or two children where there would be

1 a review of the plan because, for example, the dialysis
2 was not working or the family were getting too stressed
3 and couldn't handle the dialysis any longer and you just
4 say, "We've got to get this child transplanted".

5 Q. What's in the plan?

6 A. What you'd do is you'd consider factors like how well
7 the dialysis is going, what their biochemistry is doing.

8 Q. Sorry, those are factors you'd consider. What is in the
9 plan, what's in the plan?

10 A. What we then decide is, number 1, is there going to be
11 any change in the way you undertake the surgery? For
12 example, if we've brought to that meeting that we've had
13 to do another urological procedures, the transplant
14 surgeons might say, "Hang on, we're going to have to
15 think about which side we plumb the kidney into", that
16 sort of technical thing. Much more commonly it was
17 about what sort of kidney you would accept. So you
18 would say if you had a child who was doing really,
19 really well on dialysis, the family were coping, you
20 would then say: we will hold out to get an extremely
21 well-matched kidney. It may be we accept the fact that
22 it may mean this child would then wait a year or two or
23 three, but that would be, on balance, worth it because
24 we'd get a really good kidney.

25 On the other hand, if the same child then lost their

1 peritoneal dialysis for various reasons and it was a big
2 struggle to dialyse them at all, you might say we will
3 no longer go for that, we will accept a poorly matched
4 kidney because if we don't accept a poorly matched
5 kidney, we're not going to get a kidney in time. Those
6 are the decisions -- it's essentially the degree of
7 urgency and the laboratory, the role of the laboratory
8 people in that, is to interpret for us in any particular
9 child whose particular tissue type they would know.
10 They would interpret for us the frequency of that tissue
11 type and how relaxed we had to be in that particular
12 case.

13 Q. Can I just ask you a question now that you have
14 mentioned the laboratory and resources and facilities?
15 In this case, there were two laboratories. At one
16 point, the Children's Hospital had its own biochemistry
17 laboratory service, and that operated, so far as we
18 understood, office hours, 9 to 5. Outside those office
19 hours, the biochemistry lab work was done in the main
20 laboratory. But the evidence that Professor Savage
21 gave -- and he gave that on 17 April and I think the
22 reference for it is page 18, starting at line 14 and
23 going on to page 19 at line 20. The evidence that he
24 gave was that he thought that the biochemistry
25 laboratory service for the Children's Hospital was

1 withdrawn before Adam's surgery and provided from the
2 Kelvin site. And that is where the biochemistry tests
3 went. We see that from page 18, lines 16 to 22.

4 Then he went on to say, at page 19, lines 17 to 20,
5 that:

6 "Certainly around that time the Children's Hospital
7 biochemistry facility was withdrawn. There was still
8 a haematology facility because of the oncology service."

9 And Dr Taylor said much the same sort of thing. His
10 evidence was on 20 April. And at page 43, starting at
11 line 2 and going on, he said, effectively, that the
12 children's biochemistry lab had stopped due to quality
13 control reasons. Then he went on to say:

14 "There was really no point in doing a blood sample
15 if you couldn't rely on the result."

16 In fairness to all of that, the DLS has presented
17 a slightly different view in a letter that they sent to
18 the inquiry when we were asking about the laboratory
19 facilities. Their letter is dated 3 November 2010. It
20 starts at 301-018-330. Then the particular part is
21 actually 332. If you look at the paragraph starting at
22 12 it says:

23 "In 1995, all out of hours blood tests in clinical
24 biochemistry were available and done by an on call MLSO.
25 In 1995, the paediatric clinical biochemistry lab was

1 still open 9 to 5 at the Children's Hospital, but after
2 5, the requests would have been analysed in the main
3 laboratory in the Kelvin building."

4 Then it goes on to say how the requests were
5 received and responded to and turnaround times and so
6 forth. But the point that I wanted to ask you is: it
7 doesn't, in terms, say that at the time of Adam's
8 surgery the biochemistry lab for the Children's Hospital
9 was in operation. It simply says "in 1995". If
10 Professor Savage and Dr Taylor are correct that, in
11 fact, by the time of Adam's surgery all biochemistry
12 tests were being sent off down to the main lab, the
13 point I want to ask you is whether you think that in
14 delivering a paediatric renal transplant service they
15 should have had a conveniently located lab for the
16 operating theatre for the Children's Hospital that could
17 accurately provide results for biochemical tests.

18 A. Okay. The first point -- there are a number of points
19 in that. One point is that there is no point at all in
20 having a laboratory that produced results that you can't
21 rely on.

22 Q. Yes.

23 A. You included that as part of your question. You have to
24 have something that you can rely on and that is
25 accurate. The second thing is that the local

1 arrangements -- I don't know where the particular site
2 is in relation to the other site -- are not really what
3 matters. What matters is the turnaround time.

4 Q. Yes. It has an effect on that. That's what I'm putting
5 to you.

6 A. Yes, sure. But how they actually deliver it is -- what
7 matters is: is there an adequate turnaround time?
8 I mean, the --

9 Q. I can help with that.

10 A. The letter here says that it would certainly be less
11 than 90 minutes and probably less than 60 minutes and
12 they talk about it being no more than 40 minutes for
13 routine tests and so on. You have to -- there is no ...
14 It's not appropriate to undertake procedures such as
15 kidney transplantation in children unless you can have
16 relatively urgent, accurate biochemistry results. You
17 would certainly have to have them back within an hour
18 and it would be preferable to be quicker than that.

19 Q. Yes. Actually, Dr Taylor dealt with that in his
20 evidence. I think his evidence was on 20 April and
21 I think it starts at page 41. But in any event, his
22 evidence was that if you are talking about an
23 out-of-hours request, which when Adam's surgery started
24 would have been out of hours as he went to theatre at
25 7 --

1 A. Yes.

2 Q. -- and it seems that knife to skin was at or about
3 8 am -- that would have been out of hours as far as we
4 have been told -- that if that happened, you were
5 dependent on, if not one, certainly very few porters who
6 serviced the entire site and whether or not you had your
7 porter come quickly rather depended on what else he was
8 doing and where he was in relation to your operating
9 theatre, I think was his evidence. So he said, I think
10 at page 41, line 4:
11 "It could be 30 minutes to two hours."
12 Depending on, I think, where your porter was. So
13 what I'm -- in fact, we have an example -- also for
14 Adam -- of how long such a test took. Blood was taken
15 in the theatre round about 11.30 --

16 A. Mm.

17 Q. -- for a laboratory test. And that was returned round
18 about 1.20. That's the result of 119 millimoles. And
19 we have the -- if we look at 058-035-138. There we are.
20 Oh. For some reason that highlighter has acted as
21 a redacting. If we look above there, do you see "1.20"?

22 A. Yes.

23 Q. And then just below there by "27 November 1995", what is
24 actually blacked out, regrettably, is the
25 119 millimoles. We have the originals here and we'll be

1 able it to see that. I don't think there's any dispute
2 that that's what that is. So that is coming in after
3 that note was written up. So if one takes it at roughly
4 1.20, that's what I'm asking you, for your observation
5 on a situation where Adam has blood taken from him at
6 roughly 11.30. He's in theatre, obviously someone wants
7 to know what his biochemistry is, the anaesthetist, and
8 it takes that along. Of course, by that time he's in
9 paediatric intensive care. Your comment on the length
10 of time.

11 A. I would consider that unacceptable. I would consider
12 that degree of service unacceptable.

13 THE CHAIRMAN: You have said that you need the results
14 within an hour, if not less.

15 A. If not less. What I would want is to expect them all to
16 come back within an hour. But in reality what happens
17 if you're really worried about a child, if you've got
18 some indication that you've got a seriously abnormal
19 result or the possibility of so, you would expect to
20 phone the laboratory and make sure to get it back within
21 a quarter of an hour. That's the kind of times I would
22 expect: half an hour at the outside and an hour to be
23 the maximum ever if you're sending it from theatre. Two
24 hours is not acceptable because things change so quickly
25 as we've seen in Adam's case. But it's not untypical of

1 managing small children. Things happen quickly and you
2 need services better than that.

3 MS ANYADIKE-DANES: In terms of the location, everybody has
4 seen the site plans. I'm not proposing to take people
5 to that now. You'll see when you look at them --
6 they're on the website -- that the actual location of
7 the laboratory which previously was able to provide
8 biochemical results was literally round the corner from
9 the operating theatre, whereas it is some distance to go
10 for the main lab. That probably has or possibly has
11 some effect on turnaround times. But in any event, as
12 you say, the important point is not where the thing is
13 located, but actually what your turnaround time is and
14 you have expressed your view as to what you think would
15 be acceptable and unacceptable.

16 THE CHAIRMAN: I've got the point.

17 MR FORTUNE: Sir, before we move away from this topic, can
18 I just deal with two matters and seek clarification for
19 your benefit? My learned friend asked Dr Coulthard
20 in relation to the second type of meeting, the clinical
21 visit. Dr Coulthard said:

22 "I assume that such meetings were taking place at
23 other centres."

24 THE CHAIRMAN: I've got that, yes.

25 MR FORTUNE: Could we find out from Dr Coulthard whether he

1 visited any other centres and specifically asked if such
2 a meeting was held on a regular basis?

3 The other matter --

4 THE CHAIRMAN: You're looking for the basis of his
5 assumption?

6 MR FORTUNE: I am, sir. The other matter raised by
7 Dr Coulthard, which I'm having checked, is he referred
8 in his hospital to dozens of patients on the transplant
9 list at the time with which we are concerned, 1995.
10 I have been looking at the transcript and, as far as
11 I can find, for Professor Savage -- 17 April, page 21 at
12 line 17 -- there's a reference to ten patients. I also
13 have a recollection that there were, at most, about 20
14 patients within the unit awaiting transplant. So how
15 big was Dr Coulthard's transplant number by comparison
16 to Professor Savage?

17 THE CHAIRMAN: Okay. Let's take the two points.

18 Your assumption, doctor, that the multidisciplinary
19 team meetings that you'd referred to, the second sort of
20 meetings involving surgeons, that they were commonplace
21 in 1995, effectively in Great Britain, beyond Newcastle.
22 What's the basis for that assumption?

23 A. The basis for it is that in my training in London, they
24 happened. They happened at Great Ormond Street even
25 though there's no transplantation there, but that

1 liaison went on at that point --

2 THE CHAIRMAN: That was ten years earlier.

3 A. Yes. And at Guy's Hospital, they were a regular
4 feature. They're based on that. They're based on the
5 fact -- my assumptions are based on the fact that most
6 of the paediatric nephrologists in the UK were trained
7 through those centres and they're also based on my
8 discussions with paediatric nephrologists at meetings
9 over the years. I think it's perhaps useful to recall
10 that there are -- that when I was a paediatric
11 nephrologist, there were about 25 or 30 paediatric
12 nephrologists in the UK who met regularly at meetings
13 and the way that we ran our services was regularly
14 discussed.

15 THE CHAIRMAN: Was Professor Savage one of that group?

16 A. Oh yes, yes.

17 THE CHAIRMAN: But --

18 A. I haven't specifically -- I couldn't specifically tell
19 you that I know that any particular hospital or
20 a majority of hospitals did it like that.

21 Finally, my assumption is made on the basis that
22 I cannot imagine how you could run an effective
23 transplant service if you didn't have that sort of
24 relationship. That's very much a supposition.

25 THE CHAIRMAN: I think the point perhaps which is being made

1 is whether that is the sort of meeting and the frequency
2 of meeting to which you would aspire if -- if you all
3 train in London and then scatter back to Newcastle or
4 Belfast or wherever else from London, you know what
5 you're aspiring to, how quickly you can get that up and
6 running and get things in place, depending on what local
7 pressures and local resources are.

8 A. Well, that's true if you're envisaging the meeting as
9 a formalised set of arrangements. But paring it down,
10 the clinical meeting involving the individual child and
11 making a plan for an individual child is a meeting
12 actually between two colleagues and a family. I cannot
13 think that you could proceed and put a child on the
14 transplant list without doing that and not slip up and
15 make mistakes. So that's -- I cannot see ... And that
16 would not require formal organisation.

17 THE CHAIRMAN: Well, I think the evidence seems to me, over
18 the last few weeks, is that it's accepted by
19 Professor Savage that the surgeons weren't involved. No
20 surgeon was involved at the time when Adam went on to
21 the transplant list. There's an agreement from him that
22 it would have been better if that had been the case and
23 things have moved on since then. So the service in
24 Northern Ireland which was developing -- perhaps
25 a little bit behind your service in Newcastle -- hadn't

1 yet got to the stage when the multidisciplinary
2 meetings -- some of which were taking place -- involved
3 surgeons. You think that it clearly would have been
4 better had they involved surgeons at that stage.

5 A. Very much so.

6 THE CHAIRMAN: Okay. The second question you were being
7 asked was in terms of the comparative size or the
8 comparative numbers of transplants being done. I think
9 the difference here is between the number of children on
10 the transplant list and the number of children who
11 actually had transplants.

12 A. Two things. One is that actually the numbers of
13 children -- Newcastle serves a population of 3 million.
14 I know that Northern Ireland is smaller than that.
15 That's the first thing. The second is that when the
16 question arose about me using the terms "dozens" --
17 it'll obviously be in the transcript and I may have used
18 it incorrectly -- what I was trying to convey is that
19 when you look at the entire transplant population which
20 include all the children who have had transplants and
21 now have a stable transplant, all the children who are
22 waiting to have a transplant and all the children who
23 have had a recent transplant, that comes to dozens,
24 okay? It certainly came to dozens in 1995.

25 Amongst those, there would be a few that were on the

1 17 April. It starts at page 66, line 22. Then it goes
2 on to the next page, up to about line 6.

3 The issue was the comparatively small number of
4 under-fives being transplanted in Belfast. 17 April,
5 page 66, line 22. If we start there, you need to go
6 perhaps a little bit above that to see the answer that
7 Professor Savage gave to get the context. He says at
8 line 6:

9 "The small children that we transplant tend to fall
10 into two clinical groups. One is a group [that you have
11 identified] with a condition known as congenital
12 nephrotic syndrome and they tend to go into kidney
13 failure around the age of two and that's why I'm saying
14 I can't remember exactly, but certainly at least three
15 of the four would have had congenital nephrotic syndrome
16 and they have virtually no urine output by the time
17 they're transplanted. The other major cause -- and
18 I think you'll remember Coulthard has said that some 60
19 per cent of children requiring a transplant have
20 dysplastic kidneys and they are likely to be polyuric.
21 But the reason that there are so few is just that there
22 are so few. Any child that needs dialysis or transplant
23 in Northern Ireland receives it. It is just a feature
24 of the population base."

25 The chairman goes on to say:

1 "Question: What I was getting at was, accepting 31
2 is a comparatively small number of children, only four
3 of those were over six. So most of them are obviously
4 between six and -- what would be your cut-off point, 17?

5 "Answer: Yes."

6 The chairman then wonders:

7 "Is that just the way it is?"

8 And Professor Savage says:

9 "Yes, it is."

10 I wonder if we could get your view as to why there
11 might be a comparatively small number of under-fives
12 being transplanted. Was that common throughout the UK
13 in 1995?

14 A. The numbers of small children requiring
15 transplantation --

16 Q. Under-fives.

17 A. -- was small then and remains small, although the
18 numbers have increased over the years. I think the
19 reasons for them increasing are to do with the
20 introduction of relatively aggressive treatment of
21 kidney failure in small babies. In the mid and early
22 80s, children under a year of age were not treated in
23 many centres if they developed renal failure and
24 children under a month of age were not treated in most
25 centres if they developed renal failure. That's on the

1 basis of published evidence.

2 One of the activities that I was particularly
3 involved in when I first started in Newcastle in about
4 1986 -- 1985/86 was to start dialysing babies born with
5 kidney failure and to introduce that as a technique.
6 That initially was greeted with a degree of scepticism
7 as to whether that was sensible or wise because of the
8 potential suffering that you put children through and
9 the anticipation then that this would not be successful.

10 I'm glad to say that that has proved not to be the
11 case and I've actually published a paper that I've
12 referred to somewhere in my submissions to you in which
13 I reviewed all the children treated in the UK and
14 Northern Ireland and Southern Ireland over, I think it
15 was a two-year -- no, it was a longer period than
16 that -- over a 10-year period, I think. I would have to
17 check the details.

18 In any case, it was a period that actually
19 encompassed 1995, and at that point --

20 Q. Sorry, I wonder if I could help. Is it Coulthard and
21 Crosier, "Outcome of children who reach end-stage renal
22 failure under two years of age"?

23 A. Yes.

24 Q. That's the Archives of Disease in Childhood 2002 and
25 then there's a reference. I think the actual paper is

1 an appendix to your report 200-007-137.

2 A. Right. So what that study -- yes, that's right. What
3 we did in that study was to do an audit of every
4 paediatric renal centre in the UK and Ireland, of what
5 they were actually doing in terms of management of
6 children who reached the point that they required
7 transplantation or dialysis before the age of two. And
8 when we did that, we discovered that, in fact,
9 universally throughout that population, all centres at
10 that stage were taking on the management of small
11 children.

12 Q. How does that help with why, out of a number of 31, say,
13 there would be four under six? Sorry, Dr Coulthard, you
14 weren't sure of it, your period over which you were
15 considering for that research was 1988 to 1997, which
16 obviously spanned 1995.

17 A. Yes. What was absolutely clear was that by 1997, all
18 centres were actively treating children born under the
19 age of -- sorry, who reached renal failure by the age of
20 two and most of them were taking on and treating
21 children before the age of one or even before the age of
22 a month and we were looking at those specifically. My
23 point is: in Newcastle, we started doing that the minute
24 that I arrived really, so we had a population of
25 children rising to the age of -- so we did more small

1 children transplants than were done here because in the
2 preceding few years we had started treating children
3 from birth.

4 Q. What would have happened to those children otherwise?

5 A. They would have died.

6 Q. So you were enabling children who might otherwise have
7 died to come to be assisted towards transplant?

8 A. Yes.

9 Q. Thank you.

10 A. And it was clear from that publication that that was
11 being done throughout the UK by the end of that study.

12 Q. I wonder if we might now look at the planning for the
13 transplant in terms of getting together the necessary
14 information, medical notes and records and so forth.

15 Professor Forsythe and Mr Rigg, and also Dr Haynes,
16 have all said that one of the things that one does when
17 a child goes on to the transplant register -- and you
18 start to have these meetings geared towards the day,
19 hopefully, when they receive an offer -- is that you
20 start to put together the documents in a way that will
21 be of most use for whomsoever would happen to be part of
22 the transplant team and the time when the offer is
23 received, and I think you've said a similar thing
24 yourself because you simply don't know, if it's
25 a cadaveric transplant, who will be there to be part of

1 the team.

2 Professor Savage, I think, referred to the fact that
3 there were investigation summary sheets, which would
4 compile some of that information in summary form,
5 although I think he conceded that they weren't putting
6 the information in the way that you were discussing it,
7 but nonetheless there was assistance. We can look at
8 one. 058-011-034.

9 Maybe if we blow that up just a little bit to make
10 it clear. Right. Now, there are a series of these and
11 this is the one for 1995, starting with 2 March and
12 going up until 9 November, which I think is the clinic
13 that Dr O'Connor thought that she might attend, but in
14 any event was preparing for. If you look down the
15 left-hand side one can see the kind of detail or the
16 information, I should say, that's being recorded there.
17 What I want to ask you is whether this would be an
18 adequate substitute for the kind of gathering together
19 of information that you had in mind when you talked
20 about that process during the course of your
21 multidisciplinary meetings.

22 A. This form of --

23 Q. Yes.

24 A. -- of sheet which puts, for example, the haematology and
25 biochemistry results together in series is extremely

1 useful and it is exactly -- that element of it is
2 exactly the same as we do. We also graph it, but --
3 Q. You also graph it, did you say?
4 A. As a routine, yes.
5 Q. Is there anything else that would be involved, any other
6 information that you would be gathering together?
7 A. Yes. I mean, what you've got here at the top is the
8 haematology results, some of them anyway, and --
9 Q. Sorry, some of them? Which are the ones which you don't
10 have which you might wish to have?
11 A. You might wish to have the platelet count.
12 Q. The platelet count?
13 A. Mm. Sorry, let me just scan the ... I mean,
14 essentially, I don't want to divert to trivial things.
15 At the top you've got the main haematology result, which
16 is the haemoglobin.
17 Q. Yes.
18 A. In the next block you have the important biochemistry
19 results -- including sodium, potassium, the
20 electrolytes, calcium and phosphate -- all of which are
21 biochemical elements which, (a), the kidney normally
22 regulates, so you have to regulate for the child and,
23 (b), will affect the child's health such as the calcium
24 and the phosphate, which impact on growth. The next
25 section which is obviously a list of drugs on the

1 left-hand side. Beneath there, you have "Keflex" --
2 I can't read the next one -- but "1-alpha --
3 Q. Before that you have "dialysis".
4 A. Yes, but that doesn't seem to refer to anything.
5 There's no dialysis information there.
6 Q. That's the point I was going to ask you. What I'm
7 seeking to find out from you is what you would have --
8 A. What would we want?
9 Q. Other than what is reflected on this form.
10 A. The biochemistry information is obviously vital. You
11 need to have a growth chart, which would mean height and
12 weight, and they've got a space for height and weight,
13 but it's not been used for height and weight so far as
14 I can see.
15 Q. Sorry, just so that we can see, if you look right down
16 at the bottom you see under 16 October 1995, his height
17 is 102 centimetres and his weight is 20.9 kilograms.
18 A. Yes, but that's once over a very long period. The
19 height and weight would be recorded at every -- should
20 be -- the weight should be recorded at every clinic
21 visit. And in my view, the height should be recorded at
22 least once a month.
23 Q. So you want to see it over a time series?
24 A. I want to see it over a time series. In our notes, we
25 wouldn't put it on here and if we had height and weight

1 printed on here we wouldn't use it, we would put that,
2 (a), in the notes at the time -- written by hand at the
3 time that you saw the child and, (b), on a weight
4 chart --

5 Q. Okay.

6 A. -- or a growth chart, a height and weight chart. So
7 that would be plotted. Each time you saw the child, you
8 would add another point on the graph. That would be
9 routine and that's kind of routine for an awful lot of
10 paediatrics, not just to do with kidney disease.

11 Q. But just to be sure we are talking about the same thing,
12 what I am asking you is: the information that, in your
13 view, is being collated once a child goes on the
14 register so that whenever that offer comes, the
15 appropriate information is in a convenient place, that's
16 what I'm asking. I'm asking you, in addition to this,
17 what else is in that category, and are you saying
18 a growth chart is in that category?

19 A. It would be in the category in the sense that you'd want
20 to know what the child's recent weight was and where
21 they were progressing.

22 Q. And so is it part of these conveniently collated
23 documents?

24 A. I would expect it to be in -- a growth chart to be in
25 those documents. More pertinently, perhaps, you would

1 want a dialysis chart. That is to say, you would want
2 to have a chart laid out in a similar manner in the
3 sense that there would be columns to make adjustments
4 with each clinic visit. You would want a dialysis
5 chart -- if there was a child on peritoneal dialysis,
6 you would want a dialysis chart in which you had the
7 child's prescription, current prescription for dialysis,
8 and it to be dated when that was changed. For example,
9 you would want to know -- with peritoneal dialysis, you
10 would want to know the strength of dialysis fluid
11 in relation to the glucose concentration, you'd want to
12 know the strength in relation to its calcium
13 concentration, you'd want to know what the cycles were
14 that the child was having, you'd want to know how many
15 cycles they were being prescribed and over what period.
16 So you'd want to have that and you wouldn't necessarily
17 fill it in every clinic visit, but you'd fill it in
18 every time it was changed. So if a child was on
19 a particular prescription for six months, that would be
20 fine you'd just leave it as it was. But if you changed
21 the strength of the fluid or the number of cycles, that
22 would be entered. So you'd then have it all on one
23 sheet so that with one cast of your eye, you can look at
24 the whole dialysis history: he started on this amount,
25 he went up to that, he changed to this and now he's on

1 this prescription. That would be a component you'd
2 definitely want.

3 Q. Can I pause you there before you go into any other
4 information you might be collating because there has
5 been some evidence about the dialysis records and
6 I would like to have your view on it.

7 Professor Savage in his evidence on the 17th --
8 I think he started it at page 102. If one goes down to
9 line 19 he's being asked about -- in fact if one ...
10 You have to start a little bit earlier for you to get
11 the drift of it. Line 13. Well, actually line 9 where
12 the question is:

13 "What exactly do you mean by the dialysis records?
14 What are the records that you would expect to be there,
15 if I can put it that way?"

16 Professor Savage starts to answer:

17 "There's a lot of dialysis records have been made
18 available --

19 THE CHAIRMAN: The witness doesn't have this. It is page 97
20 you want him to go to?

21 MS ANYADIKE-DANES: Sorry, here it comes.

22 A. Line?

23 Q. The question starts at line 9 with:

24 "What exactly do you mean?"

25 And then you see the answer starting at line 13:

1 "There are a lot of dialysis records that have been
2 made available and they're the parent-held records. The
3 parent-held record for the last month, which I had hoped
4 included the last evening, had not been found, as
5 I understand it."

6 Then if one goes over the page -- this covers
7 a number of pages, so forgive me if I don't read every
8 bit of it, but I'm just trying to give you the sense of
9 it to get your comment. Over the page at line 4:

10 "There appears to be no other record of Adam's
11 regular dialysis regime filled in in his charts. This
12 would suggest to me that the only dialysis records are
13 those held in the family-held daily dialysis record,
14 although the cycle-by-cycle record stored in the
15 dialysis machine could be consulted by medical staff if
16 required."

17 And the answer to that question is:

18 "Yes, I think that's correct."

19 And then if we go down to line 19, he's answering
20 that:

21 "The dialysis records that Adam's mother kept are
22 extremely well kept, but apparently the book for the
23 last month hasn't been found."

24 Then the query is:

25 "So when you say 'for the last month', you mean

1 Adam's mother's book for the last month and not any of
2 the records that may have been retained at the hospital
3 over the period because the hospital did not, in fact,
4 retain any. All that the hospital had was what was
5 in the machine."

6 And then there's a question asked about how long the
7 records would be consulted from the machine and there's
8 an answer that you could look through the computer. And
9 the question is then:

10 "Question: Was Adam's mother asked to bring his
11 dialysis books with her?

12 "Answer: I don't know."

13 Then if one goes further down to line 20:

14 "There's no record in his medical notes and records
15 of having received them [that's the books] and having
16 consulted them or assessed them or anything of that
17 sort."

18 And the answer to that is "no".

19 And then, over the page at 100, there is reference
20 to the fact that the books have been looked at by you
21 and the answer to the question at line 18 is:

22 "We would have looked at the machine or looked at --
23 and it would have been recorded in a diary."

24 And the question is:

25 "Question: You say you would have looked at the

1 machine. Was that available for Dr Taylor it see?"

2 "Answer: Well, if you remember, what I said to
3 Dr Taylor was looking at his normal daily regime and
4 [over the page] looking at what happened on the day
5 prior to his transplant, I estimated that he might have
6 been 500 ml behind and that was based on those sort of
7 calculations."

8 Then he goes on to explain how he reached that.
9 Then the question is:

10 "Question: I'm thinking of Dr Taylor himself coming
11 in in the early hours of the morning to look at Adam's
12 medical notes and records as part of his preparation for
13 establishing Adam's fluid regime and what I'm trying to
14 find out is what would be available for him to consult
15 in relation to Adam's dialysis records?

16 "Answer: I don't know because we don't have the
17 dialysis book.

18 "Question: What you're saying, so far as
19 I understand you to be saying, is: what would have been
20 available is the records that his mother kept in the
21 book, if she had brought her books with her to the
22 hospital to have the details in the machine recorded in
23 the book."

24 "Answer: Yes."

25 And then over the page to 102, which is sort of

1 where I had started, but I think it was helpful for you
2 to hear the question and answer before happened. At
3 line 19:

4 "Question: In terms of what was actually happening
5 that evening of his dialysis, is there any reason why
6 any of that wasn't recorded in his medical notes and
7 records so that anybody looking at his medical notes and
8 records would have that information?

9 "Answer: I presume because it was available in the
10 diary."

11 Then there is some evidence from Staff Nurse Murphy
12 and she commented on the system in her evidence. Her
13 evidence is on 27 April and I believe it starts at
14 page 34. The question, if we go down to line 13:

15 "Question: Would you agree it would be a good idea
16 for the dialysis details to be recorded somewhere?

17 "Answer: Oh absolutely, yes."

18 The question then is:

19 "Question: Is that the problem with having and
20 relying upon a parent-held diary, that if it is not
21 there for some reason, then there may not be a record
22 made at all?

23 "Answer: That may vary.

24 "Question: Would you accept that it might be
25 important in this situation where Adam is going in for

1 major transplant surgery for the dialysis details to be
2 known because that's part of the piece of the jigsaw of
3 fluid management?

4 "Answer: Yes."

5 Over the page, it's put to her a witness statement
6 from Staff Nurse Sharratt and that starts really at
7 line 3 and the quote is actually at line 4:

8 "I would have expected the accurate record keeping
9 in regard to fluid removal during dialysis and Adam's
10 weight that would be taken pre and post dialysis to have
11 continued on the ward when Adam was admitted."

12 A. Okay.

13 Q. And then if one goes to page 37, this is still in Staff
14 Nurse Murphy's evidence, at line 9:

15 "Question: This would suggest to me that the only
16 dialysis records are those held in the family-held daily
17 dialysis record, although the cycle-by-cycle record
18 stored in the dialysis machine could be consulted by
19 medical staff if required?

20 "Answer: Yes.

21 "Question: Do you recall any medical staff coming
22 to look at the dialysis machine on 26 or 27 November?

23 "Answer: I don't recall, no."

24 Then if one goes over the page to page 38, going
25 down to line 16:

1 "Question: And would it be a matter of practice
2 that clinicians would come and look at the dialysis
3 machines at the end of the dialysis?

4 "Answer: No. I really can't remember that ever
5 being ..."

6 And then:

7 "Question: You don't recall that ever happening
8 before?

9 "Answer: No, I don't really, no."

10 And then just finally on this point because Staff
11 Nurse Sharratt, who I think is the renal nurse, and her
12 evidence is on 27 April at page 160. Then line 19:

13 "Question: Were you aware of any records being kept
14 in the hospital in relation to the dialysis details in
15 1995 for Adam?

16 "Answer: On that day?

17 "Question: No, as a matter of routine. Or was the
18 practice that it was the parent-held booklet that was
19 the only record?

20 "Answer: Generally speaking, you know, especially
21 when I had a parent who was so competent and they liked
22 to continue the care and they liked to keep the record
23 and I would have thought -- I accept we have been told
24 that Debbie might not have had that booklet. So she was
25 very good at keeping it, I suppose in hindsight.

1 Although, to be fair it's a very tricky situation
2 because Staff Nurse Murphy was also a very excellent
3 nurse and she would have recorded that and the only
4 thing I can come up with is that something has been
5 mislaid or lost."

6 And the question is:

7 "What happens if the parent doesn't bring the
8 booklet when the child is coming in for dialysis in
9 hospital?"

10 Then at line 17 she says:

11 "I can't remember. We had another sheet, dialysis
12 sheet, but I don't know if that was after this event or
13 before the event, if I'm being honest."

14 Then she refers at line 22 to having brought over
15 some precedents or specimens from the Belfast City
16 Hospital.

17 So that is how the dialysis appeared to have been
18 recorded. It seems, although something may emerge, but
19 it seems that it was recorded in the parents' booklet
20 and my question to you is: having said what you have
21 said about the significance and what you want to record,
22 what is your comment on that as a system of recording
23 dialysis records?

24 A. Okay. The first thing to say is that dialysis --
25 a dialysis programme and fluid choice -- volumes and so

1 on -- is a prescription in the same way -- and it should
2 be regarded in the same way that any other intravenous
3 fluid or drug is prescribed. Therefore, just to put
4 it -- I think it's helpful to put in context how you
5 manage children on peritoneal dialysis. The parents are
6 trained to a very high level to manage the process and
7 they do it at home. When they're discharged home, they
8 would have a prescription written for them or they would
9 have a clear prescription of how many cycles over what
10 period of time, using which fluid.

11 A child on -- and that would be in the medical
12 records. In my view, best on a separate sheet for the
13 reasons I've said because then you can look back at
14 a whole period of time with one glance, but if it was
15 just written in the records, it could still be worked
16 out. That should be there in the same way that
17 prescription of an antibiotic, say, would be there.

18 Children on peritoneal dialysis are -- I don't know
19 whether this is absolutely universal, but we review
20 them, as a minimum, once a month. And I suspect that
21 they had -- looking at the times when the bloods were
22 done, that's probably what was being done here as well.

23 At every clinic visit of a child on peritoneal
24 dialysis, you would hope that the parent would bring the
25 record. Obviously Debra Slavin did so -- some parents

1 don't, but most do, and -- I've seen her records, she
2 kept them meticulously and she obviously brought them to
3 clinics. What you would expect either the doctor or the
4 renal nurse running that clinic to do would be to record
5 a summary of what was going on. You'd say: saw a child
6 today, over the last month, the ultrafiltrations have
7 been between this and that. There have been no alarms
8 or there have been some alarms because the machine is
9 designed to alarm at night if there are difficulties --
10 the dialysis is run overnight. Those sorts of details
11 would all appear every month in the written clinical
12 record.

13 In addition to that, the mother -- it's usually the
14 mother -- but the parent would keep a diary. We
15 actually provided -- for convenience, we would actually
16 provide a sheet with tick boxes and volumes so that
17 rather than a page per day. That is the property of the
18 family. But it's recorded and prescribed in the notes
19 and the family are just demonstrating what they're doing
20 and sharing that information with you by use of the
21 diary.

22 The use of the chip in the machine, the child's own
23 machine is at home. In those days, we were using PAC-X
24 machines, and I know that he was on -- which was a great
25 big machine and it's not something that ... They're now

1 portable machines, but then they used PAC-X machines.
2 That wouldn't ever come to the clinic, although it is
3 theoretically possible that you might be able to
4 download information from it. That, in practice,
5 wouldn't be done. What you would be doing, in practice,
6 would be sharing the information in their diary, making
7 a summary of it.

8 When a child came in to be admitted who was on
9 peritoneal dialysis, you would expect the doctor to
10 write a prescription for the hospital. If you take the
11 parallel with drugs, a child might be on 1-alpha --
12 which is a drug used in kidney failure -- at home and
13 the mother gives it to them. When they come into
14 hospital, the doctor writes it on a drug chart and the
15 nurse gives it from there. It may be in practice that
16 the nurse will give it to the mother to give, but the
17 nurse records the fact it is given and supervises it.
18 Okay?

19 In terms of peritoneal dialysis, there's a very
20 clear parallel. When a child comes in, you would want
21 the drug chart written and their dialysis prescription
22 written and signed by the doctor, and then for it to be
23 carried out. In practice, probably the best person, the
24 most skilled and quick person to carry it out on that
25 particular child is very often the parent. And very

1 commonly -- I've never met Debra Slavin, but you'd say
2 to a mum like that: there you go, set up your usual
3 thing, you say you're on this, let's check what it is in
4 the notes. It is written as a prescription and it's
5 signed and then the processes of checking it are done,
6 the bag numbers are written down and so on, exactly like
7 an intravenous fluid. It's checked by nurses, although
8 it's done by the parent.

9 Q. Yes. Let me just interrupt you a little bit there.
10 It's not that there wasn't dialysis information, if I
11 can put it that way, in Adam's medical notes and
12 records. If I just take one example, 058-035-143, as an
13 example. There we are. You see, that's 9 November.
14 That's the last of the series that I just showed you
15 in the previous document.

16 A. Okay.

17 Q. And then just a bit after halfway down you can see:
18 "Dialysis. Dry weight 20 kilograms. 15 cycles.
19 Half hour intervals, 13 hours. Passed urine ++ query
20 how much."

21 And so on. That's a note there. And there is
22 a file, I believe it's 016, a file that has in it, apart
23 from any other thing, a series of letters that
24 Professor Savage would send to Dr Scott, who was Adam's
25 GP. I have not seen whether they went every time, but

1 certainly there is some correlation between them and the
2 dialysis clinics, and he would summarise in them what
3 was happening. In those letters, if not anywhere else,
4 if there was change -- I'll find one after the lunch
5 break when I have looked one up to show you. But if
6 there was a change to his prescription -- maybe they
7 were going to change the cycles or even the dialysate --
8 that was in there.

9 A. That's right.

10 Q. So it's not that I'm suggesting to you that there were
11 no records kept of Adam. The issue is -- you have
12 talked about how one of the benefits of having these
13 meetings is that you gather together the useful
14 information that somebody who doesn't know this child
15 can look at fairly quickly and appraise themselves of
16 circumstances as they go in to the transplant surgery.
17 So what I was trying to ask you is, if one deals with
18 dialysis now, what is that and, in the way that it's
19 been described to you, how the dialysis records were
20 being kept, does that satisfy you as to what you were
21 doing and what you thought was appropriate?

22 A. Yes. I mean, that -- the example you've highlighted
23 there, apart from the fact it doesn't say what strength
24 the bags are, but I'm sure that that would be available
25 somewhere else in the notes. That's absolutely fine.

1 What is needed in addition, however, when the child's
2 admitted is for that to be written as a prescription,
3 even though it's what you normally do and what mum does
4 at home and so on, it should be written as
5 a prescription in order for it to be carried out in
6 hospitals so people know what's actually happened in
7 hospital when Debra is not there, for example.

8 Q. Would you expect all those references to be extracted
9 and kept on some sort of sheet so that whoever was
10 looking at it didn't have to leaf their way through
11 however many volumes it is for that particular child,
12 but could see these records that you are identifying as
13 important records relatively quickly?

14 A. Yes. It's a matter of organising the notes. You'd have
15 a current set of notes in which all of those records
16 were easily available.

17 THE CHAIRMAN: Are you saying, doctor, that that was
18 typically done in 1995 or, in 1995, it was maybe best
19 practice, but it wasn't necessarily done across the
20 board?

21 A. I don't know what precisely was done in other hospitals.
22 Since I became a consultant in 1984 -- 85, we have
23 always organised our records so that the pertinent
24 information is available with a series of front sheets.
25 There's a front sheet which summarises the surgery the

1 child's had, there's a front sheet which summarises the
2 dialysis and a front sheet that summarises the
3 biochemistry and a graph.

4 THE CHAIRMAN: So that when you get the short notice that a
5 kidney is available for transplant, you don't have to go
6 through the notes page by page?

7 A. That's right.

8 THE CHAIRMAN: There's a summary there and that may lead you
9 to go through some of the notes in more detail, but not
10 necessarily.

11 A. That's right. There's also a summary -- just to not ...
12 Not necessarily posted in the notes, but available to
13 the key people in the team -- the meetings where
14 we would decide to update a child's status in terms of
15 their urgency, those were minuted and kept by the
16 transplant coordinator and were available so that
17 actually when a kidney was offered, that information was
18 always available to transplant coordinators and
19 whichever surgeon was on. For example, if there was
20 a specific note that you had to avoid this side of the
21 abdomen or something like that, some surgical note or
22 medical note about central lines or something, that
23 would always be available to the transplant coordinator
24 and the surgeon and the paediatric nephrologist.

25 THE CHAIRMAN: Thank you.

1 MR FORTUNE: Sir, before we leave the page that is presently
2 on the screen, two matters arise. Firstly, the letter
3 that follows that attendance in clinic on 9 November is
4 016-015-024. I will stand corrected, but we have not
5 seen any prescription sheet for dialysis.

6 MS ANYADIKE-DANES: You mean dialysis on 26th and 27th or
7 dialysis at all?

8 MR FORTUNE: Dr Coulthard is talking about how there should
9 be a prescription sheet in much the same way as there is
10 a prescription sheet for any other medication. I'm not
11 aware of having been either served or had made available
12 any such prescription sheet.

13 MS ANYADIKE-DANES: We'll have a look. I have something in
14 my mind, but I don't want to say that in case I'm
15 incorrect about it.

16 MR FORTUNE: We've both seen a lot of documents.

17 MS ANYADIKE-DANES: We have. I will have a look over
18 lunchtime for you. That letter, I don't think, came up.

19 MR FORTUNE: 016-015-034.

20 MS ANYADIKE-DANES: Thank you very much indeed, Mr Fortune.
21 This is the sort of letter I was going to try and find
22 for you over the lunch break to show you the sort of
23 thing that's written. I haven't correlated them all,
24 but they pretty much follow his dialysis clinics.

25 A. That's absolutely appropriate. I'm sure that the first

1 letter referring to this would have given the
2 concentration of the fluids. So what he's doing here is
3 just updating the current situation.

4 Q. It is a very helpful summary. If you wanted to find
5 that, you're looking at a different file for the
6 correspondence between the nephrologist and the GP.

7 A. Well, you say "a different file", I mean we ... Our way
8 of organising it is that all the historic information is
9 kept in a series of files that are kind of there for
10 reference. And the current set of notes for a child
11 having a transplant is not a great pile of things but is
12 one fairly slim volume with those front sheets and
13 recent letters. It would have front sheets and the last
14 year's worth of clinics and all the recent blood results
15 and all the recent letters because the letters are
16 a huge source of information. So if you then have a
17 huge set of notes that were unmanageable, you would have
18 to reconstitute a new set which would contain those core
19 documents.

20 Q. Exactly. I think that's what you had been saying
21 before. Now that the issue of prescription has been
22 raised, irrespective of whether one calls it a formal
23 prescription or not, as a matter of fact Adam had
24 a shorter period of dialysis over the evening of the
25 26th and into the early morning up until 6 am of the

1 27th. I think he had eight cycles instead of his usual
2 15 cycles.

3 A. Yes.

4 Q. Is that something that you would have expected to have
5 been recorded anywhere?

6 A. Yes.

7 Q. Thank you. If we now go back to 058-011-034. What
8 I was asking you to do was to assist us with the other
9 information that you thought should have been being
10 collated. You had just addressed dialysis and I took
11 you down to what actually was done in terms of dialysis.
12 Can you help us with anything else other than that which
13 is on --

14 A. Two other things that I would expect to be in the notes
15 in a flow sheet form or whatever available. One would
16 be a drug or medicines flow sheet.

17 Q. What does that mean?

18 A. So that means to say -- and it's probable that the block
19 below the word "dialysis" is their equivalent of that,
20 that block. You would expect to have a sheet in
21 which -- so if you read across, for example, there's
22 1-alpha is the name -- a shorthand for a drug. The dose
23 there, 0.6 micrograms daily, and the fact that there's
24 an arrow presumably means that that's continued.
25 Halfway across, there is an upward arrow and a star.

1 That would suggest to me that what they're using that
2 for is an indication that at that point in time, they
3 increase the dose and I guess that it would be a simple
4 matter to go to the date that that was written, which
5 would be something like July, or August or something,
6 1995, and you could find that in the notes.

7 So this is a method of recording the drugs and the
8 changes to the drugs over a sequence, and that's
9 important and that's obviously appropriate. So for
10 the -- further down, for example, two from the bottom.
11 Cisapride is a medication used for problems with
12 digestion and so forth. Further along, it's got the
13 dose, then there's an arrow indicating that it was being
14 used and then there's a slash across, which suggests to
15 me at that date, at that clinic, they decided to stop
16 it.

17 THE CHAIRMAN: That's what you would be looking for and
18 that's what there?

19 A. Yes.

20 THE CHAIRMAN: You were looking for dialysis details to be
21 collated. You were looking for the drug flow, which is
22 there --

23 A. Which is there.

24 THE CHAIRMAN: And you were going to say there was one more
25 thing.

1 A. The final thing is that you'd want to have a -- some
2 sort of surgical summary. That may well be best
3 recorded in a letter, and I think that if there was a --
4 there was a letter in the correspondence which
5 summarised it. I think that would be appropriate.
6 Adam, in particular, had a number of operations on
7 his -- the tubes draining his kidneys and that one was
8 joined to the other and so on. These are procedures
9 that quite commonly happen, but they're very individual
10 and they're quite relevant to the surgeon and you would
11 want there to be a place where that's easily accessible.
12 I'm not prescribing how it has to be done. We happen to
13 have a flow sheet for major procedures like that so you
14 would actually list them one after the other. But
15 equally, you could have an occasional letter that would
16 summarise the whole of the urology.

17 For example, when we put a child on call and he goes
18 through the process with a transplant surgeons, which
19 I've described a number of times today, the end result
20 of that would almost certainly -- well, it would be that
21 the transplant surgeon would write back to me or to the
22 nephrologist saying, "Thank you very much for arranging
23 this clinic where we jointly met", and they would
24 summarise their discussions, summarise the urology and
25 its implications, so they would say, "I note this child

1 has had several procedures resulting in his ureters
2 draining in this fashion and that means we will have
3 approach the bladder from the left", or whatever, some
4 conclusion. So that would be a good source.

5 MS ANYADIKE-DANES: Okay.

6 MR FORTUNE: Before we leave the document that's presently
7 on screen, we've highlighted one line. Could the
8 highlighter go down two lines to the change of the
9 dialysis prescription, please?

10 MS ANYADIKE-DANES: It's just above "volume".

11 MR FORTUNE: Could we ask Dr Coulthard what he makes of that
12 change, please? Because clearly there is a change, sir,
13 from 600 to 750 ml. 15 cycles.

14 A. Thank you for pointing that out. My guess is that
15 what's actually going on here is that this is
16 a shorthand to point people to a date -- I mean, the
17 information contained in that particular line is
18 inadequate. But I suspect that this is being used as
19 a pointer to direct somebody quickly and easily to the
20 notes so that you would go to the date where that "750"
21 was written. I would imagine in the notes there, you
22 would find a full prescription. So that would be an
23 entirely adequate way of managing this. If going to the
24 records indicated by that column date told what you
25 change had been made to the cycles, that would be fine.

1 MR FORTUNE: Sir, this seems to be some time in July 1995.

2 A. Yes.

3 MS ANYADIKE-DANES: There is nothing under "urea" or

4 "creatinine clearance"; is that significant?

5 A. No.

6 Q. Can we have the thing back again? So apart from what

7 you have already said about the growth chart and

8 dialysis, better dialysis records and so on, is there

9 anything else that is not on this sheet that you, in

10 your system in Newcastle, would have been putting

11 together on the summary sheet apart from the surgical

12 information? I think that was another thing that you

13 said.

14 A. The only other information which -- I'm not saying it's

15 there or not there, but what you would hope to ... What

16 you would need to have in there -- in a letter or

17 somewhere -- would be your decision about matching

18 criteria. In other words, probably in that surgeon's

19 letter or an update after a review, you would say that,

20 "We have decided to go for a live donor", or, "We have

21 decided to go for a cadaveric transplant", and, "We are

22 seeking a 1-1-0 mismatch", or some coded form for the

23 precision of the match that we've chosen to opt for.

24 Q. Yes. And as to the actual plan, you at some stage said

25 that an outcome of these meetings is a formulated plan

1 for the child's surgery, even if that was updated
2 following a review for changes, but nonetheless
3 a definite plan. Where does the plan fit in these
4 documents that you're talking about?

5 A. The plan somehow is a combination of those. You would
6 have the letter from the transplant surgeon, which would
7 outline the surgical plans. That would be followed, if
8 it changed, by letters either from the nephrologist or
9 the surgeon to the GP, but as a way of informing the
10 whole team that a change had been made, for example,
11 that we had increased the urgency or something of that
12 nature. Those would be documented by hand, but those
13 would appear in letters. It would also be changed
14 in the document held by the transplant coordinator,
15 which was available for the team.

16 Q. I understand. In fairness, Dr O'Connor, who had come on
17 1 November from Bristol, said in her evidence on
18 25 April what her practice was. So that we can see if
19 she was starting to or actually instituting the sort of
20 process that you talked about. If one goes to page 32
21 and starts with line 4 she says:

22 "So what I did was to write a summary from day 1 --
23 you know, when the child was admitted -- what was wrong,
24 what surgical procedures they'd had, what their drugs
25 were, what their usual daily urine output was."

1 And she describes that as information useful to
2 herself, to remind her of things. And then she goes on
3 at line 10:

4 "Information such as bladder studies, urodynamics,
5 any particular unusual thing about their tissue type,
6 the viral infections they might have had or been tested
7 for and all the vaccines they had had because it is
8 important to know all this information before you
9 immunosuppress a child."

10 Then over the page at page 33, continuing on, if
11 I pick it up at line 9:

12 "But the practice now and since I've come is always
13 that, at the time the child goes on call for
14 a transplant, I make a typed summary of everything.
15 That goes to the transplant surgeon, the transplant
16 coordinators and, currently, to consultant who is
17 responsible for live donor assessment."

18 I don't think they were doing live donation at that
19 time, but she's I think indicating the sort of thing she
20 was doing. Then at line 21 she says:

21 "That has always been my practice from 1995 when
22 I was appointed."

23 And then if one just goes over the page to page 34,
24 picking it up at line 4:

25 "I would have recorded in that note my plan for all

1 the drugs and I would made a plan for the post-operative
2 parameters that I was prepared to accept in terms of
3 blood pressure, CVP, urine output. I usually record
4 what investigations I want done post transplant.
5 I write maybe six, seven pages minimum."

6 And she's, I believe, talking about two different
7 things. One is the documents that she would be
8 recording and maintaining in this summary form for
9 assistance and also what she would have done just going
10 into the surgery itself, so pulling together exactly
11 what she wants to have done and prepared.

12 Is that something that you recognise in terms of
13 your practice?

14 A. We actually have a -- we, in fact, have a printed sheet
15 which is filled in by the paediatric renal nurse
16 specialist, ie the nursing kind of member of the
17 paediatric nephrology team, which summarises all of
18 that, and there's one of those in the front page of
19 every child's notes that's on call. So every child, it
20 will be when they went on call, what the matching
21 criteria were and all those things. What we wouldn't do
22 is put in, for example, the blood pressures we'd accept
23 and the CVP and the urine output because those would
24 come within a formula for our protocol. So we wouldn't,
25 for example, have a different CVP from one child to

1 another or ... Those things would be part of the
2 protocol. But every child that is put on call has all
3 that information put on a front sheet as a routine.

4 Q. Then just finally on this information gathering phase
5 and how you compile it, there has been quite a bit of
6 evidence given as to whether Adam presented as
7 a complex, or not, surgical case, if I can put it that
8 way. Assuming that you're involved in these meetings,
9 is that one of the issues that would be discussed, how
10 complex a surgical case is likely to prove?

11 A. Yes.

12 Q. If it's out of your territory do say, but are you able
13 to express a view as to whether, if you were Adam's
14 nephrologist, you would have regarded him as complex
15 surgically --

16 A. I understand what you're asking and --

17 Q. -- in 1995?

18 A. I understand when it's for. The answer is that there is
19 always a spectrum. There's no child who's going to have
20 a transplant that isn't in some way going to have some
21 complexity or component. And there are some children
22 where the complexities are vast. I would consider Adam
23 to be kind of average. He is complex, he's had previous
24 surgery. Most of the children with polyuria have had
25 previous surgery to their ureters, certainly then.

1 That's done less now. They've mostly had central vein
2 access. Someone who had had no urological surgery and
3 no central vein access would be unusual and they would
4 obviously be straightforward. There would be children
5 that would be much more complex than him because their
6 blood vessels were congenitally abnormal or something
7 like that.

8 So within that, there's always a degree of
9 complexity. Someone can always find a child who is more
10 or less complex; he is kind of run-of-the-mill --
11 that is an awful term, it suggests like a factory
12 process -- but he's kind of a degree of average
13 complexity for a child of that age coming for
14 a transplant.

15 Q. Thank you. I want to move on now to talk about live
16 donation. I presume from what you have said in your
17 reports that that is another issue that would be being
18 discussed at these meetings.

19 A. Yes.

20 Q. Professor Savage in his evidence of 17 April has
21 addressed the question of live donation. I think it
22 starts at 69, line 4 I have it as.

23 MR FORTUNE: Would you go back to the bottom of page 68,
24 line 25?

25 MS ANYADIKE-DANES: Yes. Quite right:

1 "So I am aware that Debra Strain offered to become
2 a live donor for Adam and, of course, Adam was her
3 entire life and I accept that. As his nephrologist,
4 I don't recollect exactly what I said to her."

5 And in this section from 14 down to 23 he's really
6 expressing his view:

7 "My feeling would have been that Adam was totally
8 dependent on Debbie Strain. He was very close to her.
9 He was very dependent on her. She looked after all his
10 dialysis, all his tube feeds, all his medicines. She
11 lived and breathed for that little boy. He was a lovely
12 little boy."

13 Then he goes on to his thought processes:

14 "My feeling probably was that to do one of our first
15 live donor transplants in that situation where there's
16 a risk to the mother and a risk of failure because he's
17 so small -- putting an adult kidney into a small
18 child -- and also the idea that she would be ill in
19 a different hospital and not be there for him during the
20 transplant and because she was single parent -- although
21 I accept, of course, that his grandparents were
22 enormously involved in his care as well -- I thought, on
23 balance, that that was something we should not pursue,
24 and I believe I advised her, 'Let's put him on call and
25 see if we can get a cadaver transplant, then you will be

1 there to look after and to support Adam through that
2 transplant'. I think that was probably the discussion
3 that we had."

4 And then he goes over the page. I wasn't
5 necessarily going to read absolutely everything, but he
6 goes over the page to talk about the risks. He said she
7 could be quite unwell for six months afterwards. Then
8 at line 8:

9 "They probably would have been better, but you'd
10 still be putting an adult kidney into a small child. If
11 you remember, the kidney was selected from
12 a 16 year-old, which is not quite an adult."

13 When asked about risks later on at line 23, we pick
14 it up:

15 "However, the risks of this happening are so small
16 [this is quoting from your report] -- that is the parent
17 dying as a result of the surgery -- are so small as to
18 make this an unreasonable blanket policy decision either
19 in 1995 or now. The risk of a donor dying is extremely
20 small. It was of the order of 3,000 to 1 against in
21 2001 and this has not changed in 15 years. In my
22 experience, this risk is considered so low by relatives
23 considering donation that it hardly enters into the
24 decision makes compared to the other issues."

25 And Professor Savage accepts that and he responds to

1 the chairman:

2 "It wasn't that that was part of his reason."

3 No quotes.

4 Then he goes on:

5 "In 1995 [line 15], there was a marked difference
6 between the chance of success of a live donor and one
7 from a cadaver. Would you accept that?"

8 And he goes on to say -- talking about the cold
9 ischaemic time and the difference of that. If we pick
10 it up at line 23:

11 "As I say, I was trying to discuss with Debbie
12 a balanced approach to the care of Adam and I thought
13 there's no risk to Debbie with a cadaver kidney; she
14 would be there to support him through the trauma of the
15 surgery. And remember, he had had 20 operations; it was
16 very traumatic for him to have an operation and those
17 were the sort of things I put to her. We're better to
18 go for a cadaveric kidney."

19 At line 9:

20 "It wasn't a blanket decision; it was looking at
21 Adam and his mum and the family and trying to work out
22 what was the best for them. Sadly, it didn't work out
23 that day, of course."

24 So that is -- I hope I've captured in reading those
25 Professor Savage's actual thought process. What

1 actually Adam's mother had to say about it is in her
2 second witness statement, which is to be found at 001/2,
3 page 5. It's the answers to question 25 right down
4 at the bottom. The first is to do with carrying out the
5 transplant in a hospital other than the
6 Children's Hospital and then at (b) in particular:

7 "Did anyone discuss the possibility with you of
8 using a live donor?"

9 And she says:

10 "I asked if I could donate, but as a single parent
11 this was not allowed. Apart from that, there was no
12 other discussion on a living donor."

13 Then Mr Keane, he gave evidence on 23 April and
14 I think it starts at 137. But the upshot is that he
15 wouldn't dream of a live donor procedure on Adam Strain.
16 That's to be found at lines 17 to 19. And he said:

17 "His mother was a single mother and might die or
18 suffer a complication [I think that's page 138, lines 1
19 to 4]. Also her kidney was larger than the adolescent
20 one."

21 And I think he deals with that at 138 and 139:

22 "And he would need an aortic graft."

23 That's, I think, page 139, lines 7 to 12. And
24 Mr Keane expressed the view that he would not do an
25 aortic graft, so if that's what was required then Adam

1 would have to go to London.

2 Finally, Professor Forsythe and Mr Rigg deal with
3 it. That's to be found -- I think it's 3 May -- in
4 their evidence. It really starts at page 171, line 22.
5 There are some other references about how much
6 discussion there would be, but I'm trying not to read
7 out extensive tracts of their evidence. This, I think,
8 captures it:

9 "In 1995, I think the possibility of live donation
10 would at least have been raised. If any family member
11 showed an interest in live donation, we would then want
12 to give more information."

13 And then he goes on, over the page at line 11, to
14 talk about.

15 "... live donation being the best and probably most
16 successful form of transplantation of kidney
17 transplantation."

18 Then he goes on to talk about the fact that it
19 happens in an almost elective way. He says that at
20 lines 22 and 23. Then, at page 173, it is -- the very
21 passage from Professor Savage's evidence that I read out
22 to you at the start of this is read to him, starting at
23 line 24 on page 173. That goes on and if we go to
24 page 176, picking it up at line 11, Professor Forsythe
25 says:

1 "So I'm not sure how much of that had been shared
2 with Adam's mother. But that seems to be an entirely
3 appropriate thought process."

4 Because that is what the chairman had put to him:

5 "Was there anything wrong with the way in which
6 Professor Savage was viewing it, the considerations
7 he was taking?"

8 And Professor Forsythe's view is there's nothing
9 wrong with the thought process; it's a matter of how
10 much of it had been shared with Adam's mother.

11 And the chairman goes on at line 17:

12 "That was his thought process, but it hadn't been
13 shared with Adam's mother. And I get the feeling from
14 you that you're point is that you are not necessarily
15 critical of that thought process, but that is something
16 which should be discussed with her."

17 And he answers at line 22:

18 "Spot on."

19 And over the page, Adam's mother's evidence that
20 I just read out is put to him. And if we go over again
21 to page 178, line 18:

22 "I agreed with what the chairman said, that I felt
23 that Professor Savage has obviously thought that through
24 very carefully and I would have thought that would have
25 been discussed fully with Adam's mother."

1 So I hope that I have captured what people were
2 saying about it. The upshot from Professor Forsythe and
3 Mr Rigg is that however sensitive the area is, and that
4 was nonetheless an issue, that they felt should have
5 been discussed with Adam's mother. I wonder if you
6 could offer your views as to what sort of discussion
7 there should have been or, in your view, there should
8 have been between -- well, it really doesn't matter
9 between whom, with Adam's mother about live donation.

10 A. Thank you, I'll do that. Would it be helpful for me
11 to -- there are a number of issues within all that that
12 was said that I feel it might be useful to draw your
13 attention to in relation to this. Just to put this in
14 context, we're trying to look at what happened in 1995.

15 Q. Yes.

16 A. In 1984, when I -- or 1985 when I was consultant, it was
17 done very differently from how it was done in 2005.

18 Q. Yes.

19 A. Okay? And there has been a gradual process through that
20 time. The reasons for those changes are important,
21 I think, in understanding where we were in 1995. Okay?
22 If I can just take you through some of those things.

23 Q. Of course.

24 A. In 1985, everywhere there was quite a big problem with
25 children, small children, receiving kidneys which then

1 clotted. Quite a lot of transplanted kidneys clotted
2 within the first day or days of transplantation, and the
3 failure rate -- we're not talking about death rates
4 here, we're talking about failure rate of a kidney. The
5 failure rate of a kidney was considerably higher in 1985
6 than it is now.

7 That change of improvement in survival of kidneys
8 because of loss of -- because of them not clotting
9 happened in about 1990 and, by 1995, it was very
10 different. So that change occurred there. And this is
11 a major factor in people's thinking about live donor
12 transplantation.

13 The factors that -- some of the factors which were
14 changed then are not particularly important for you to
15 hear about, but one of the factors is that the even more
16 aggressive use of fluid volume and running a high CVP to
17 make sure there was plenty of blood in the system. The
18 second one was that a -- and a major one was that
19 children's transplantation, small children since then
20 have had the anastomosis from the arterial -- from the
21 kidney artery to their artery moved to a larger diameter
22 of vessel. When I started looking after these people
23 in the 1980s, most children had their kidneys attached
24 to the external iliac -- sorry, the internal iliac
25 artery, which is big enough in adults to supply a kidney

1 but is not big enough in children to supply a kidney.

2 And there was a move to move up the blood vessels.

3 By 1995, all the children that we were transplanting
4 all had their transplants put on to the aorta or the
5 common iliac, which is the first branch -- the aorta is
6 the major artery coming down and that divides into two
7 very large arteries and that divides subsequently after
8 that. And in adults -- before that, it was on sort of
9 the third branch and subsequently it was put on to the
10 aorta. So the observation about not being prepared to
11 put a graft on the aorta comes kind of out of context
12 there because I think that was how it was being done.
13 These are all relevant to the issues about what's the
14 chance of kidney survival and therefore would you risk
15 a live donor kidney. Okay?

16 By 1995, the survival rate for kidneys for them not
17 clotting was very, very much better than it was five
18 years earlier, and it seems to me that's the major
19 stumbling block with live donor transplantation. In
20 1985, we did not routinely suggest live donor
21 transplantation to parents. If they suggested it,
22 we would discuss it.

23 By 1990 and subsequently, once things were improved,
24 we would routinely ask. Now, just taking this right
25 through, it's kind of up there as an absolutely major

1 issue.

2 Q. Sorry, could I just be clear about it. What are you
3 saying about the discussion that would happen by 1995
4 and who would initiate it?

5 A. Okay, yes, thank you. By 1995, I'm not sure that
6 we would always initiate it, but we would always --
7 I think there would be personal variations about that.
8 But I think that by 1995, anybody requesting information
9 about it would have that discussed very deeply because
10 by then it would be considered a very reasonable
11 approach.

12 The things that would stop you, would make you
13 reticent to consider live donor transplantation, are not
14 really what may appear to be obvious issues like the
15 risk of the survival of the mother because the risk of
16 actual transplantation for the mother -- of giving a
17 kidney -- is very, very small. The major problem
18 is that you are going to put a kidney from a living
19 person where it's useful and doing an important job into
20 a child where, prior to that time in the 1980s, where
21 there was still quite a high chance it would clot. And
22 that would be a major problem that you would that feel
23 you would put the child through that, put the mother
24 through that, the child wouldn't be supported by the
25 mother, and at the end of the day, there's not a high

1 chance the kidney is going to work --

2 Q. Yes, but could you please deal with 1995 because you
3 said that quite a lot had changed.

4 A. Sorry. Following that, by 1995, because the survival of
5 kidneys has changed, it is then in my view a very
6 positive and useful thing to move towards live donor
7 transplantation and, absolutely definitely, we would
8 respond to a parent requesting it. I think the reason
9 why people didn't actively go out and discuss it was
10 because there was an anxiety that you would induce
11 a feeling of guilt if you suggested it to a parent who
12 then felt pressured morally if they didn't really want
13 to.

14 THE CHAIRMAN: Which was part of Professor Savage's
15 thinking.

16 A. I think that was a common view at the time and one still
17 feels a little bit of anxiety about that, but actually
18 now it's a routine that we would offer always it.

19 THE CHAIRMAN: I have your point, doctor, that I think what
20 you're saying is that: by 1995, I'm not sure that we
21 would always initiate a discussion about live donation,
22 but if any parent did raise it, then that would lead to
23 a very deep discussion with that parent.

24 A. Absolutely right. Absolutely right. Yes.

25 MS ANYADIKE-DANES: Thank you.

1 A. Could I also just in terms -- in case it is not raised
2 later, but it has been mentioned several times and it
3 grates with me. The size of a kidney from a 16-year-old
4 female is adult. I mean, females, if you look at growth
5 charts, girls reach adult weight and height by about 13
6 and their kidneys certainly will be adult size. So the
7 different between a 16-year-old -- a kidney from
8 a 16-year-old and an older woman, a mother, in size is
9 not different. A 16-year-old kidney may be preferable
10 because it's younger and potentially fitter and maybe
11 has a longer lifetime, but in terms of size there's no
12 difference.

13 Q. In fairness, Mr Keane gave evidence and he said it was a
14 small kidney.

15 A. It may have been a small kidney, but the argument as to
16 whether it is from a 16-year-old or a 30-year-old
17 doesn't influence that. The fact is that by the time --
18 if you look at growth charts and kidney growth charts,
19 they reach their adult size before 16 in females.
20 Obviously, boys grow longer than that, but girls don't.

21 MS ANYADIKE-DANES: Mr Chairman, I was going to go on to
22 something slightly different. I wonder --

23 THE CHAIRMAN: This is a good time. I don't want to rush
24 Dr Coulthard's evidence or anyone else's evidence, but
25 I'm a bit concerned about the rate at which we're making

1 process. It was highlighted to me when, in order to be
2 as fair as you could to all the people who have given
3 evidence, you went through all the extracts for about 10
4 minutes -- I think from 12.55 to 1.05 -- about what
5 Professor Savage said about live donation and what
6 everyone else had said and then Mr Fortune asked you to
7 take a bit longer than that -- an extra few pages. The
8 problem about that is that I'm not finding that terribly
9 helpful to go back over all of this evidence as an
10 introduction to a question to Dr Coulthard: what do you
11 think about live donation? Particularly when it ends up
12 with him saying in terms: I'm not sure I would have done
13 much different in 1995 to Professor Savage.

14 A. Sorry, that is not what I was going to say, sorry.

15 MS ANYADIKE-DANES: Sorry, Mr Chairman. I thought that
16 he had said that he would. I think he said he would
17 have discussed it in detail with her.

18 THE CHAIRMAN: No --

19 MS ANYADIKE-DANES: -- if she had raised it.

20 THE CHAIRMAN: "I'm not sure we would always have initiated
21 it if it was a live donor, but any person who asked
22 about that would lead to a deep discussion."

23 My point is this: because we have more and more
24 experts giving evidence, if we introduce every topic
25 with an expert by going back over what everybody else

1 has said, the questioning of each witness will
2 potentially become progressively longer and I don't find
3 that a very helpful way through things. I think it
4 needs to be shortened a little, otherwise these
5 witnesses will get longer and longer.

6 MS ANYADIKE-DANES: I'm very grateful for that indication
7 because quite often is the issue is others want certain
8 witnesses' positions put in a slightly fuller way. If
9 you, sir, are not finding that helpful, then I am very
10 grateful to be able to short-circuit that. Everybody
11 has the transcripts, the experts themselves have read
12 the transcripts and I am more than happy to cut through
13 some of that preambular work and get straight to the
14 question.

15 So that we're clear, though, and maybe Dr Coulthard
16 does need to revisit it, I thought the way that you had
17 summarised what Dr Coulthard had last said about live
18 donation is that if it had been raised, it would have
19 been discussed in detail. And I thought your summing-up
20 of the position was that that left Dr Coulthard in much
21 the same situation as Professor Savage. I don't think
22 that Dr Coulthard considers that he was in much the same
23 position as Professor Savage because, apart from
24 anything else, the mother's clear recollection is that
25 it wasn't discussed. But I saw Dr Coulthard shaking his

1 head there, when you, sir, summarised it in that way. I
2 don't know, if for clarity, whether we can have your
3 view.

4 A. If a parent asked me in 1995 what the possibilities were
5 about live donor transplantation, we would have dealt
6 with it very differently from how it was dealt with.
7 What we would have done would be to discuss the
8 advantages and disadvantages with the parent of live
9 donor versus cadaveric transplantation, number 1.
10 Number 2, automatically, if they had raised it, we would
11 take their blood and tissue type them. It's obvious
12 that because they are the parent, they are at least --
13 because they are at least a 50 per cent match, but it's
14 very often you will find that because of similarities
15 between the parents, they may be much better than that.
16 And that would massively influence your decision. So
17 you certainly wouldn't -- you wouldn't go to a full deep
18 discussion with the parent until you knew that because
19 the discussion, if they were a full match, which we've
20 seen a number of parents like that, would be very
21 different from if they were a half match.

22 THE CHAIRMAN: Okay, thank you very much. 2.05.

23 (1.17 pm)

24 (The Short Adjournment)

25 (2.07 pm)

1 MS ANYADIKE-DANES: Just a small amount of housekeeping
2 before we get started. There was an issue when Mr Brown
3 was giving his evidence as to whether or not his
4 statement was signed. I think the statement that was
5 pulled up was 093-011A-034. We'll just see that now.

6 You can see Mr Chairman, there's a space for the
7 signature. It wasn't there. And in fact, as one went
8 to the end of the document, there was no signature at
9 all. As a result of that evidence, the PSNI, in the
10 form of Detective Chief Inspector Ian Harrison, wrote to
11 the inquiry. One can see that letter at 093-040-001.
12 I think this is the document that people may not have
13 had an opportunity to look at and, certainly, we've only
14 just received it ourselves. But in any event, the first
15 and second paragraphs are summarising the --

16 THE CHAIRMAN: Just before you go any further, is Mr Brown's
17 solicitor here? Good, that's fine.

18 MS ANYADIKE-DANES: Sorry, I should have said that. His
19 counsel's not here, but his solicitor is. There's
20 paragraph 1 and then there is another unnumbered
21 paragraph under beneath that. That really is setting
22 out the procedure whereby the statements were taken and
23 involves the involvement of the solicitor.

24 Paragraph 2, at the bottom of the page, is where the
25 detective chief inspector is setting out his response to

1 the statements made by Mr Brown in his evidence on
2 1 May. He says that Mr Brown was interviewed by
3 DS Cross and DC Monaghan on 9 August. If one goes over
4 the page to 002, one can see, at (b), he was saying it
5 wasn't possible to prepare in advance by transcribing
6 the statement, so the complete interview is recorded in
7 handwriting, and Mr Chairman, you saw that.

8 Then Mr Brown declined to sign it at that time. He
9 left with a photocopy of it. And then, by arrangement,
10 on 4 September 2006, it was signed and there were no
11 requests to make any amendments. So he had it for just
12 about a month before signing it.

13 Then Mr Chairman, at 093-039-001, that is the signed
14 copy of the statement of Mr Brown, which he provided to
15 the police in September. In fact, it is dated
16 4 September. So although he was interviewed in August,
17 he took the photocopy away, considered it, didn't make
18 any request for changes and ultimately signed it on
19 4 September.

20 THE CHAIRMAN: Just by way of example, could we keep that
21 page on screen and put back up 093-011A-034?

22 MS ANYADIKE-DANES: There, I think, you can see,
23 Mr Chairman, that ...

24 THE CHAIRMAN: Well, I think Ms Wylie should see this. This
25 signed copy has just been received, has it?

1 MS ANYADIKE-DANES: Yes, that's correct.

2 THE CHAIRMAN: And the letter from DCI Harrison has just
3 been received?

4 MS ANYADIKE-DANES: That's correct.

5 THE CHAIRMAN: I presume you want a little time to look at
6 that and speak to Mr Brown about it.

7 MS WYLIE: Yes, please.

8 THE CHAIRMAN: If Mr Brown doesn't accept what is in the
9 police letter, then I will invite him to return to give
10 evidence.

11 MS ANYADIKE-DANES: Thank you very much indeed, Mr Chairman.
12 Mr Chairman, I want to move on to an issue which has
13 been touched on in part, but it's of assistance,
14 I think, to have Dr Coulthard just say his position.
15 That is the urgency of Adam's case.

16 Professor Savage gave evidence on, I think it was
17 17 April, and one sees it at 105. Dealing with that
18 issue. He goes on over the page to 106 -- I think, at
19 105, it starts at line 2 -- and on 106 it goes on to
20 line 17. For obvious reasons, I'm not going to go
21 through all of that. But in any event, that is what he
22 said about it.

23 Then in your report, Dr Coulthard, the reference is
24 200-007-114, you said in relation to urgency,
25 effectively, that a child who was thriving happily on

1 dialysis would be listed to have an especially
2 well-matched, in other ways, extremely suitable kidney.

3 At the stage when Adam had the offer of a kidney,
4 would you describe Adam as "thriving happily on
5 dialysis"?

6 A. From what I've read, yes.

7 Q. So in terms of the options that his mother had at that
8 time as to whether or not to accept that particular
9 kidney at that particular time, Professor Forsythe and
10 Mr Rigg have expressed their view about it and also
11 expressed their view as to the quality of the match, if
12 I can put it that way, leaving aside issues to do with
13 the anatomical features of the kidney and its cold
14 ischaemic time and so forth. But from your point of
15 view, as a consultant paediatric nephrologist, how
16 urgent was it that Adam had accepted that kidney for
17 a transplant then?

18 A. Do we have the information -- the mismatch data easily
19 available?

20 Q. Yes, we do. It is in his medical notes and records and
21 it is a note that Dr O'Connor made.

22 MR FORTUNE: It's 059-006-012.

23 MS ANYADIKE-DANES: Thank you. There.

24 A. Right, so it's 1-1-1. Okay.

25 Q. Well, in fact it's not so much that -- the mismatch has

1 been highlighted, but so far as Professor Forsythe and
2 Mr Rigg were concerned, it's not so much that, it's,
3 they said, within those categories of A, B and DR, some
4 of those are more important to have matched than others,
5 from their perspective.

6 But in any event, what I am asking you is how urgent
7 was Adam's case that made it necessary or appropriate
8 for him to accept or his mother on his behalf to accept
9 that kidney at that time?

10 A. In 1995, I would have accepted that kidney for him.
11 I would have considered that suitable. I mean, the
12 problem is that every kidney has some advantages and
13 some disadvantages. Taken as a whole, it's
14 a 16-year-old kidney from a female -- so it's not
15 huge -- young, um ... 1-1-1 mismatch is not ideal, but
16 it's not bad and it's what we were accepting in those
17 days --

18 Q. It's a slightly different question that I've put to you,
19 although it's helpful --

20 MR FORTUNE: I think I heard Dr Coulthard say -- and I've
21 seen it on screen -- that the kidney was from a female.
22 My understanding is that it was a 16-year-old male.

23 MS ANYADIKE-DANES: No.

24 A. It's referred to --

25 Q. No, it's a female. If you look at 058-009-025, your

1 options are: "1, male; 2, female". Do you see that,
2 right down at the bottom left-hand side? "1, male; 2,
3 female." And "2" is in the box. It's a female.
4 I think I understand where the confusion might have
5 arisen. The other kidney was transplanted into a male,
6 you're right, but this kidney, the donor was female.

7 Sorry, it wasn't so much whether you would accept
8 it, although that's a helpful piece of information to
9 know; it's how urgent it was that it be accepted for
10 Adam given his physical state at the time is the
11 question.

12 A. With respect, these things are very closely
13 interrelated.

14 THE CHAIRMAN: They must go together to some degree at
15 least.

16 A. They are obviously interrelated. In 1995, I would have
17 accepted a 16-year-old female 1-1-1 mismatch kidney for
18 a child who was stable and doing all right. Now,
19 we would demand a slightly closer matching than that,
20 but in those days with the arguments that were prevalent
21 at the time, that would have been considered acceptable
22 for a child who was stable.

23 MS ANYADIKE-DANES: We're going to go on to it, but now
24 we're at this stage, Professor Savage's view was,
25 although, ultimately, I think he deferred to the views

1 of the transplant team to have a rest, but if it had
2 been down to him, if I can put it that way, he had his
3 concerns about the cold ischaemic time by the time the
4 operation would happen, going over 24 hours. And
5 Professor Forsythe and Mr Rigg had said that they
6 wouldn't have accepted it, for a number of reasons, and
7 that's one of them. Sorry, that's part of the reasons
8 that they wouldn't have. Would you have had any
9 concerns about the cold ischaemic time in 1995?

10 A. Obviously, one would always have a concern about
11 a relatively prolonged cold ischaemic time. It's one of
12 a number of factors that you would throw into the mix.
13 I think that a cold ischaemic time of 24 or 36 hours is
14 definitely not ideal. But being a young female kidney
15 with a mismatch of that level, I would have accepted
16 that.

17 Q. Thank you.

18 A. If I can just -- there are some features of a
19 satisfactory or unsatisfactory nature of kidneys which
20 have a permanent and long-term impact. Mismatching, for
21 example. There are some features which have, in my
22 view, a relatively short-term impact, and the risk of
23 a prolonged ischaemic time is that the kidney may well
24 not start -- it has a lower chance of starting, working
25 straightaway, but in the long-term there's -- certainly

1 then, we believed there was little difference in
2 long-term outcome. So with a long-term view, I would
3 have been less influenced by that than perhaps they
4 would have been.

5 Q. Just as you're at that point, it might be helpful to
6 have your views on it in this way. In fact, if we call
7 Professor Savage and Mr Keane part of the transplant
8 team, if we call them that, they both had different
9 views as to accepting the kidney, and ultimately,
10 although it is a joint decision, when it came down to
11 surgical elements, if I can put it that way, I think
12 it's fair to say that Professor Savage said -- I'm not
13 sure he quite used the word defer -- but he has
14 expressed his view and if the surgeon is content to
15 proceed, then he would agree.

16 In fact, we have -- if you were in the position of
17 Professor Savage and Professor Forsythe and Mr Rigg were
18 in the position of Mr Rigg [sic], there's also
19 a difference, but round the other way in the sense that
20 you have -- you're prepared to accept something that, if
21 they held to their view, they would not be willing to
22 accept. I wonder if you can express a view as to how
23 that's resolved.

24 A. Certainly. I think the elements of choice in this
25 kidney -- the age of the donor and the likely size of

1 the kidney and it's from a female and the mismatch --
2 would be ... All of these would be up for discussion,
3 but those would be elements to which the --

4 Q. Sorry, just in there --

5 A. -- paediatric nephrologists would have the major ...
6 Those would be the elements that the paediatric
7 nephrologists would have the major say in, I think.
8 Whereas the anatomical details of the kidney, I would
9 defer entirely to the surgeons. This kidney was also --
10 had two arteries on a patch and, possibly, a third one
11 tied off. Those anatomical elements I would hand
12 entirely to the surgeon and, if the surgeon was happy to
13 proceed anatomically with that kidney in that child,
14 then the issues about the age and size and whether you
15 were likely to get a short time of non-function because
16 of longer ischaemic time would be issues that I would
17 have a strong view on. We would debate it and, at the
18 end of the day, it would not be in my interests or
19 anybody's interests for me to push a surgeon into doing
20 a transplant he didn't want to do. I think, ultimately,
21 the surgeon's doing the transplant and it is his
22 decision.

23 Q. One element that maybe didn't come out quite in how you
24 were discussing it, one of the things that was of
25 concern to them is -- I don't think any of them felt, in

1 particular -- any more than any other particular surgery
2 is -- was some sort of life-threatening thing, if it
3 failed, to the child. But what they were concerned
4 about was a potential failure of the graft and they'd
5 rather that didn't happen. Not only that, they would
6 want to have the transplanted kidney there for as long
7 as possible in the child given that Adam wasn't yet five
8 and they're looking to have the longest possible use
9 that he would have of any transplant kidney. And that,
10 if I'm not misrepresenting them, was being factored into
11 their considerations and their view was that, quite
12 apart from the anatomical features, which might affect
13 the level, quality, flow of blood into the kidney, their
14 view was that that a long ischaemic time for them was
15 just one of those things that they were concerned might
16 lead to delayed graft failure and that was of concern to
17 them.

18 So what I am trying to tease out with you is, if you
19 have the surgeons having that concern as to the likely
20 success of the transplant and, therefore -- or if not
21 failing, literally then, but failing some time slightly
22 later on, if that's their concern, how do you and the
23 surgeons resolve that between the two of you?

24 A. Well, obviously you would do it by debate on each issue,
25 but, in fact, I would take issue with the argument as

1 you're presenting to me if that's how it was being
2 presented. I think the issue about the artery, the
3 arteries and the anatomical thing is an entirely
4 surgical decision. The issue with that is the biggest
5 risk with that is that it will thrombose, ie clot,
6 pretty well straightaway, in which case, you know,
7 that's an issue: will it work or won't it work?

8 The issues about the age of the kidney and the size
9 of the kidney are to do with how long you expect the
10 kidney to last. The issue about the closeness of match
11 is to do with how long you think it's likely to last
12 because a slightly mismatched kidney is likely to be not
13 lost immediately, but to be lost years earlier than
14 otherwise.

15 The issue about cold ischaemic time, in my view --
16 and I realise there's an academic view about it -- but
17 it's still my view and it was certainly my view in 1995
18 that the major disadvantage of having a kidney which has
19 a longer ischaemic time is that the kidney, in the
20 short-term -- short-term -- is reversibly damaged, not
21 in the long-term. So in other words, if we were to
22 accept a kidney with a long ischaemic time, but other
23 factors that were quite good, the particular risk we
24 would be taking would be that the child would wake up
25 with a kidney that was perfused and that had the

1 potential to work but wasn't working for the first week
2 or two or three weeks which would mean we would have to
3 carry on dialysing him, but with the anticipation that
4 it would then improve. Because my belief is that the
5 evidence shows that the cold ischaemic time causes
6 a short-term reversible problem, whereas the issues
7 about putting in a very old kidney or a kidney that's
8 very small, too small or whatever, or a kidney that's
9 badly matched is that that's not likely to last years.

10 So that would be -- and as I'm talking to you about
11 that, that would be how I would discuss it with the
12 surgeons and we would come to a conclusion. But at the
13 bottom line, I have to say that, for those issues, how
14 we resolve it is I've always felt that the paediatric
15 nephrologist has to defer to the surgeon because it's
16 the surgeon who's actually going to do the procedure.
17 So if --

18 Q. That's what Professor Savage said.

19 A. Well, I think that's right. He has the deciding vote.

20 Q. Thank you. I wonder now if I can ask you about the
21 recording of urinary sodium results.

22 Professor Savage deals with that at page 120 of his
23 evidence on 17 April. At line 19, he accepts that
24 although it wasn't recorded after 1993, he accepts that
25 it would have been beneficial to do, which I think was

1 your view, that it would have been. He says it would
2 have been beneficial to have had it done six-monthly.
3 What I wanted to ask you is how often do you think
4 Adam's urinary sodium should have been measured?

5 A. I think it's critical that it is measured at the time of
6 transplant.

7 Q. Yes.

8 A. Okay? And beyond that, its use before then is
9 interesting and informative, but not essential. I would
10 not have any problem with a transplant unit which didn't
11 measure urinary sodiums except at the time of
12 transplant. That would be -- that would satisfy most of
13 the requirements because most of the management of
14 a child's plasma sodium and their handling sodium prior
15 to transplantation can be managed in other ways without
16 using that measurement. I personally use it because
17 I find it useful, but I can't argue strongly that other
18 people should do that. I would argue very strongly that
19 measuring it at the time of transplant is essential, in
20 my view. Beyond that, it's helpful, but there are other
21 ways of dealing with the issues.

22 Q. So if I just summarise it in this way: your concern was
23 not that they had been measuring it periodically since
24 1993, your concern was having stopped measuring it in
25 1993, they were using 1993 figures --

1 A. Absolutely.

2 Q. -- and extrapolating from that what his urinary sodium
3 might have been on 26 November?

4 A. Exactly.

5 Q. Thank you. Is it necessary or appropriate to measure
6 his blood creatinine or urinary creatinine?

7 A. They're very different. The blood creatinine measures
8 how well your blood is being cleaned of impurities.
9 Before the time that a child has dialysis, it reflects
10 their kidney function and, as their kidney function is
11 declining, once they're on dialysis, it reflects
12 a combination of the kidney function and the dialysis
13 function. And it's a measure of how well you're
14 achieving the clearing of his blood. So that is useful
15 at that point. And obviously, once you've had the
16 transplant, it's the main indicator of how well the
17 transplant is working. So the plasma creatinine is
18 something that is absolutely essential for different
19 reasons at all times.

20 Q. Yes.

21 A. The urinary creatinine is a very different situation
22 because it informs of different factors. I personally
23 have argued strongly in academic circles and in papers
24 that the urinary creatinine is an extremely useful
25 clinical tool to understand the way that children's

1 kidneys are working under a variety of conditions, not
2 just in transplantation. But I have to say that many
3 paediatric nephrologists don't share my commitment to
4 the importance of that. I think that in this situation
5 what is vital is a urinary sodium -- urinary creatinine
6 I find helpful and I could explain why, but it's not
7 really relevant, I think.

8 THE CHAIRMAN: It is the urinary sodium which is critical
9 for you?

10 A. The urinary sodium is critical because -- yeah, it tells
11 you how much salt is being lost every time you pass
12 urine, how much salt is being lost and how much water is
13 being lost. The urinary creatinine informs you about
14 details of how the kidney is, of itself, functioning and
15 I find it useful for a variety of reasons. I don't
16 think it's critical to management.

17 MS ANYADIKE-DANES: I understand that. Can I just put the
18 point in this way? Professor Savage was asked about
19 whether Adam's urinary creatinine should also be
20 measured in his evidence on 17 April, page 122, line 2
21 to 6. Ultimately, his answer is he would have no reason
22 to do that. Is there a reason to measure it?

23 A. Well, there is, but it's not critical. The reason to
24 measure it is that it allows you to precisely
25 calculate -- may I explain? Creatinine is a waste

1 product in your blood. When it's cleared from your
2 blood, if you've got a kidney that's working as opposed
3 to dialysis, when it's cleared from your blood, it
4 appears in your urine. If you know the concentration of
5 the creatinine in your urine, it can actually give you
6 precise information about how hard the kidney is
7 working.

8 I personally find that information informative in
9 management. Many paediatric nephrologists merely choose
10 to look at the plasma creatinine and make assumptions
11 from that. I think you could be more precise if you use
12 urinary and plasma creatinine. I would perhaps be
13 described as being obsessive in saying that, but that is
14 my view that it is a more precise way of managing it,
15 but I wouldn't criticise somebody for not doing so.

16 Q. It's not an issue of criticising anyone, it's just
17 understanding. In 1995, were you alone in that view or
18 were there others who were measuring that, so far as you
19 know?

20 A. Where I was trained, it was a routine measurement and it
21 was --

22 Q. You mean Great Ormond Street and Guy's?

23 A. Yes, it was used there, yes.

24 Q. Thank you. Can I go now to the issue of fractional
25 excretion? Professor Savage was asked about that as

1 well. He referred to a paper that you wrote in 2008,
2 proposing that fractional excretion of sodium and water
3 was a help in deciding which intravenous fluids to give.
4 But he indicated that that was 2008 and it wasn't common
5 practice to measure it in children in 1995. Would you
6 accept that?

7 A. Um ... Could I say that that paper is taken a little
8 bit out of context in this inquiry. The reason being
9 that I have argued that the fractional excretion of
10 sodium is very useful in understanding what is happening
11 in a child who has an electrolyte disorder, whose
12 kidneys are working, because the fractional excretion of
13 sodium allows you to deduce how the kidneys are working:
14 whether they're avidly retaining sodium, whether they're
15 avidly retaining water and so on. In a child with
16 end-stage kidney failure, we know that kidneys are not
17 capable of that flexibility. This is a measure of
18 kidney function flexibility. We know in a child with
19 end-stage kidney failure that he hasn't got any, so my
20 argument there was: this is what I think people should
21 use in children who have normal kidneys. That paper was
22 written for children with normal kidneys.

23 Q. Yes, but can I take you back? Are you accepting his
24 position that, in 1995, that wasn't something that was
25 common practice to measure?

1 A. I used it -- I've used it since I was trained in the
2 1980s.

3 Q. I appreciate you have.

4 A. I don't know the answer. I know that for -- in our
5 service it's something that I teach my -- I've always
6 taught my juniors to use and I have always found it
7 useful. The fact that I wrote that paper was probably
8 stimulated by the fact that it's not used terribly
9 widely and I think it would be better if it were.
10 I haven't done an audit then, but I suspect it isn't
11 used as widely as --

12 Q. Can I --

13 A. -- it could be.

14 Q. When you were being trained at Guy's and Great Ormond
15 Street, were they measuring fractional excretion rates
16 then?

17 A. Yes.

18 THE CHAIRMAN: Your point, as I understand it -- and please
19 correct me if I'm wrong -- you're not clear that it's
20 relevant to this inquiry because it's about children who
21 have normal kidneys, whereas clearly Adam did not have
22 normal kidneys? That's why he was in end-stage renal
23 failure.

24 A. That's correct.

25 MS ANYADIKE-DANES: So the measuring of Adam's fractional

1 excretion rights wouldn't have assisted?

2 A. Not in managing him, no.

3 MR FORTUNE: Could we establish from Dr Coulthard whether
4 his particular interest in measuring the fractional rate
5 stems from his degree in physiology?

6 A. It doesn't, no. It stems from my clinical practice and
7 the fact that, in clinical practice with children with
8 normal kidneys, it is immensely clinically useful and
9 important, and I believe -- this is outside the realms
10 of this particular thing -- but I believe it's
11 a measurement which, if it were used more widely, would
12 improve the management of children more widely, but not,
13 as it happens, of children like Adam because his kidneys
14 were not able to flexibly change.

15 MS ANYADIKE-DANES: Thank you.

16 I wonder if we can go back to the issue of dialysis
17 records and prescription sheets because we've now looked
18 at the original documents which are actually here.

19 Firstly, if I can put up 057-015-021. That is a
20 paediatric peritoneal dialysis prescription, but it is
21 a sheet from paediatric intensive care.

22 A. Mm-hm.

23 Q. There is no comparable sheet for anything other than
24 paediatric intensive care. Leaving aside that it is for
25 paediatric intensive care, is that the sort of thing

1 that you anticipated would be kept and filled in for
2 Adam?

3 A. Yes.

4 Q. Generally speaking?

5 A. Yes.

6 Q. Can I now call up 056-028-058? That would appear to be
7 the only thing in the records other than the
8 prescription sheet that I've just shown you from
9 paediatric intensive care. Is that an adequate dialysis
10 record?

11 A. Can we see the left-hand --

12 Q. It's the only one --

13 A. Can you see the left-hand side of the page, sorry? The
14 pages I have on the screen, I can't see the most
15 left-hand side columns.

16 Q. It starts at cycle number and strength.

17 THE CHAIRMAN: Can we make out the word that's cut off in
18 what would be the top left-hand corner if the sheet was
19 in the right direction?

20 MS ANYADIKE-DANES: Yes. I think we'll have to go and
21 perhaps bring the original up to see what is in there.
22 Maybe I will put that to one side until we do because
23 it's not fair to ask you to express a view until you see
24 it.

25 In terms of actual prescribing for it, treating it

1 as a drug, if I can put it that way -- the prescription
2 sheets -- and I just have one and then the one that
3 shows it's administered or recorded as an example. So
4 if one looks at 057-051-108, that's a prescription
5 sheet, and you can see the date, the drug, the dose and
6 the time of administration --

7 A. Mm-hm.

8 Q. -- and other instructions.

9 A. Yes.

10 Q. But we have found no instance where that includes
11 anything to do with dialysis.

12 A. Okay. The prescription sheet that you've put up here as
13 an example of a drug prescription sheet looks as if it's
14 a standard sheet.

15 Q. Exactly.

16 A. Right. It's very likely -- and certainly in our
17 hospital -- that there wouldn't be a standard printed
18 sheet for peritoneal dialysis that was arranged through
19 the printers in the hospital. But what you would expect
20 would be that the department would create its own
21 A4 page which would have the same kind of information.
22 So it would be a printed sheet headed, a bit like the
23 previous --

24 Q. The paediatric one?

25 A. Yes. A bit like the intensive care one. The fact that

1 it's kind of home-made would be neither here nor there.
2 It could even just be handwritten, but it would be
3 a sheet on which it would say that they were prescribing
4 a size bag, a concentration, and so on, those details.

5 Q. Yes. But if we put it up just once more, 057-015-021,
6 that information down the left-hand side, is that the
7 information that you want to see? Or is there other
8 information?

9 A. It's slightly complicated because this dialysis
10 prescription sheet is for manual dialysis, PD. Okay?

11 Q. Mm-hm.

12 A. Adam and most children who are chronically dialysed or
13 dialysed with a machine, an automated machine, and the
14 information that -- the specific information that you
15 require would be different. Also, I've realised what
16 that last sheet was ... The top box, which has "1.36",
17 that stands for a dialysis fluid containing 1.36
18 per cent glucose. That's a standard bag. So that's the
19 type of bag.

20 You would expect them to, on the sheet, say what the
21 volume cycle was -- which actually appears further
22 down -- but the next box you've got "duration cycle",
23 those are instructions to a nurse to perform dialysis
24 manually. I mean, peritoneal dialysis is very simply
25 running fluid into the belly, leaving it for a while and

1 running it out again. So those are instructions to
2 a nurse on how long to allow it to run and how long to
3 let it dwell for and how long to let it drain for. The
4 automatic machine would have sets of instructions, but
5 you would tell the machine how many cycles over what
6 period of time.

7 So it's a similar sheet, but actually requires
8 slightly different information because this is
9 information required to hand dialyse. The second sheet
10 that you showed me, where we were looking for the
11 left-hand side, I've realised is the recording sheet for
12 manual peritoneal dialysis. In manual peritoneal
13 dialysis, the volume of fluid that you run in is
14 recorded, the volume of fluid that runs out is recorded
15 by hand, by a nurse, after the duration of the cycle.
16 And then the balance is calculated. That's what we were
17 seeing and there was actually a note saying that the
18 first cycle was bloody. This would have been the first
19 peritoneal dialysis cycle done after the operation.

20 Q. Yes. Sorry, it's 056-028-058.

21 A. Yes. This is a sheet where a nurse is recording the
22 progress of the dialysis. So you have the first cycle
23 was 250 ml and they put in 250 ml. The machine withdrew
24 350 ml so that the child had lost 100 ml cycle balance.
25 The appearance of it was blood-stained because the child

1 had just had surgery. "Overall cycle balance, minus
2 100 ml", so that first line tells you that the first
3 cycle removed 100 ml, fluid. The second cycle removed
4 another --

5 Q. So what I am trying to get at is this is not the
6 prescription that you're talking about?

7 A. No, the prescription I'm talking about would be
8 equivalent to the last one we were looking at, but
9 asking for slightly different data.

10 Q. The reason for showing you that is that those are the
11 only documents that we have.

12 A. These are documents that relate to manual peritoneal
13 dialysis. And manual peritoneal dialysis would --
14 a child like Adam at home would be dialysed on a machine
15 where it's a kind of standard cycle and, after surgery,
16 would almost certainly be dialysed initially manually,
17 ie a nurse running fluid in and out so they can make
18 frequent adjustments for nursing convenience.

19 Q. Thank you. Your point is you would still have expected
20 to see the prescription sheet?

21 A. Yes.

22 Q. Thank you. I wonder now if we can deal with consent,
23 reasonably briefly, I hope, because you've --

24 MR FORTUNE: Sir, forgive me. Dr Coulthard has referred on
25 more than one occasion to a prescription. Where would

1 the drug come from, sir? How would it be obtained, from
2 the pharmacy? And if so, what would the pharmacy
3 require to release the drug, whether to a junior doctor
4 or to a nurse? Because presumably, a junior doctor or
5 nurse cannot just go to the pharmacy and say, "Can
6 I have such-and-such?"

7 THE CHAIRMAN: Please, can you take that?

8 A. Yes. You're right that it would be -- originally, it
9 would be sourced from a pharmacy, but a renal ward that
10 was used to dialysing children would have a stock or
11 a supply on the ward of those bags of fluid in the same
12 way that if you prescribed a common antibiotic for
13 a child going onto a ward, you wouldn't have to go to
14 a pharmacy to get it. The ward would have supplies of
15 commonly-used medicines on the ward. But in a sense,
16 it is a drug and it does come through pharmacy and it is
17 prescribed through the same way. You have to write the
18 size of the bag, the concentrations of the constituents.

19 MS ANYADIKE-DANES: Thank you. That's what we don't seem to
20 have at the moment. We're looking for it, but it's not
21 in his medical notes and records that we've received.

22 If I can go to consent. You, along with the other
23 experts, the anaesthetist, Dr Haynes, and the surgeons,
24 Professor Forsythe and Mr Rigg, have all expressed your
25 views on consent in two ways. One, the actual process,

1 right from the moment when it is decided that the child
2 will go on the register and, ultimately, hopefully, be
3 the recipient of an offer for a kidney. And then also
4 on the night -- well, when the offer is actually made
5 and culminating in the formal signing of the document.

6 A. Mm-hm.

7 Q. That has been discussed from the point of view of the
8 information that needs to be provided to the parents,
9 discussed, so that they can make a proper and informed
10 consent. If you've read the transcripts --

11 A. I have, yes.

12 Q. -- you'll see that we have introduced a document that
13 was providing guidance -- I think it was dated
14 7 October 1995 -- and Professor Savage will say that
15 that document and the guidance hadn't reached him at
16 that stage. So leaving aside that, although the
17 chairman has observed that clearly they were moving
18 in that direction in more formal and fully-informed
19 consent, in terms of the actual process and who should
20 be involved in furnishing the information, if I can put
21 it that way, I think that your view was -- and I think
22 it's at 200-022-264.

23 Your view was that it was acceptable and appropriate
24 that consent was taken by Dr Savage and not a surgeon,
25 where there had been some prior surgical input. And

1 I think you had said that that's exactly what would
2 happen in a case you wouldn't have a situation where
3 there hadn't been any surgical input for all the reasons
4 that you were explaining this morning.

5 A. Mm-hm.

6 Q. And Dr Haynes' view at 204-002-037 -- there's no need to
7 pull it up -- was that he felt it was inappropriate that
8 written consent was taken by the nephrologist and his
9 pretty firm view in his evidence was that it ought to
10 have been taken by the surgeon. Professor Forsythe and
11 Mr Rigg were also of the view in their evidence that the
12 surgeon should definitely have had an input and either
13 have taken the consent or, less desirable, confirmed it
14 afterwards, but in any event satisfied themselves.

15 Professor Koffman thinks that it is acceptable for
16 the nephrologist in the mid-1990s -- and I think his
17 view is that that is what was happening -- to take
18 consent, although he said he would wish to view the
19 consent form and the topics discussed with Adam's
20 mother. And that is his report of 094-007-031.

21 So I don't propose to go through all of that because
22 I think, apart from anything else, Dr Taylor said in his
23 view that it was his usual practice to meet with
24 patient, family, give them information, and Mr Keane,
25 I think, also, I think, was of the view that he would

1 have ultimately, I think, met the family and doesn't
2 move away from the fact that it would have been a good
3 idea for the surgeon to have provided some information,
4 although I think I started off by saying that he thought
5 Professor Savage was more than capable of doing that.

6 The point that Mr Keane made was that Adam's mother
7 didn't request to see him and what I wanted to ask you
8 about that is: in your view, how significant is that
9 or -- and you may not be able to answer this because it
10 may be a surgeon's issue. How significant is it that
11 she hadn't asked to see him or is that something that
12 you, as a nephrologist, would be offering her or
13 requiring the surgeon to be there, even?

14 A. Okay. In 1995, as happened here with Professor Savage,
15 then Dr Savage, I personally took consent, very often on
16 the night or on the occasion that the transplant was
17 going to go ahead, without the surgeon being present,
18 though fairly often the surgeon would come by, but not
19 particularly with the intent of getting -- of being part
20 of that process, but just in order to see the child and
21 make a kind of social discussion about the parents and
22 reassurance to the parents. The reason that I feel
23 that is acceptable is because, as we've emphasised,
24 these patient -- two things. One is that the patients
25 have all seen the surgeons and had a discussion with

1 them. Secondly, because the paediatric nephrologist has
2 a huge experience -- should have, in their training,
3 have a huge experience of all the complications that
4 could occur as part of transplantation and would be,
5 in that sense, as well-informed.

6 That's what I've basically said in here.

7 Q. Yes.

8 A. The specific --

9 Q. Well, what's your view -- well, the specific question
10 I asked you was: is it something that you think that the
11 mother initiates, that she would like to see the
12 surgeon, or do you, if you like, make that available to
13 her?

14 A. I think that in the situation which I work in, I've
15 not -- I would have said to the parents "I've come to
16 take consent, you've seen the surgeon, you've had all
17 that discussion, we'll go through it again, are you
18 happy with that?" And I might say, " Do you want to see
19 the surgeon?" I might not, but that would kind of be
20 implied. I think if I was facing getting consent from
21 a mother for a transplant operation and the mother
22 hadn't seen the surgeon at all, I would be very
23 concerned about that and I would certainly offer that to
24 the mother. I don't think the onus of responsibility
25 for requiring that step to happen should fall with the

1 mother. The mother -- you would expect the mother is in
2 a stressed state, her child's going to transplant
3 surgery and, in a sense, it's unfair to expect a parent
4 to demand a level of service. That level of service
5 should be offered.

6 So if I was in the situation of talking about
7 a transplant to a mother where they hadn't seen the
8 surgeon, I would certainly want to offer it at that
9 stage. Having said that, having said that, it is
10 obvious that Dr Savage, as he was then, has known this
11 mother for a very long time, has known her very well and
12 dealt with all these things very thoroughly in the past.
13 And it may well be that he has dealt with all the
14 surgical issues, but I'd still feel uncomfortable, if
15 she had never met the surgeon, to take consent without
16 him being in any way involved.

17 Q. Thank you.

18 A. And yes, it would be up to the doctors to offer that.

19 THE CHAIRMAN: Both the surgeon and the anaesthetist have
20 expressed regret that they did not follow the normal
21 practice in seeing the mother before the operation.

22 A. I accept that.

23 THE CHAIRMAN: It's really a bit unreasonable to suggest
24 that she should have been asking to see Dr Keane, isn't
25 it?

1 A. Absolutely. It's the medical responsibility.

2 MS ANYADIKE-DANES: I wonder if I can move on to another
3 point. So far as you can tell from the statements that
4 you've read from Dr Taylor and from actually what
5 happened in terms of what's recorded as having happened,
6 how important do you think it would have been for the
7 nephrologist to have satisfied himself that Dr Taylor
8 actually understood Adam's condition? Earlier this
9 morning, I think, you were talking about the discussion
10 that you would have and the sort of things that you'd be
11 saying: this is what I'm trying to achieve.

12 A. Yes.

13 Q. But that having been said, is there any onus on the
14 nephrologist to satisfy himself that this information
15 about this particular child in these circumstances, that
16 this anaesthetist understands the implications of that?

17 A. Absolutely, yes.

18 MR FORTUNE: Could we tighten the question? Because we've
19 got "circumstances", "the implications". What exactly
20 is my learned friend asking Dr Coulthard to ensure?

21 MS ANYADIKE-DANES: I understand that.

22 Your view this morning, I think, was that there were
23 two sorts of things that you needed to get over. You
24 needed to get over the concentration of sodium or not in
25 his urine and how much he passed and that would inform

1 you of, not only how you replace that, but also what
2 sort of fluid you use to replace it. That was one,
3 I think, discussion you wanted to have. The other
4 discussion you wanted to have was, if you like, how much
5 fluid you wanted him to have to keep him full, I think
6 was your expression, and that that would be related to
7 his CVP readings, particularly at the point in time when
8 the clamps were going to be released and that was
9 another discussion you would have.

10 So what I am asking you now is: in the course of
11 that discussion, how important was it for the
12 nephrologist to satisfy himself that the anaesthetist
13 had understood the implications of what you had
14 described as Adam's condition?

15 A. That is vital. That is absolutely vital. In a way,
16 this is going to sound very pompous, but it's the way it
17 actually is. The paediatric nephrologist regards
18 themselves as the primary doctor looking after children
19 with kidney problems and, in a sense, they remain in
20 control of that at all times, except when it's wrested
21 from them, as it were. And yes, if your child -- if the
22 child that you've been looking after is then going to be
23 out of your hands in terms of management for the period
24 of a transplant, that's the only time that they're
25 actually not going to be looked after by you directly or

1 indirectly, then you want to be absolutely certain that
2 the people who look after them for that vital three or
3 four hours knows exactly what I want of them.

4 And I tried to explain this morning that you would
5 do that by having a clear conversation with the
6 anaesthetist about, say, for the second component, which
7 is keeping the child's vascular compartment full of
8 fluid. You would make it very clear what you wanted and
9 how you wanted that to be achieved and how you wanted it
10 to be monitored, which is essentially that you use fluid
11 in order to maintain the CVP at a prescribed level, and
12 how long that conversation would go on and how deep and
13 complex it would be would depend on the interaction with
14 the anaesthetist. If it was an anaesthetist who made it
15 very clear that that was his previous practice and he'd
16 done this many times in adult transplants and he just
17 wanted to know the details of what number you were
18 aiming at in terms of pressure, then it would be
19 a relatively short conversation because you could
20 convince yourself with great certainty that you had got
21 your point across. If it was somebody who seemed unsure
22 about it, then that would become quite a long
23 discussion, but you'd keep discussing it until you were
24 quite clear that they had it fully understood.

25 Q. I suppose it's obvious, but from what you have said you

1 would not leave to chance, I presume, from what you
2 said, the idea that the anaesthetist might not
3 appreciate what Adam's urine output was?

4 A. No. You're right, I wouldn't leave it to chance.

5 Q. Dr Taylor has not at all criticised the information that
6 he received from Professor Savage. He said that he
7 received information, the problem was that he didn't
8 apply it appropriately. What I'm trying to understand
9 from you is: is the nature of your discussion with him
10 such that the likelihood of that error, to fail to apply
11 appropriately, is one that is reduced so far as you're
12 concerned?

13 A. Almost to the point of eliminating -- I mean, as I say,
14 there are two elements here. The element that we've
15 just been talking about, which is keeping the child's
16 vascular compartment full and monitoring that with CVP.
17 It would be dealt with in the way I've just described.
18 In terms of ensuring they get the urine component right,
19 I would actually talk to them in terms of urine output
20 in millilitres per hour. You could say that this
21 child's daily urine output is about 1.5 litres, but then
22 that involves a simple calculation of converting that to
23 an hourly rate and, at the end of the day, you're asking
24 an anaesthetist to look after a child for three or four
25 hours and to prescribe an hourly rate.

1 The drip flow rates are not calibrated in
2 millilitres per day, they're calibrated in millilitres
3 per hour, and that's what you're going to replace it
4 with. So I would automatically convert it in this case
5 to 62 -- or whatever it was -- millilitres per hour of
6 a fluid equivalent to half normal saline.

7 MR FORTUNE: My learned friend hasn't asked the question
8 I have just mouthed at her. Would there be a note of
9 that conversation?

10 MS ANYADIKE-DANES: I beg your pardon. The conversations
11 that you have, particularly that which you said would be
12 in some detail, would you make a note of it?

13 A. No, I don't think I would. I would ... What I'd be
14 doing would be conveying what was in the transplant
15 protocol and I would convey that in a discussion.
16 I wouldn't write in the notes that I've done that,
17 I don't think, no. That would be a conversation I'd
18 have with the colleague. I would be clear that he
19 understood what I wanted and that would be that.
20 I don't think I would have written a note about that.
21 I would have written a note that I've discussed it with
22 the anaesthetist and that's fine, but "that's fine"
23 would mean -- and I'm satisfied that we completely
24 understand each other's requirements. In fact, in
25 reality, this could be a telephone conversation, but in

1 reality, because the anaesthetists always do visit the
2 children beforehand and because paediatric nephrologists
3 are obsessive creatures who hang around a lot, I would
4 always meet the anaesthetists in any case soon after the
5 admission and you'd have a face-to-face discussion about
6 it.

7 THE CHAIRMAN: Doctor, I just want to be clear about this
8 because I want to be sure that I understand the extent,
9 if any, to which you're being critical of Dr Savage on
10 this; okay?

11 A. Okay.

12 THE CHAIRMAN: You talked earlier on about respecting the
13 professionalism of colleagues and therefore it's not
14 your function to spell out to an anaesthetist what his
15 job is.

16 A. Mm.

17 THE CHAIRMAN: Dr Taylor, in his oral evidence here, which
18 I think you have seen, has accepted that the
19 responsibility for what happened was, to a considerable
20 extent, his and he has not complained that he didn't
21 have any information from Dr Savage or that he didn't
22 have enough information. He knew specifically that Adam
23 had a fixed urine output and he has said:

24 "I regret and I can't explain the false assumption I
25 made about him passing 200 ml an hour."

1 Are you saying that, in light of that evidence and
2 the other evidence which you've read, that you still
3 think that Dr Savage should have gone further than he
4 did?

5 A. I haven't said that I think Dr Savage should have gone
6 further; I'm telling you what I would do. I don't know
7 what Dr Savage did because he didn't record it and,
8 indeed, I wouldn't have recorded it either. For me, the
9 figure of 200 is completely inexplicable. I can't see
10 how it could have arisen from information about
11 an hourly rate or information about a daily rate. So
12 I have no idea how that arose and, therefore, I have no
13 idea what the conversation was between him and
14 Dr Savage. I'm merely saying that's how I would carry
15 it out.

16 THE CHAIRMAN: Okay.

17 MS ANYADIKE-DANES: Thank you.

18 Just before we move on, Mr Chairman, we actually do
19 now have the document which shows what was in the
20 column.

21 THE CHAIRMAN: Is this the top left of the screen that was
22 cut off; is that right?

23 MS ANYADIKE-DANES: Exactly, Mr Chairman. I'm just busily
24 writing in the reference number. (Handed).

25 THE CHAIRMAN: What we had was the end of the word

1 "prescription". It's 056-026-058, please.

2 MS ANYADIKE-DANES: It is, but I don't think we will have
3 this new version on the screen. I'm handing out copies
4 and I can just say what it says. What should be
5 there is "name" and then "prescription" and then "date"
6 in that box next to the "cycle number and strength".
7 And alongside "cycle 1" is the date of 25/08/94.
8 Alongside "cycle 2" is the date of 25/08/94. So that's
9 what was cut off in the photocopying.

10 A. What I was looking for was, in fact, whether there was
11 a date and time, and it is, in fact, obvious that this
12 was not -- I was guessing that this was the manual
13 dialysis following his transplant, but in actual fact
14 this is a manual dialysis at some time in August 1994
15 when presumably he's had some other surgery.

16 Q. Yes. In any event, it's not the document that you were
17 expecting to see.

18 A. No.

19 Q. Thank you. I wonder if we can now move on, since we've
20 just dipped back into dialysis, to an issue of the
21 effect of dialysis. By that, I mean that Adam came in
22 at roughly 8 o'clock or thereabouts into the hospital.
23 He had eight cycles of his dialysis, which went up until
24 6 am.

25 A. Mm-hm.

1 Q. This is tied to another issue which I want to ask you
2 about, which is deficit. In any event, how the issue
3 arose with the various witness is: what is the likely
4 impact of that dialysis on his fluid status, if I can
5 put it that way, both in terms of his level of hydration
6 and in terms of his serum sodium?

7 A. Okay. The impact of having eight rather than 15 cycles
8 will be nowhere near the impact that you might guess if
9 you were to assume a linear relationship. Because
10 essentially, when a child starts dialysis, at the end of
11 their ordinary day -- and this was effectively an
12 ordinary day for him -- their volume status and their
13 sodium concentration in their blood could vary up and
14 down a bit because they may have drunk a lot at
15 a children's party or they may have eaten some crisps or
16 had some extra salt. And as soon as you start dialysis,
17 at that point, the effectiveness of the dialysis is
18 related to the abnormality of the physiology. If you
19 just take the sodium, for example, if for example he had
20 eaten a lot of crisps before and his plasma sodium had
21 jumped up to the 150s, then in the first cycle the
22 gradient between his blood, 150, and the concentration
23 in the PD fluid would have been high and the first cycle
24 would be very effective. Subsequent cycles would become
25 less effective.

1 If you take an analogy. If you burn the toast and
2 your room is full of smoke and you're going to deal with
3 it by putting on a fan, the first five minutes of using
4 the fan will clear an awful lot of the smoke and the
5 smell, the next five minutes less so and so on. So if
6 you're going to ask how much difference would it make
7 having the fan on for quarter of an hour rather than two
8 hours, it's not a linear relationship. So peritoneal
9 dialysis is most effective when it's, as it were, most
10 needed, when the perturbation in the child's physiology
11 is most extreme, which is after a day of not being
12 dialysed. So the first eight cycles will do the vast
13 majority of the work and therefore it wouldn't concern
14 me very much at all. And indeed, many children who are
15 on regular peritoneal dialysis don't complete cycles for
16 a number of reasons: they might go to bed late and get
17 up early for this and that, and it really doesn't alter
18 the day-to-day management of children. It's not
19 critical.

20 Q. Thank you. I wonder if we might then lead into
21 something else which was an issue for the witnesses and
22 that is the extent to which Adam was likely to have
23 a deficit, or whether his peritoneal dialysis would have
24 had time to redress any deficit.

25 If I just tell you the context in which this arose.

1 This arises because Professor Savage -- and to some
2 extent following on from him, Dr Taylor -- have said:
3 well, if you applied his fluid management over a 24-hour
4 period, then, in their view, he would have come to
5 theatre somewhere 300 to 500 ml in deficit.

6 If, on the other hand, you had looked at his fluid
7 status, if I can put it that way, only from his
8 admission to when he went to theatre, then he wasn't in
9 deficit; he was either about even or maybe slightly
10 over, and you will have seen those charts that -- well,
11 you filled one in and all the others dealing with this
12 aspect of Adam's care have filled them in.

13 A. Indeed.

14 Q. And you can see -- because there's a comparative one --
15 the differences between you. This is one that
16 Professor Savage made a note over and said: well,
17 whether he was in deficit or not rather depends on how
18 you look at his cycle, if I can put it that way.

19 You provided a paper or a note on 17 April. The
20 reference for it is 200-023-001. There we are. I don't
21 want to be reading into the whole thing, but just to
22 flag up and then if you can help us understand your
23 position.

24 A. Mm-hm.

25 Q. Under 2(a), and this is dealing directly with these

1 charts that I've mentioned, you say:

2 "The first approach is to take the previous
3 24 hours' estimated fluid intake and then deduct from it
4 the estimated usual urine output."

5 And so forth. And you have addressed
6 Professor Savage's argument on that basis. Then (b):

7 "The second approach is to take the most recent
8 point of clinical assessment and to work forward from
9 there."

10 And after that paragraph, you address
11 Professor Savage's conclusions about that. In fact, you
12 can see the difference there it makes because you've got
13 the figures.

14 A. Mm-hm.

15 Q. So I wonder if you can explain how you thought Adam's
16 fluid status should actually have been assessed so that
17 you can have that discussion with the anaesthetist and
18 tell the anaesthetist what the fluid status of Adam was
19 as he came to theatre.

20 A. I would always use the second approach. When you're
21 trying to assess a child's fluid balance and to try and
22 predict where it's going to go by your management, what
23 you ideally want to do is to have a concrete starting
24 point of assessment and then to make adjustments and to
25 reassess after the shortest possible interval. The fact

1 that -- using a 24-hour period is something that you are
2 sometimes forced into if you have no other intermediate
3 information. It makes all sorts of assumptions about
4 what happened during many hours when the child wasn't in
5 hospital and under your care and being observed by you.

6 What makes, in my view, much more sense is to
7 examine the child and make an assessment of the child's
8 clinical condition in relation to their fluid balance as
9 near as you can to the surgery. What, in practice, that
10 means is that when the child is admitted, you examine
11 the child and look for evidence of their fluid status
12 and make a clinical assessment of their fluid status.

13 Having done so, you then prescribe your management
14 and then re-examine them after you've completed your
15 treatment. So in this particular instance, I would
16 examine him when he comes in and it's clear from the
17 examination when he was admitted that the doctors
18 thought that he was clinically in balance, that
19 he wasn't dehydrated at that point.

20 THE CHAIRMAN: Because that's in keeping with his mother
21 looking after him?

22 A. No because it is in keeping with -- you can get rid of
23 all those assumptions because it is in keeping with your
24 clinical assessment at the time. When you examine a
25 child, there are a number of features about the child

1 which allow you to judge whether the child is
2 dehydrated. If a child has a moist tongue, moist lips
3 and they look fine and their skin turgor is normal and
4 they have warm hands and feet, which implies that they
5 are pumping blood effectively to their peripheries, you
6 can say that they're either not at all dehydrated or
7 minimally dehydrated, not an amount that clinically
8 matters.

9 Everything that happens before then becomes
10 irrelevant because you have a starting point where you
11 can peg it on. Debra Slavin, I have never met her, but
12 it comes across from the notes that she's a very caring
13 and meticulous mum, but it is perfectly possible when
14 she is looking the other way that he might have an extra
15 drink of pop or something.

16 So all those uncertainties disappear completely when
17 at 8 o'clock at night 10 o'clock at night -- whenever it
18 was -- you examine him and you decide that he's in fluid
19 balance, then that's your starting point, and there's no
20 need to make all the prior assumptions. What you then
21 do --

22 MS ANYADIKE-DANES: Sorry, pause there. In aid of the
23 chairman, when he said that was consistent with his
24 mother's care, actually Adam took nothing by mouth;
25 he was fed entirely through his gastrostomy tube. So

1 all of that was actually controlled, so I think what the
2 chairman was getting at is that's all being controlled,
3 his dialysis is all being controlled and your physical
4 examination is just effectively linked up with that.

5 A. While I understand that, there are also variables that
6 we and she may not know about. For example, if you do
7 a clinic in the summer, you'll find when you look at the
8 peritoneal dialysis fluid volumes that children dialyse
9 less fluid off. That's because they are relatively dry
10 because they sweat more. If it's a hot day or a cool
11 day, it's very difficult to -- what you're doing is
12 you have a good mum and a lot of control in the sense
13 that the child's intake is regularly controlled, but
14 you've also got other variables. Who knows? It might
15 have been a hot day or whatever.

16 The point is, in Adam's case, it may well have been
17 quite a useful tool to do that. In some cases it isn't
18 and it is unreliable to use that as your primary measure
19 just because it might happen to work quite well in Adam
20 because he's got a particularly reliable mother. So
21 what you do is you use a method which works for
22 everybody.

23 So when a child comes in and they are clinically
24 dehydrated, when they come in you think that their mouth
25 isn't as moist as it ought to be, that their limbs are

1 cooler peripherally than you'd expect. Then you would
2 say: this child is X per cent dry and you would add to
3 your prescription an infusion of some saline or some
4 extra fluid into his gastrostomy. And then, later on,
5 later in the night, you'd look at him again and decide
6 whether or not you've done enough or do a bit more and
7 again in the morning. So it's an ongoing process.
8 There is no need to guess in a way whether somebody's
9 going to theatre dehydrated because you can see them and
10 examine them.

11 I, in that situation, would examine him when he
12 comes in, write up the fluid management as far as you
13 can -- obviously, there are difficulties with drips and
14 so on and we know that -- and then run that as close as
15 I can and then look at him and as you approach the time
16 of surgery and see whether you need to make any
17 adjustments.

18 THE CHAIRMAN: Okay.

19 MS ANYADIKE-DANES: Okay. Well, staying there with the
20 deficit, it seems that from their way of assessing it,
21 both Professor Savage and Dr Taylor thought that Adam
22 was slightly in deficit somewhere between 300 ml to
23 500 ml. Is there then for the anaesthetist or for the
24 nephrologist an issue as to how quickly that is
25 recovered? Who is the person who has to address it,

1 first, and, given that person, how quickly is it
2 something that has to be redressed?

3 A. Okay. Delivering the child to theatre in appropriate
4 fluid balance, which means slightly replete, is the
5 responsibility of the paediatric nephrologist. So he's
6 got all night to, in this case, because of the decision
7 to operate in the morning, to ensure that the child
8 doesn't go to the theatre dehydrated. If they think at
9 the end of that, because of particular difficulties,
10 they have done so, then that would be a discussion
11 between the paediatric nephrologist and the anaesthetist
12 handing over that information. They would say, "I think
13 we've tried to get him replete, but I think because of
14 the drip problems and what have you, he might 300 ml
15 down; can you deal with it when you have your drip in
16 because there was a problem with the drip?" What you
17 would then suggest is that as soon as he had his line
18 put it, he could be filled up and that volume -- 200,
19 300 ml -- could be given very quickly -- quarter of
20 an hour, half an hour -- as long as it's given with
21 isotonic or a fluid which has got a normal plasma
22 sodium, thus a normal sodium concentration.

23 It wouldn't matter how -- you could give ... That
24 sort of volume you could give in quarter of an hour,
25 half an hour. The 300 ml, you could give, maybe 200,

1 300 ml, have a look at him again, maybe give another
2 200, 300 ml. It's an ongoing process, an hour by hour,
3 minute by minute process.

4 Q. Okay. If we go to actually what happened. As you know,
5 it's recorded that the cannula tissued so the IV access
6 was lost in that way. That's part of the reason why the
7 management Professor Savage would have wanted to have of
8 his fluid, sending him to theatre in that condition
9 couldn't happen and he actually went there, in his view
10 -- although I understand it's not your view -- slightly
11 dehydrated by that 300 to 500 or whatever it was. So
12 after he's had that discussion, we also know, because
13 Dr Taylor has said so, that not only did he think he had
14 to make up that kind of deficit, but he was also
15 mistaken as to what he would have to manage in terms of
16 Adam's urine output.

17 He thought he was managing 200 ml an hour or
18 thereabouts in terms of his urine output. So if that
19 were the case, assuming he was right -- I know you
20 don't -- you can't accept that that's the position, but
21 assuming he was right and Adam was dehydrated to that
22 level and he had an urine output of that type, then what
23 is the appropriate thing to have done in terms of
24 managing his fluids and the rate at which you do it?

25 A. Okay. That's a ...

1 THE CHAIRMAN: Sorry, have you not given me the answer to
2 the first part, that it is the anaesthetist who can
3 remedy a small deficit with a small extra volume of
4 a fluid of the isotonic type at the start?

5 A. What I'm saying is if the child was considered short of
6 fluid on arrival in theatre, that could be remedied very
7 quickly. I'm talking about 300 ml, say, in about
8 quarter of an hour, half an hour, that sort of time and,
9 if necessary, an extra bit as long as that fluid had
10 a normal sodium concentration.

11 THE CHAIRMAN: Yes.

12 A. The next bit is quite complicated because there are so
13 many ifs and buts conflicting and make the scenario
14 you're giving me a clinically impossible one in a sense.
15 Let me takes you first of all to the fact that there
16 is -- I don't want to divert the thing, but it is maybe
17 helpful for you to know that there is a very, very rare
18 condition in which children as small as Adam do produce
19 very, very dilute urine at about 200 ml an hour. Okay?
20 They don't have kidney failure; it's a condition called
21 nephrogenic diabetes insipidus. It happens, it's very
22 rare and children of his age will then drink 4 litres,
23 5 litres a day. That's a vast, vast amount, 200 ml an
24 hour. If, while we were sitting here having this
25 conversation, he would have to have with him some Coke

1 bottles of water, large 2-litre bottles, and he would be
2 drinking from it, and they wake up every hour or two.
3 If you really were in that situation, which some
4 children are, the message that we give to parents and
5 the doctors who look after them, a child in that
6 situation cannot go without fluid for two hours. The
7 child would have to go to school with bags of fluid,
8 they'd have lots of water at school and he'd just be
9 allowed to drink, drink, drink, drink and go and pee and
10 drink and pee and drink and pee and drink. That's their
11 life and it's a pretty grim condition. In a way, that
12 theoretical situation does happen and it is so dangerous
13 that the -- if you take a child with NDI, with this
14 condition, to theatre for something, they would have to
15 have a drip up constantly.

16 If you were telephoned in the middle of the night
17 about a kid that you were going to have to do surgery on
18 and you want him fasted, you would have to put a drip
19 up -- you couldn't discuss whether you'd make it up
20 in the morning -- and you'd have to replace that with
21 5 per cent dextrose or fifth normal, 0.18 per cent,
22 saline to match the urine. So theoretically, that's
23 what you would do in that rare situation. We are so far
24 from that situation it's untrue because if Dr Taylor's
25 assumption, as I have read it, is that between 5 am --

1 the reason ... If you actually go to Professor Savage's
2 calculation, he ends up with minus 298 ml, so 300. The
3 300 to 500 it seems to me comes in from the additional
4 assumption that professor -- Dr Taylor is making that
5 this boy is losing 200 ml -- most of it water -- every
6 hour, so between 5 and 6 and he's got 7 to 8, it's
7 a potential disaster, which indeed if he had NDI, it
8 would be the case, but they wouldn't have managed like
9 that.

10 Had that been the case, he would have had a drip
11 going all the time, okay? It's a completely different
12 situation. The reality is that if you have -- and a
13 child like that could not be allowed to go without water
14 any time of day or night. We're not dealing with that
15 situation. We're dealing with a boy where 200 ml
16 an hour is so unrealistic, I can't really answer your
17 question in a sort of sensible manner. The fact is that
18 everybody accepts, including Dr Taylor, that at the time
19 that this boy finished his dialysis, his plasma
20 sodium -- although it wasn't measured for various
21 reasons, I know -- but his plasma sodium was likely to
22 be normal or very nearly normal. It always was every
23 morning, eight cycles against 15 cycles -- it doesn't
24 matter that much -- the sodium would start off normal.

25 So if the sodium starts off normal and then two

1 hours later, you've managed to get a line in, at
2 7 o'clock you're going to give him fluid, there is
3 absolutely no logical basis for then arguing that, in
4 order to replace his deficit, which you think has
5 happened, you have to give him lots and lots of water.
6 Because we started off an hour or two ago with a normal
7 sodium.

8 THE CHAIRMAN: And ultimately, therefore, you are not
9 surprised that Dr Taylor has come to recognise that he
10 got this catastrophically wrong?

11 A. Absolutely. It's such a catastrophic -- if you use that
12 word -- discrepancy that me trying to explain to you how
13 you would deal with that situation, it's just
14 impossible. The logical situation would be that if
15 a child starts off with a normal sodium at 5 o'clock in
16 the morning when he comes off his dialysis and unless
17 he's got NDI --

18 MS ANYADIKE-DANES: 6 o'clock in fact.

19 A. 5 o'clock, 6 o'clock, whatever. Unless he has NDI, this
20 unbelievably rare condition which you'd manage in
21 a completely different way, then it would be completely
22 unreasonable to assume that, by 7 o'clock, his plasma
23 sodium was catastrophically abnormal. After all, on
24 a normal day between 5 o'clock or when he gets up at
25 7 o'clock, by the time it's 9 o'clock, he's not in need

1 of resuscitation. So the idea that that would lead to
2 him requiring resuscitation with a dilute fluid makes no
3 sense.

4 Q. Sorry, can we just be clear about that because I think
5 you've just addressed two issues.

6 A. Sorry, it is a complex area.

7 Q. Leaving aside whether he was or was not in deficit, the
8 first issue you have addressed, which Dr Taylor has
9 clearly acknowledged, which is that Adam couldn't really
10 have an urine output of 200 ml an hour. That's the
11 first.

12 A. Okay.

13 Q. I think that's what you're saying.

14 A. Yes.

15 Q. And then I think that Dr Taylor went on to acknowledge
16 something that he had also been in error over in all his
17 previous statements, which is not only couldn't he have
18 that, but he also couldn't have a response which led to
19 an almost unlimited response to the production of urine,
20 that his particular condition meant that he had a fixed
21 urine output.

22 A. Yes.

23 Q. Yes. Then the third thing that you've talked about is,
24 even if he acknowledged all of that, you've introduced
25 another thing, which is not so clear whether he has

1 actually acknowledged, which is that even if all of that
2 was the case, he still shouldn't have been replacing the
3 loss that he thought had occurred with the fluids he
4 actually did replace them with. Because of the kind of
5 loss that was suffered, it was completely inappropriate
6 -- irrespective of whether it was 200 ml or not -- to
7 use those sorts of fluids; is that what you're saying?

8 A. That's what I'm saying. If I could just -- the point
9 about --

10 MR UBEROI: I think Dr Taylor has certainly accepted that,
11 with hindsight, the wrong fluid was used as well.

12 MS ANYADIKE-DANES: It's a matter of why it was --

13 A. Sorry, I'm aware it's a complex area and I'm sorry to
14 have to labour this. But the point that I'm making is
15 in Dr Taylor's and Dr Savage's assessment, by the time
16 he got to finishing his dialysis, he was 300 ml
17 depleted. I think they're wrong, but let's assume they
18 were right. The question you then have to ask is: what
19 is he depleted of? He's depleted of 300 ml, but what's
20 he depleted of with respect to sodium? If his plasma
21 sodium is normal and he's 300 ml short, then he must be
22 depleted of 300 ml of fluid containing a sodium that is
23 normal.

24 If he was depleted at the end of his dialysis of
25 300 ml of fluid, which was equivalent to the

1 concentration of sodium that he was losing in his urine,
2 then he would have got a huge water deficiency
3 in relation to his salt and therefore he would have been
4 hypernatraemic. For that to be true, he would have to
5 have had a very high plasma sodium at the end of
6 dialysis and nobody's suggesting that. So whether or
7 not the extra 200 ml was to do with urine at the end,
8 the fact is that if you end up at 300 ml deficient at
9 the end of dialysis when his sodium is normal, then you
10 must be short of 300 ml of normal saline.

11 THE CHAIRMAN: Okay. Thank you very much. We'll break for
12 15 minutes and then sit until 4.30.

13 (3.32 pm)

14 (A short break)

15 (3.50 pm)

16 MS ANYADIKE-DANES: I wonder if we could move now to the
17 nephrologist's presence in and around the theatre.

18 Professor Savage has said that he -- he said that in
19 his evidence on 18 April -- regarded himself as
20 providing a supportive role for the clinicians if they
21 had any queries and also for the mother, Adam's mother,
22 being in a position to report back to her on what was
23 happening.

24 He said that he would ask surgeons how things were
25 going. He also made sure that the immunosuppressant

1 drugs were given at the right time. At least that's
2 what he regarded as a nephrologist's role.

3 Dr O'Connor said, in Bristol, it wasn't the policy
4 of the nephrologist to go into theatre and she had asked
5 colleagues in the UK about that and their different
6 policies -- some do and some don't -- and she gave her
7 evidence on that on 25 April. I'm not going to go
8 through that.

9 But in your report of 200-007, in that particular
10 report, you do discuss being in the theatre. Also at
11 200-007-111, you describe the consultant paediatric
12 nephrologist as a main medical carer for children with
13 end-stage renal failure and I think that's something you
14 were explaining to the chairman earlier on.

15 A. Mm-hm.

16 Q. And that you have this sort of continuing role apart
17 from when the child is wrested out of your control from
18 the time in the operating theatre and then you take
19 a rather prescriptive view as to what's going to happen
20 there. Does that fairly summarise your attitude?

21 A. That's a good summary, yes.

22 Q. At 117, though, you deal specifically with nephrologists
23 being in the operating theatre during the transplant
24 surgery. You say, much like Professor Savage actually,
25 that mainly -- you do it intermittently and it's mainly

1 to be able to provide feedback to the parents on their
2 child's progress. Then you say:

3 "But sometimes it also involves entering into
4 medical discussions with the anaesthetist and surgeons
5 about particular aspects of the child's ongoing care."

6 What sort of thing might that be that would cause
7 you to get into a discussion with the anaesthetist
8 and/or the surgeon?

9 A. Okay. I just put the context of this, that my visits to
10 the theatre, spontaneous visits to the theatre, are
11 always purely social in the sense that I'm wanting to
12 gather feedback for the parents as to how things are,
13 and obviously I'm always available on call so if they
14 have a specific problem, they would call me. What I was
15 referring to in this context is that sometimes when you
16 go to theatre and just -- "How are things going?" And
17 there may be discussions about particular issues. For
18 example, the surgeons might say that, "This child's
19 artery was quite difficult to visualise", or, "I'm
20 wondering what angle I'm going to put this kidney in
21 at". They're just kind of chatting and talking aloud
22 and maybe sharing some concerns, but it's not really
23 a kind of consultation as such, usually. It's usually
24 just a kind of --

25 Q. I take the usual point and I think I'm dealing with

1 a situation I think you would regard as not being usual.

2 You say:

3 "Sometimes it involves entering into medical
4 discussions with the anaesthetists and surgeons about
5 particular aspects of the child's ongoing care."

6 Does it go past a social discussion about, "Shall we
7 put the kidney there or shall we put it here?" I'm
8 trying to find out what you actually meant by that.

9 A. Issues like that, but also the anaesthetist might, if
10 we're thinking about fluids, observe the amount of fluid
11 that they've needed to give to get the CVP to where it
12 was and we might discuss whether -- they might, for
13 example, be concerned that that was rather a lot, say,
14 and you might discuss that as to whether it really was
15 a lot and how you would manage that. So there may be
16 discussions about details of the way that things are
17 being managed, but those are always -- in this context,
18 not being called to theatre by them for a particular
19 issue, they would always be kind of discussions about
20 giving an opinion on somebody else's area because they
21 maybe value your opinion, you've seen many more
22 transplants. So they'll say, "Do you often see that?",
23 "Yes, that's okay". It's that kind of interaction
24 rather than a serious -- I can't recall going and having
25 a "Good job you're here because --

1 Q. Have you ever been called to theatre --

2 A. Of course. You get called to theatre if there's

3 a problem they might phone you --

4 Q. So this is different?

5 A. Yes.

6 Q. This is your own initiated visits, just going to see

7 what's going on, and while you're there, something

8 arises and you get into a discussion and you contrast

9 that with actually been called --

10 A. Called to theatre.

11 Q. Professor Forsythe and Mr Rigg said, for example, if

12 an issue did arise about the CVP, they might ask the

13 nephrologist to come to theatre and have that

14 discussion --

15 A. Absolutely --

16 Q. -- with the anaesthetist while they're getting on with

17 their job of the surgical end of things, if I can put it

18 that way.

19 A. Calls of that nature about substantive issues certainly

20 occur during transplantation and the nephrologist is

21 always -- you always avail yourself to be able to come

22 and deal with those.

23 Q. Well, let's move forward to a matter that was discussed

24 now that I've mentioned CVP, specifically in relation to

25 CVP. This is, I think, worth going to. This is

1 Dr O'Connor's evidence on 25 April. It starts at
2 page 84, line 22. The context of this is, as I'm sure
3 you're aware, that in Dr O'Connor's witness statement
4 she referred to the fact that she had noted that the CVP
5 reading was 30 and she had raised that with Dr Taylor
6 and he had given her an explanation as to what -- not
7 only why it might be that figure, but also what it had
8 started off with and what his view of it was and how he
9 was, so far as I understand it, how he was using the CVP
10 measurement.

11 During the course of her evidence, I think she
12 acknowledged that a situation had arisen where nobody in
13 the operating theatre actually knew what Adam's CVP was.
14 The surgeon couldn't know because, if the anaesthetist
15 didn't know, then that's where he's going to get his
16 information from. The anaesthetist was saying that he
17 didn't know what the absolute figure of Adam's CVP was
18 and, of course, she didn't know because she was
19 dependent on the explanations being given to her by the
20 anaesthetist.

21 So what I wanted to ask you is, if that's the
22 situation and she accepted, as she said she did in her
23 evidence, the explanation given by Dr Taylor, what
24 responsibility or obligation, if any, does the
25 nephrologist in those circumstances have to take matters

1 a little further than accepting the explanation given by
2 the consultant anaesthetist?

3 A. To discover that the CVP was reading a value which was
4 way outside the range that you were expecting and,
5 furthermore, that it was apparently not working
6 properly, would be a very, very serious problem. On the
7 one hand, if the CVP was actually -- if the reading
8 can't be relied on, if the CVP is too low, then there's
9 a substantially increased chance that the kidney will
10 clot. And if the CVP is just driven blindly too high,
11 then there's a substantial chance that the child could
12 be pushed into fluid getting into his lungs and
13 pulmonary oedema. The importance of CVP is that it
14 guides you along a line which is quite narrow and quite
15 critical. So the absence of it would be a major worry,
16 and I would want to establish with the anaesthetist what
17 the specific problem was with measuring the CVP.

18 Q. When you say "discover", what would that involve?

19 A. Obviously, an initial discussion with the anaesthetist's
20 impression of what the problem was, but in terms of what
21 I would then -- and it sounds like that wasn't getting
22 a substantial answer. Then you would troubleshoot. And
23 the first thing that you do when you troubleshoot what
24 is wrong with the CVP is that you look at the trace of
25 the pressure in real time on the monitor.

1 The reason for that, the CVP, broadly, can be too
2 high for three reasons. One is that it might be -- it
3 can be 30 for three reasons. One is that there may be
4 a medical problem and it genuinely is 30. That would be
5 very, very worrying. The second reason might be that
6 the line wasn't actually measuring the central venous
7 pressure but was jammed into a vein and was measuring
8 the pressure in another part of the body -- the neck or
9 the head -- because it wasn't communicating. The third
10 reason could be that it was recording a reflection of
11 the CVP, but may not be properly adjusted or calibrated
12 or there could be -- in other words, there is a
13 technical problem converting the pressure wave in the
14 transducer to a meaningful number on the screen. So
15 those are the three issues.

16 Q. Of those three, Dr Taylor thought it was the second, the
17 jammed into the --

18 A. That's right, yes. That's right. To distinguish that
19 from there being something wrong with the actual reading
20 of a genuinely -- a patent line, you would look at the
21 real-time trace. That is to say, central venous
22 pressure isn't a static pressure, it's the pressure in
23 the veins, in your chest, and the pressure in your chest
24 varies, firstly, with respiration as the ventilator
25 gives positive pressure -- ventilation actually changes

1 the pressure in your chest and so you see a change in
2 the trace related in time to the respiratory movements
3 and, in addition to that, because it's right next to the
4 heart, it transmits some pressure waves from the heart.
5 So the CVP has a smooth curve from the respiratory trace
6 and, on top of that, an additional curve.

7 If you see that, what that tells you is that the
8 line, the lumen of the line which is connected to the
9 pressure transducer, is in fluid contact with the
10 central veins. Whether it goes up to the neck or
11 whatever, it wouldn't matter. It means that there is
12 not an obstruction and there is a direct pressure
13 transmission from the central veins. That's the first
14 thing you'd look at. If that is flat, it tells you that
15 the line is jammed in somewhere and then you would want
16 to try and manoeuvre it and get it so that it did work.

17 If it wasn't flat, then you're left with the two
18 possibilities that either the central venous pressure
19 genuinely is 30, which would be pretty staggering and
20 very worrying, or that although the pressure trace is
21 being recorded, somehow the true calibration isn't in
22 place.

23 Q. Just before you move on, in fairness to Dr O'Connor, her
24 view is that's not her expertise. She would know what
25 number she was trying to achieve, but the actual

1 interpretation -- and I think to some extent
2 Professor Savage said something slightly similar and
3 certainly Mr Keane said something slightly similar -- of
4 all that, that's the skill and role of the anaesthetist.
5 They would know what numbers they were trying to achieve
6 but not necessarily to be able to deduce -- I think
7 you've called it troubleshooting -- from the wave
8 pattern or absence of wave pattern that you would see on
9 the printout.

10 A. I can't agree with that. The reason I can't agree with
11 that is -- well, two fundamental reasons. One is that
12 understanding the concept of a CVP trace is very, very
13 basic and it would be something that you would learn
14 about in physiology in your first year at medical
15 school. So it's not a complex issue. That's the first
16 reason why I'd be surprised at that. But more
17 substantially, in the day or two or three, depending on
18 the stability of the child and the precise situation of
19 the -- day, two or three, after the kidney transplant,
20 the paediatric nephrologist is back in the driving seat,
21 if I can use that term, and is continuing to manage the
22 child with the CVP monitor.

23 The CVP monitor is a tool for paediatric
24 intensivists or paediatric doctors who are looking after
25 children in intensive care or following a transplant.

1 I would not consider somebody to be trained as
2 a paediatric nephrologist if they weren't able to
3 understand and troubleshoot a CVP trace. The day after
4 the transplant it is you and the patient and the nurses.

5 Q. So the first port of call, I think you were saying,
6 is that you have a look at the printout?

7 A. You look at the trace actually on the monitor.

8 Q. Sorry, the trace on the monitor.

9 A. Yes, because that's real time. There will be a sweep
10 going across of the trace and a number giving you a mean
11 value. It kind of flattens off those figures.

12 Q. Let's also put this in context. You have expressed the
13 view that one treads carefully in other people's
14 disciplines, if I can put it that way, so you've come
15 into the operating theatre. The person who is managing,
16 at that stage, Adam's fluid status is the consultant
17 paediatric anaesthetist. He has assessed the situation
18 and given you an explanation. So in those
19 circumstances, I think that's what I want you to help us
20 with, are you saying that irrespective of that,
21 nonetheless there is an obligation -- or duty, even --
22 on the part of the nephrologist coming in to, if you
23 like, check the explanation that is being given is one
24 that satisfies them, if I can put it that way?

25 A. Absolutely. The prime responsibility -- your prime

1 responsibility as a paediatric nephrologist is to look
2 after your patients and not necessarily be too concerned
3 about the sensitivities of your colleagues, although
4 obviously you would try to deal with these issues as
5 sensitively as you could. But if you were actually in
6 a situation where you were going through a transplant in
7 a child and didn't have a CVP monitor result that you
8 could believe and the anaesthetist wasn't able to solve
9 it, then you would definitely, without a question, offer
10 to contribute to solving it. You would put your heads
11 together and solve it. You could not leave it unsolved
12 because the situation is too dangerous for the child.

13 Q. And would you advise a surgeon of that?

14 A. I would have the discussion with the anaesthetist and
15 try it solve it. Obviously, if at the end of the day
16 you couldn't solve it, I'm sure -- well, I'm not sure.
17 My best analysis of the situation that arose here
18 is that it could have been solved, but that's for
19 reasons which I've expressed in a previous report.
20 Whether it could have been solved or couldn't have been
21 solved, the first thing to do is to solve it with the
22 anaesthetist. If you can troubleshoot that in
23 5 minutes, then it's problem solved. If you can't solve
24 it and the anaesthetist can't solve it, then it's
25 an issue for the whole team, the surgeon and everybody.

1 You know, there would then be a discussion of how you
2 would move next, there'd be a number of options.

3 Q. Even if you formed the view that the surgery is so far
4 advanced, what can be done at that stage?

5 A. The first thing is that what may be doable at that stage
6 is simply to manage the way in which the CVP monitoring
7 process is being carried out, check the calibration, for
8 example, check the electronics. There's a number of --
9 I mean, I can take you through those steps, they're
10 fairly simple steps.

11 If at that point, you reach the conclusion that this
12 CVP line was not usable, then I think you would then
13 have to share that and that would be a joint decision
14 between the surgeon, the paediatric nephrologist and the
15 anaesthetist. My personal view on that would be one of
16 great concern because you don't just need the CVP to be
17 right when you open the clamps, you have to take the
18 child through after that. If you have a CVP that's
19 genuinely too high, then will you be able to extubate
20 the child, will they develop pulmonary oedema? It's not
21 just an issue just for that moment. I know everybody's
22 emphasised the issue at that moment and that is a
23 crucial time, but once you have passed that point, it's
24 by no means done and dusted, which is why I was saying
25 that I don't think that a paediatric nephrologist can

1 really practice without knowing how to manage a CVP
2 because you depend on it for the next two or three days.

3 THE CHAIRMAN: I understand that point, doctor, I think, but
4 isn't there a bit of uncertainty here because we don't
5 actually know at that time Dr O'Connor had this
6 conversation with Dr Taylor?

7 A. In my view, sir, whatever time it was that it was
8 discovered that the CVP wouldn't working, whatever time
9 it was -- at the beginning of the operation, prior to
10 the clamps or whatever -- at that point, it should have
11 been addressed and dealt with.

12 THE CHAIRMAN: The only person who appears to have become
13 aware of it beyond Dr Taylor, on evidence so far, was
14 Dr O'Connor. Dr Savage didn't know about it. Doing the
15 best we can with times, I don't think Dr O'Connor
16 arrives until ... She goes into theatre -- it can't be
17 before about 9.30 by the time she comes in. She finds
18 out about the operation, she has to go her room and get
19 rid of her bag and so on and it looks about 9.30 --

20 MS ANYADIKE-DANES: I think it's -- I thought it was about
21 9.15-ish, about that time.

22 MR FORTUNE: [Inaudible: no microphone] in the bracket
23 between 9.15 and 9.30 because it's around that time that
24 Professor Savage goes off to the university.

25 THE CHAIRMAN: Yes, but do we know that it was on her first

1 visit to the theatre that Dr O'Connor learned about the
2 CVP line?

3 MR FORTUNE: As far as I can recall, there's no evidence.

4 THE CHAIRMAN: She wasn't sure about when. She said she
5 learned about it at some point, but she didn't know on
6 which of her visits she learned about it.

7 MS ANYADIKE-DANES: It was certainly before the release of
8 the clamps, but I don't think she did pin it down as to
9 the time of it.

10 A. If I understand this discussion correctly, the
11 suggestion is that it may have been up to a hour before
12 release of the clamps; am I understanding that
13 correctly?

14 THE CHAIRMAN: It may have been, but "may" is heavily
15 conditional.

16 A. To be honest, sir, my feeling is that there are a number
17 of ways in which the CVP not working may have been
18 solved without, for example, having to go to the
19 extremes of, as people have suggested, putting in
20 a femoral line.

21 THE CHAIRMAN: Okay.

22 A. I think that those should have been explored at whatever
23 time that was in the procedure.

24 MR FORTUNE: Sir, can I just come back to one matter my
25 learned friend referred to? That was in relation to the

1 CVP and Professor Savage as to what he would know as
2 a consultant nephrologist. From recollection -- and
3 I've had a brief look through what I believe to be the
4 relevant parts of the transcript -- Professor Savage was
5 not asked about his knowledge of CVPs, how to manage
6 them, if there was a problem. And indeed, his
7 evidence --

8 THE CHAIRMAN: I think it was Dr O'Connor that
9 Ms Anyadike-Danes referred to, not Dr Savage.

10 MR FORTUNE: Yes, but my learned friend referred to
11 Professor Savage as well in the same sentence.

12 MS ANYADIKE-DANES: I beg your pardon. I think the
13 appropriate people I meant to refer to, one, is
14 Dr O'Connor and, two, is Mr Keane. I think both those
15 people express themselves as being not so au fait with
16 looking at the trace and being able to interpret it.
17 I don't think Professor Savage was asked about that --

18 MR FORTUNE: Yes, and there is no evidence to say he wasn't
19 au fait with the concept of CVP and its management.
20 That's just what I wanted to clear up.

21 MS ANYADIKE-DANES: I think that's right. I don't think
22 he was asked about that.

23 MR FORTUNE: Thank you.

24 MS ANYADIKE-DANES: In any event, the focus of this really
25 is Dr O'Connor. She is the person who receives the

1 explanation and acts in the way that she does, if I can
2 put it that way.

3 In answer to you, Mr Chairman, I don't think that we
4 can pin down exactly when Dr O'Connor was looking at the
5 CVP.

6 Can I just take you, now that we're thinking about
7 that, to page 84? Her evidence is all on 25 April. If
8 we go to page 84. Then if we perhaps start at line 11,
9 she says:

10 "So I would not have been present to make an
11 assessment of the accuracy of the CVP, nor was
12 I qualified to make an assessment of the accuracy of the
13 CVP because that is within the realm of the competency
14 and training of an anaesthetist and is not within the
15 realm of the competency and training of myself to assess
16 the accuracy of a CVP."

17 So that's where she starts that comment. Then the
18 question is:

19 "Question: Did you refer to having concerns about
20 it, the CVP at 30?

21 "Answer: I imagine, although I don't know that,
22 at the time, I would have bothered to look at the CVP.
23 That would have been prior to the clamps being
24 released."

25 So that's as close as we can get to it. It doesn't

1 mean that she didn't have that information earlier, but
2 it certainly seems that she had it by then. Her note,
3 her marginal note, in Adam's medical notes and records
4 is "Vascular anastomoses, approximately 10.30". She has
5 equated that as the release of clamps. So as best as
6 we can do, it's in or around that time, if not earlier.

7 A. Right. My point that I was trying to make earlier
8 is that the CVP does not -- is not only vital for the
9 time that the clamps are released. If the CVP genuinely
10 had been 30, then as the paediatric nephrologist,
11 I would be very concerned that that would give the child
12 a very, very high risk of developing pulmonary oedema in
13 the immediate post-operative period, which would alter
14 the way that we manage them. For example, we probably
15 wouldn't ask the anaesthetist to extubate, to stop the
16 ventilator, but would carry on the ventilator in
17 intensive care to prevent pulmonary oedema developing,
18 and alter the fluids and give -- there would be a whole
19 range of ways in which you would alter your management.

20 It's not just the clamps. You need a CVP
21 measurement throughout the entire period of
22 transplantation. I can recall a case where a child came
23 back from theatre and the CVP line started to stop
24 functioning on the transfer back and we had to
25 troubleshoot it and get it going after that because

1 we're still dependent on it for a variety of reasons.
2 It's not just that the time of the clamps -- although
3 the time of the clamps is crucial.

4 So whenever you, as a paediatric nephrologist, were
5 to find the CVP is not working, you would ask the
6 anaesthetist to deal with it and, if they weren't able
7 to solve it, you'd troubleshoot it with them. You'd
8 share that responsibility.

9 Q. Just to summarise, it's always important whenever you
10 find it?

11 A. Yes.

12 Q. It just means different sorts of things if you find it
13 at different stages in terms of what you do about it,
14 but it's always important?

15 A. It's always important.

16 Q. If you can't identify what the problem is with the CVP
17 line, I think you said, at that stage, you raise it with
18 the surgeon because you and the anaesthetist together
19 have not been able to resolve it.

20 A. Yes, the significance of having a CVP that high, if it's
21 genuine or the significance of not knowing the CVP is
22 important and would have to be shared by the whole team.
23 The surgeon, I would imagine -- well, in my experience,
24 the surgeon would definitely want to know it was
25 a problem when he's operating, so it would involve the

1 team.

2 Q. And just because of where I started from, does that mean
3 that you regard the nephrologist as having -- how would
4 you couch it -- a duty, an obligation, a responsibility
5 in that regard to check?

6 A. It's your duty to the patient to continue to manage them
7 and, when they're in theatre, they're having shared care
8 between yourself and other colleagues, including an
9 anaesthetist, but they remain always your
10 responsibility.

11 Q. Thank you. I've just been asked to cover a point with
12 you that I don't think I did cover and I apologise.
13 It's to do with -- sorry to take you out of order, but
14 just to make sure I don't forget it -- the preoperative
15 ultrasound. When you had talked about the issue of
16 multiple lines that many children in Adam's
17 circumstances come to theatre having had a number of
18 central lines and that that's one of the things that you
19 manage, if I can put it that way --

20 A. Mm-hm.

21 Q. -- and discuss. An issue is whether you would, in the
22 course of your discussions in these meetings, have
23 discussed the possibility of a preoperative ultrasound
24 examination in 1995.

25 A. In 1995, we may have done. But earlier in --

1 historically, the less likely it would have been to do
2 it, and I think, in 1995, I would definitely have wanted
3 it done in a child that had a specific history of
4 a thrombosis in the neck. Otherwise, just because
5 they've had two or three lines before, I probably, in
6 1995, wouldn't have requested it. We would now, but
7 I don't think in 1995 we would.

8 Q. Thank you. I wonder if I could address with you the
9 issue of the administration of dopamine. If I can take
10 you first to where it's referred to by Dr Taylor and
11 then ask for your comments. I don't think we've
12 actually found it in his medical notes and records as
13 having been prescribed; I'm subject to correction. But
14 in his deposition for the coroner at 011-014-101, eight
15 lines down, starting seven lines down:

16 "There are two small increases in the systolic blood
17 pressure at around 10 am, corresponding to two small
18 boluses of dopamine."

19 And he says:

20 "The rationale for this was to increase the
21 perfusion pressure (without fluid challenge) to the
22 donor kidney, which at that stage was not looking good
23 and not producing urine."

24 Can you comment on its use? If it's outside your
25 area, do say, but can you comment on its use?

1 A. It's outside my area in the sense that I would be
2 unlikely to prescribe it. My experience is that it is
3 used as a -- it's a drug related to -- a little bit like
4 adrenaline. It improves the way your heart beats and
5 has a very slight impact on increasing the blood flow
6 specifically within the kidneys. So on theoretical
7 grounds, it's a drug that can be used if a child's blood
8 pressure is not ideal and you are concerned about kidney
9 perfusion. My own feeling is that it's pretty
10 ineffective. It's a drug that anaesthetists will often
11 add at that stage. It's something I wouldn't challenge
12 in any way at all. It seems a conventional technique.

13 Q. But if it was being used for the reason that Dr Taylor
14 said, then that might help, I suppose, benchmark when
15 the anastomosis was complete, because I presume there's
16 no prospect of kidneys pinking up until you release the
17 clamps?

18 A. Sure, obviously this implies -- he says "around" ...
19 But at the time he administered it, it would have been
20 because the kidney wasn't perfused as well as the team
21 would like, which would have been evidenced by the
22 colour of the kidney.

23 Q. Is it something that would be noted on his records or
24 that --

25 A. Yes, if this was used.

1 Q. Yes.

2 A. Yes, of course. It's a drug being administered.

3 It would certainly be recorded.

4 Q. Thank you. I'm not going to address the issue of what

5 happened in the time when they were trying to

6 resuscitate Adam because it's not clear that there was

7 any nephrologist actually there at the time.

8 Dr O'Connor's recollection seems to be, I think on

9 balance, that she was called and she came, and all that

10 was happening at round about noon; she also then

11 notified Professor Savage. It's not clear that she was

12 physically there when Dr Taylor noted that he was unable

13 to waken Adam, so I'm not going to address that.

14 But what happened thereafter is that she prescribed

15 certain things, mannitol and so forth, and you have seen

16 what she prescribed and her five-point plan, culminating

17 in getting some sort of neurological opinion. And I

18 take it you have no issue with the steps that she took

19 at that stage?

20 A. None at all.

21 Q. Then Adam is taken or transferred to paediatric

22 intensive care. This is the issue that I wanted to

23 raise with you. In her evidence on 25 April -- I think

24 it starts at page 166, line 13 -- she expresses the view

25 that it would have been very difficult to achieve the

1 aim of putting Adam's sodium levels to a normal value.
2 Can you express view as to that and, if it would have
3 been very difficult, why it would have been very
4 difficult?
5 A. I don't agree with that.
6 Q. You don't agree?
7 A. No.
8 Q. Why is that?
9 A. It's actually quite easy to manipulate the sodium
10 concentration of a child of whom you have complete
11 control, a child that's anaesthetised. You've got
12 a catheter in the bladder, you know the urine output.
13 You simply measure the output and replace it with
14 a fluid containing a higher sodium concentration. It
15 will inevitably raise the plasma sodium concentration.
16 Q. Thank you. Do I understand you to say that during the
17 course of his time in paediatric intensive care, that's
18 actually what you should have been trying to do?
19 A. That would be one of the aims, to correct the sodium,
20 yes.
21 Q. I think Dr Haynes gave evidence and said, look, until
22 brainstem death is pronounced, that child is still a
23 patient and you carry on treating that child --
24 A. Of course.
25 Q. -- as if there is hope of recovery if I can put it that

1 way.

2 A. I agree.

3 Q. Does that accord with your view?

4 A. Yes.

5 Q. Then you will know that during the meeting, I think the
6 meeting of 9 March in Newcastle, the issue of the
7 brainstem test protocol was discussed with particular
8 reference to his serum sodium levels. And thereafter,
9 Dr Haynes put in a further report and he attached to it
10 a code of practice for the diagnosis of brainstem death.
11 The reference for it is 306-035-001. He referred the
12 chairman particularly to page 17 of that and the
13 reference for that is 306-035-021. There we are.
14 That's a sort of flow chart of what you do.

15 He took us in particular to the third element:

16 "Exclusion of hypothermia, intoxication, sedative
17 drugs, neuromuscular blocking agents."

18 All of which he said, at that, stage everything had
19 been excluded. Then he got to severe electrolyte and
20 then acid base or endocrine abnormalities as causative,
21 but the severe electrolyte seemed to cause him some
22 concern.

23 I think, if I may summarise it, it's because that
24 was thought to be Adam's difficulty in terms of what
25 caused his acute cerebral oedema, and yet at the time

1 when the brainstem death tests were being applied, the
2 first and then the second, at that stage Adam's serum
3 sodium level was not within normal parameters, and that
4 caused him some concern. I should say he didn't for one
5 moment think that at that stage Adam was not brainstem
6 dead, he was simply talking about compliance with the
7 protocol. And I think you also in the 9 March meeting
8 said, in your view, it would have been preferable to
9 have brought his serum sodium down to within normal
10 parameters. How important do you think that is?

11 A. Can I answer that in two separate answers?

12 Q. Yes.

13 A. In respect to Adam, like Dr Haynes, I'm absolutely
14 certain from all the other overwhelming evidence in the
15 case that he was brain-dead and so actually in respect
16 to the decisions made about Adam, I don't think that it
17 was material. However, I do share Dr Haynes' concerns
18 that these are extremely serious issues and these are
19 guidelines, protocols, that need to be rigorously --
20 rigorously -- adhered to, and it would have been better,
21 in my view, if his assessment was done after his sodium
22 had been brought up to normal range. I don't think for
23 one nanosecond that it would have altered the outcome
24 for Adam, but I do think that in principle this is
25 an important issue.

1 THE CHAIRMAN: Is that because in another case, in different
2 circumstances, it might actually make a difference?

3 A. Yes.

4 THE CHAIRMAN: Right. Just before you continue, it's 4.30,
5 Ms Anyadike-Danes. Are you nearly finished with the
6 doctor?

7 MS ANYADIKE-DANES: Yes.

8 THE CHAIRMAN: Are people content to sit on for a few
9 minutes so we can finish Dr Coulthard and let him away?

10 MR FORTUNE: Sir, I'm going to ask if I could have a little
11 while to discuss matters with Professor Savage. In
12 other words, to reflect on matters overnight just in
13 case there is anything that arises.

14 THE CHAIRMAN: Okay. This evidence is particularly relevant
15 to your client, Mr Fortune, so I'm not going to --
16 we would all prefer to let Dr Coulthard away tonight,
17 but I won't force that because of the importance of his
18 evidence to your client and I think we've already
19 reached that position with other witnesses before to
20 allow a bit more time.

21 MR FORTUNE: As Dr Coulthard must have realised, I represent
22 Professor Savage and Professor Savage would like the
23 opportunity to reflect on matters overnight.

24 THE CHAIRMAN: Okay.

25 MS ANYADIKE-DANES: Sir, I wonder if we could leave it this

1 way. I have virtually concluded, but I would have asked
2 for a few minutes to go round my colleagues and see
3 whether there is anything else I need to incorporate
4 into a sort of final wrapping-up question or two. If my
5 learned friend Mr Fortune is going to take overnight to
6 consider, may it be better to rise now? Over the
7 evening we can have those discussions and hopefully
8 conclude things fairly briskly tomorrow.

9 THE CHAIRMAN: Doctor, an outside chance developed this
10 afternoon that you might have been released. I'm sorry
11 that isn't going to happen. Can I ask you to come back
12 here and we'll resume at 10 o'clock tomorrow morning?

13 A. Certainly.

14 Timetable discussion

15 THE CHAIRMAN: Professor Gross will follow when Dr Coulthard
16 finishes tomorrow. I understand that there is a real
17 prospect of finishing his evidence tomorrow. If that
18 does happen, it will leave us, as arrangements are at
19 the moment, without a witness on Thursday, so we may not
20 end up sitting on Thursday. I should say that
21 unfortunately, very unfortunately, there now has to be
22 an alteration to next week's list. Dr Webb, who was to
23 give evidence on Monday, I am afraid is not available.
24 He is unwell.

25 We are therefore looking at next week's timetable

1 and we will tell you tomorrow what progress we've been
2 able to make on next week's timetable, which was, in
3 a sense, a run-over week to try to tidy up and take some
4 witnesses who we hadn't had time to reach before. My
5 concern is it's beginning to look a bit itchy-bitsy.
6 I want to get these witnesses heard. I'm not all that
7 keen, as I'm sure you aren't either, to end up sitting
8 for three or four half days, but let's see what's the
9 best we can do with the availability of some of the
10 witnesses.

11 Ms Wylie, could I say in this context, I think you
12 now have a copy of the police statement.

13 MS WYLIE: Yes, sir.

14 THE CHAIRMAN: And the signed statement by Mr Brown.

15 MS WYLIE: That's correct.

16 THE CHAIRMAN: Given that there is going to be some
17 availability next week and given that I think Mr Brown
18 has generally been kind enough to make himself
19 available, if there's any dispute of substance as to
20 what the police have said, I would like to take Mr Brown
21 back next week.

22 MS WYLIE: That's fine, Mr Chairman, subject to his holiday
23 arrangements, but I will definitely come back to you.

24 THE CHAIRMAN: In any event, we're going to be here tomorrow
25 and we're certainly going to be here on Friday, so I'd

1 like to know by the end of the week what the position is
2 of Mr Brown.

3 MR FORTUNE: Sir, is there any possibility of boxing and
4 coxing with the two witnesses scheduled for Friday to
5 bring them forward to -- I'm looking at my learned
6 friend's junior.

7 THE CHAIRMAN: It would suit me fantastically well
8 personally, but I'm not sure. We'll make enquiries
9 particularly with Dr Montague, who's coming from outside
10 the jurisdiction.

11 MR FORTUNE: He's coming from Dublin, we anticipate.

12 THE CHAIRMAN: We will see what we can do and I can
13 understand exactly why you're asking.

14 MR FORTUNE: It occurs to me because my learned friends all
15 want Friday if they can.

16 THE CHAIRMAN: I understand the frustration of not sitting
17 on Thursday and people coming back on Friday. It would
18 be easier for quite a few people if we sat on Thursday
19 and then resumed on Monday. We'll do what we can
20 overnight and we will tell you tomorrow. Thank you very
21 much.

22 (4.35 pm)

23 (The hearing adjourned until 10.00 am the following day)

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

DR MALCOLM COULTHARD (called)1
 Questions from MS ANYADIKE-DANES1
Timetable discussion197

