

1 Thursday, 29 November 2012

2 (10.00 am)

3 (Delay in proceedings)

4 (10.10 am)

5 THE CHAIRMAN: Ms Anyadike-Danes?

6 MS ANYADIKE-DANES: Good morning.

7 Mr Chairman, I wonder if I might call Dr Herron,  
8 please.

9 DR BRIAN HERRON (called)

10 Questions from MS ANYADIKE-DANES

11 MS ANYADIKE-DANES: Good morning, Dr Herron. Can I first  
12 ask if you have a copy of your CV there with you?

13 A. I have.

14 Q. You have prepared four statements for the inquiry; is  
15 that right?

16 A. That's correct.

17 Q. I think your first one -- which for reference purposes,  
18 the series is 224 -- is dated 19 December of last year,  
19 2011. The second, 23 December 2011. A third,  
20 16 May 2012. And the fourth, 14 September 2012.

21 Is that right?

22 A. I can't be sure about the dates, but I did prepare four  
23 documents.

24 Q. Do you adopt those statements, subject to anything you  
25 may say now in the oral hearing as your evidence?

1 A. Yes.

2 Q. I wonder if I could first clarify with you the latter  
3 part of your fourth statement. If we can pull up 224/4,  
4 page 13. Can you see there that it really starts with  
5 regard to the consolidated report. And it says,  
6 "I would like to comment on some issues". Thereafter,  
7 it goes into a sort of third person. Do you see that,  
8 the second substantive paragraph after that?

9 "Dr Herron was the senior registrar [and so on.]"

10 And then if we go down, "With regard to the  
11 opinions of Dr Herron", "In addition, at the inquest,  
12 Dr Herron", and so forth. Can you explain why it might  
13 be written in that style?

14 A. I think the consolidated report referred to us in the  
15 third person. It said "Dr Herron", "Dr Mirakhur", and  
16 I suppose I was referring back to it in the way the  
17 evidence was given to me.

18 Q. But that's your evidence? Is there a common document  
19 that you and Dr Mirakhur worked on, which you've both  
20 used for the purposes of responding to that report?

21 A. We discussed the case, yes. We discussed the  
22 consolidated report and the issues in the consolidated  
23 report.

24 Q. So would it be fair to say that that part of your  
25 evidence reflects the combined thinking of the two of

1           you?

2    A.   I don't know if it does entirely.  It certainly -- to

3           a large degree, it would reflect the combined thinking

4           of both of us.  There may be separate issues that

5           Dr Mirakhur would take out of that --

6    Q.   Yes, which might be more to do with things that she --

7    A.   That she was involved in --

8    Q.   -- specific reference to her.

9           Did you discuss with her -- or anybody else for that

10          matter -- any part of any other witness statement that

11          you have submitted to the inquiry?

12   A.   I probably did.  Not as a witness statement, but we

13          certainly discussed many of the issues that had been

14          raised along the way.

15   Q.   Thank you.  I wonder if I could ask you now to look at

16          your CV.  The reference for that is 311-003-001.  You're

17          currently a consultant in neuropathology and

18          histopathology --

19   A.   That's correct.

20   Q.   -- at the Belfast Health and Social Care Trust.  At the

21          moment, you are also an honorary lecturer at Queen's.

22   A.   That's correct.

23   Q.   And you are head of the Regional Neuropathology Service

24          for Northern Ireland.

25   A.   That's correct.

1 Q. I think you also the lead for cardiac pathology and the  
2 lead for adult autopsy pathology for the Trust; is that  
3 right?

4 A. That is correct.

5 Q. And you became a consultant in 1998.

6 A. That's correct.

7 Q. And prior to that, the implication of that in terms of  
8 the work you did on Claire's autopsy is that you were  
9 a senior registrar at that time --

10 A. I was a senior registrar, yes.

11 Q. -- in 1996. If you became a consultant in 1998, was  
12 that also your position when you gave evidence at the  
13 inquest in 2006?

14 A. Yes.

15 Q. In terms of the other positions that I have referred to,  
16 the head of the regional neuropathology, just help me,  
17 were you that in 2006?

18 A. No. I became that when Dr Mirakhur retired in 2010 --

19 Q. Thank you.

20 A. -- in about December.

21 Q. To help us, are qualified pathologists regulated by the  
22 GMC?

23 A. Yes.

24 Q. What does that imply in terms of your duties,  
25 obligations and responsibilities?

1 A. It's a question I haven't really thought about before  
2 coming here. I'm sure there are a lot of regulations  
3 from the GMC about the duties of a doctor. I would have  
4 to go back.

5 Q. But you would appreciate that you are covered by all of  
6 those or subject to them?

7 A. I would imagine so, yes, of course, yes.

8 Q. Does that mean that, other than as a doctor, but as  
9 a pathologist carrying out your work on Claire's  
10 autopsy, that you were subject to that at that time?

11 A. I don't know the rules in 1996, but I would imagine  
12 I was subject to the GMC regulations.

13 THE CHAIRMAN: Whatever the rules were, you were subject to  
14 them?

15 A. I would imagine doctors were. I can't remember the  
16 rules in 1996.

17 THE CHAIRMAN: I understand.

18 MR FORTUNE: Sir, if I can assist, without giving evidence,  
19 here is Dr Herron, who is a registered medical  
20 practitioner. He must be on the register of the General  
21 Medical Council and would, of course, be bound by the  
22 terms of good medical practice.

23 THE CHAIRMAN: Yes, thank you.

24 MS ANYADIKE-DANES: In your witness statement, I think your  
25 fourth witness statement, you say you can't recall

1           whether you were aware of the Arieff paper in 1996. Did  
2           you know Dr Armour in 1996?

3    A. Dr Armour had been a registrar in histopathology, which  
4           was in the Royal. Then she became, I think, a registrar  
5           in forensic pathology, which was based in a number of  
6           different venues in the 90s: partly in the Royal and  
7           then, I think, they had their own building. I was aware  
8           of her and I knew her, not very well, but I knew her.

9    Q. She gave evidence in relation to an earlier case of  
10           Adam Strain because she carried out the autopsy in his  
11           case. I think her evidence was that the Royal's  
12           pathologists worked in fairly close proximity to  
13           the State Department pathologists.

14   A. In the 1990s, they were in the same building at one  
15           stage, but they were a separate department. But most of  
16           the doctors who became forensic pathologists had worked  
17           initially either in the Royal or the City histopathology  
18           departments.

19   Q. Did you know that she had published a paper in 1997 on  
20           dilutional hyponatraemia?

21   A. That Alison Armour had?

22   Q. Yes.

23   A. No.

24   Q. Just for the sake of reference, that's the paper she  
25           published in the Journal of Clinical Pathology in

1           May 1997 in relation to Adam's case. The reference is  
2           050(5)/446-6. Were you aware of any involvement of  
3           Dr Mirakhur, who was your consultant at the time, in  
4           Adam's case?

5   A. Not as far as I remember, no.

6   Q. She never discussed it with you?

7   A. Not to my memory. It was 1996. I certainly have no  
8           memory of it being discussed with me then.

9   Q. In fairness, she might have, but you're saying you don't  
10           remember it?

11   A. I certainly don't remember her discussing it with me.

12   Q. And you don't remember any discussion about Adam's case  
13           at all amongst the pathologists in 1996?

14   A. No.

15   Q. Or any time up until when?

16   A. I got a letter, I think from the inquiry team, looking  
17           for information about Adam Strain. And I redirected  
18           them to the State Pathology Department. That was  
19           probably towards the end of last year. But I am pretty  
20           sure that in the years before 2011 his name had come up  
21           because he was part of the inquiry and I would have  
22           heard of him in those years.

23   Q. Thank you. Can I ask you, at the time you carried out  
24           the brain-only autopsy on Claire, what was your  
25           experience of paediatric neuropathology?

1 A. Paediatric neuropathology -- I think there had been --  
2 I have it in one of my statements. I think I said 34,  
3 about 34, paediatric neuropathology cases in the years  
4 that I had been working in the Royal. I had been  
5 involved probably in the majority of those, either  
6 directly and possibly, for many of the rest of those,  
7 indirectly.

8 Q. You may not be able to remember this -- and I certainly  
9 couldn't blame you if you couldn't -- but what sort of  
10 cases were they?

11 A. Cases of cerebral palsy, who had died, and I don't  
12 really remember the specifics of many of the cases.  
13 We are talking more than 16 years ago.

14 Q. So they would cover a spectrum of paediatric conditions,  
15 if I can put it that way?

16 A. Paediatric neurological conditions, yes. That's right.

17 Q. Who was responsible for your training?

18 A. In neuropathology?

19 Q. Yes.

20 A. Professor Allen was the main person responsible for my  
21 training. Dr Mirakhur was the other consultant in the  
22 department, but I'd have said Professor Allen was the  
23 ...

24 Q. Were there two consultants in the department then?

25 A. Yes.

1 Q. So one was Professor Allen and the other was  
2 Dr Mirakhur?

3 A. Yes.

4 Q. And Professor Allen was more senior, presumably?

5 A. She was.

6 Q. And how closely did you work with Dr Mirakhur?

7 A. There were only three neuropathologists in the  
8 department and we saw each other every day that everyone  
9 was there and we worked closely.

10 Q. Who was responsible for your research?

11 A. Professor Allen.

12 Q. In your fourth witness statement, 224/4, page 8, you say  
13 that:

14 "Post-mortems would be discussed between the junior  
15 doctor and the consultant at all stages, including  
16 before the start of a post-mortem."

17 And you also say that:

18 "Trainees are closely supervised and all reports are  
19 subject to scrutiny by the consultant neuropathologist."

20 I take it that, in relation to Claire, that would be  
21 Dr Mirakhur?

22 A. Not necessarily, no. It may have been Professor Allen.  
23 At the start -- it really depended which consultant was  
24 there at the start of the post-mortem. Either of them  
25 could have given me advice at that stage. It may have

1           been Dr Mirakhur, but I couldn't say for sure that it  
2           was Dr Mirakhur.

3    Q.   Can you recall whether you did have those sorts of  
4           discussions with a consultant before the start of  
5           Claire's autopsy?

6    A.   I don't remember anything on the day of Claire's  
7           autopsy. My evidence would be that that is what we did  
8           for post-mortems.

9    Q.   And what is it that you are supposed to be doing in  
10           those discussions, what are you hoping to learn or to  
11           receive guidance on?

12   A.   I can answer that in two ways. One is by stating my own  
13           practice now, which would have reflected the practice  
14           then.

15           When a post-mortem comes into the department, a less  
16           experienced junior member of staff will be on a rota,  
17           for instance, and I will be aware of the case, he or she  
18           will be aware of the case, we'll discuss what needs to  
19           be done during the case before it starts and what  
20           actions to take in relation to the case with me, the  
21           consultant now. So in those days, what we got was  
22           probably notification that there was going to be  
23           a post-mortem, a clinical history related to the  
24           post-mortem, and we would have discussed what needed to  
25           be done in relation to the post-mortem and had been sent

1 in relation to the history that was provided.

2 Q. Ideally, would you have the charts?

3 A. Ideally, you would have the charts, but you don't always  
4 have the charts.

5 Q. No. It would appear from this autopsy request form that  
6 the charts were sent. If that should be the case -- and  
7 I appreciate you say you can't actually remember that  
8 day -- but if that's the case that the charts come with  
9 the autopsy request form and you, as the junior doctor  
10 or pathologist on the rota are going to be the person  
11 doing the work and so you're going to be discussing with  
12 the consultant, what is it you're trying to brief  
13 yourself on, if I can put it that way, so that you can  
14 have a meaningful discussion with your consultant?

15 A. We rely very heavily on the clinical summary that is  
16 given to us, and that has been provided to the inquiry.  
17 And there are several reasons for this. The autopsy or  
18 any autopsy that we do is part of one of the things that  
19 a neuropathologist does in a day. You can see from my  
20 CV, maybe on a further page, that we don't just do an  
21 autopsy on a day, we report on surgical biopsies, we do  
22 research and teaching, we do a vast number of things.  
23 Sometimes I report four PMs in one day, usually four in  
24 a week, 200 in a year. So that is -- it has to be  
25 appreciated what else is going on in the department when

1           you're trying to plan a PM.

2           So the other thing that I would say -- I mean, the  
3           inquiry has gone through the notes and has had several  
4           years with a number of international experts to spend  
5           a lot of time going through the notes to dissect them,  
6           and I'm not convinced that two experts have said the  
7           same things when they've gone through the notes,  
8           completely the same things. So we have to get a flavour  
9           of what is required in the PM from the anatomical  
10          summary, so we are very reliant on that.

11          If the notes are there and we can have a chance to  
12          have a good read of them, that helps, but I think  
13          you have to appreciate the time factors that are  
14          involved in making decisions, in performing  
15          a post-mortem in an appropriate time frame.

16 Q. We do, and we'll come back to that point and the detail  
17          of it. I'm trying to get an overview at the moment.

18 A. I think my answer to your question is we rely very  
19          heavily on the anatomical summary in order to plan the  
20          day's work.

21 THE CHAIRMAN: Because you have to?

22 A. Because we have to, yes.

23 MS ANYADIKE-DANES: Can I ask you then about the  
24          accreditation of the neuropathological service? You say  
25          that was accredited in February 1996. With whom is the

1 service accredited and what does that mean?

2 A. I was only a trainee at the time or a registrar, and

3 I wouldn't have known too much about the ins and outs of

4 accreditation. Laboratories, I think, started to become

5 accredited in the 1990s by a group or an organisation

6 called CPA, Clinical Pathological Accreditation,

7 I think. They went round different laboratories to make

8 sure that they had a structure that could provide

9 a service, and I think that is the background to that.

10 Q. And what are the ongoing requirements in terms of

11 accreditation?

12 A. There are thousands. Absolutely thousands.

13 Q. Let me give you an example. That was a bit of an open

14 question. For example, do you have to carry out audits?

15 A. Yes.

16 Q. And what does that mean exactly?

17 A. I don't know what it meant in 1996. I don't know if

18 audit was part of the CPA regulations in 1996, but it

19 certainly is part of the regulations in 2012 and we've

20 just passed a CPA regulation. Audits are a number of --

21 can combine any process that goes on in a laboratory

22 where you look at a process, you see if you can make it

23 better, you look at it the following year to see if

24 you have made it better and you continue with that. It

25 can be anything from reporting a biopsy --

1 Q. And who's responsible for that process? You're now head  
2 so you'll have some -- even though you wouldn't  
3 obviously have had that position in 1996 and things may  
4 have changed. But who is responsible for that?

5 A. For audit? That's actually a difficult question.  
6 First, I'm not sure that audit was part of CPA  
7 regulation in 1996. Secondly, audit was only becoming  
8 a factor in medicine in the mid-90s. Audit and  
9 governance were only emerging as factors, and the reason  
10 I remember that is my consultant interview in 1998 --  
11 the papers were just starting to be published as far as  
12 I was aware. I may be wrong within a few years. So  
13 I don't think audit was really fashionable until the mid  
14 or late 1990s.

15 Who is responsible for audit? The hospital has  
16 audit coordinators that aren't necessarily attached to  
17 a department; they're attached to a trust or a hospital  
18 now.

19 Q. But presumably the department provides the statistics  
20 which will then be part of what forms the material that  
21 the --

22 A. I certainly personally do a lot of audits of my work and  
23 I think we all do.

24 Q. And in terms of the work you were doing for audit and  
25 autopsy, even in 1996, that was subject to guidance,

1           wasn't it?

2    A.   Well, as I say, I don't know what work was done towards  
3           audit.  But everything that I did towards autopsy was --  
4           yeah, guided.

5    Q.   For example, in 1991, a joint working party produced a  
6           document called "Autopsy and audit", and the reference  
7           for that is 236-007-064.  Were you aware of that?

8    A.   Yes.  I have seen the document.

9    Q.   You were aware of that in 1996?

10   A.   I don't know if I was aware of it in 1996.  I certainly  
11          have been aware of it at some stage in my career.

12   Q.   One of the things it says that may be relevant to the  
13          investigation -- and it says that at 236-008-057.  I'm  
14          not quite sure whether that's an incorrect ...  I think  
15          that must be incorrect.  We'll find it in a minute, I'll  
16          read what it says and we'll find the correct reference:

17                 "Where cases are difficult or complex, it is wise  
18                 for the requesting consultant to discuss the problem  
19                 with the pathologist prior to the autopsy and not merely  
20                 rely on a written request."

21                 Would you accept that?

22   A.   That is commonly done, yes.  It's very commonly done.

23   Q.   Would you have thought that Claire's case fell into that  
24          category, where it would have been a good case for the  
25          requesting consultant to have discussed with the

1 pathologists?

2 A. The requesting consultant may well have.

3 Q. I'm not saying they haven't. Would you have thought  
4 that Claire's case was the kind of case where that would  
5 have been helpful?

6 A. Yes.

7 Q. Thank you. Then there's the 1993 guidelines produced by  
8 the Royal College for post-mortem reports. The  
9 reference for that is 236-007-054. Were you aware of  
10 those?

11 A. Yes.

12 Q. In 1996?

13 A. I was aware of -- I certainly have been aware. I don't  
14 know when I became aware of it, but I think I was aware  
15 of it in 1996.

16 Q. There are some references in that that bear on the work  
17 done in Claire's case or her report. The first is at  
18 paragraph 2(a). 236-007-056:

19 "It is the pathologist's responsibility to be  
20 satisfied that a full account has been obtained."

21 So I can understand what you have said that, for  
22 many reasons, you have relied to a large extent on the  
23 summary that's provided to you in the autopsy request  
24 form. But it remains the pathologist's responsibility,  
25 doesn't it, to satisfy themselves that they do actually

1 have a full account of the relevant clinical details?

2 A. Yes, and in Claire's case we did that. Maybe this will  
3 come up in evidence. And I think one of the problems  
4 with looking at a single document like this -- some of  
5 your experts have not addressed how we deal with  
6 clinical information with post-mortems and how we've  
7 always dealt with clinical information with  
8 post-mortems. It may come up later, but once the  
9 post-mortem is complete or approaching completion, we  
10 meet with all the clinicians who have been involved in  
11 the case and they present the clinical history to all of  
12 us along with the pathology, the radiology, and further  
13 laboratory results at a combined meeting. And I'm  
14 convinced that was done in Claire's case.

15 Q. But that's after the event. This is ensuring that  
16 before you get started, in a way, that you have a full  
17 appreciation of relevant clinical details because it may  
18 be -- just may be -- that that will inform how you  
19 approach the autopsy and if you don't do it until after  
20 the event, the autopsy, to a certain extent, can be  
21 a destructive mechanism so you may have lost or no  
22 longer be able to retrieve evidence if you had known  
23 that that was a relevant thing to be preserving or  
24 looking for at the time.

25 A. I'll go back to my point that we have very strict

1 limitations on what we can do in a day. There was a  
2 good clinical history in Claire's that gave us an  
3 overview of the case. It gave us a direction where we  
4 could go. It was discussed with a consultant who was  
5 happy for the post-mortem to proceed along the lines it  
6 proceeded along.

7 Q. So you know it was discussed?

8 A. It would be routine for the case to be discussed. I see  
9 no reason why it would have been exceptional.

10 Q. Sorry, I asked you that because I thought earlier in  
11 your evidence you were saying that you didn't know  
12 whether there were discussions. But what you're saying  
13 is that that would have been typical for it to happen?

14 THE CHAIRMAN: Yes, and there's no reason for the doctor to  
15 think that anything different happened in Claire's case  
16 than happened in other cases.

17 MS ANYADIKE-DANES: Is that a discussion that's likely to be  
18 with you or would it have been with a consultant?

19 A. Probably with the consultant, yes.

20 Q. When you say that you had a good clinical history,  
21 is that because you either, at the time or after the  
22 event, compared it with the actual clinical notes to  
23 reach that view?

24 A. No, the clinical history that was provided was better  
25 than a lot that have been provided in other cases.

1 Q. But in terms of how it related to what had actually  
2 happened during her admission, do you know it's good  
3 because you have looked at the notes and have compared  
4 it?

5 A. No, it was good because it gave the pathologist enough  
6 information on how to proceed with the post-mortem.

7 Q. I suppose it's a difference between whether you have  
8 accuracy or detail. The two things don't necessarily  
9 have to be the same. And the accuracy is what's  
10 important for you, is it not?

11 A. I don't really understand the question.

12 Q. You could have details, but they may not be accurate or  
13 accurately reflect what is in the clinical records.

14 A. Well, I think we're getting a history from a consultant  
15 and an experienced consultant who knew the patient and  
16 who knew the history. So a pathologist is going to have  
17 no reason whatsoever to disbelieve that that -- to  
18 believe that it's anything other than accurate.

19 Q. You see, that might be part of the problem because the  
20 consultant who is providing it didn't actually seem to  
21 know the patient, in fact, and, until the patient's  
22 terminal collapse, had never actually seen the patient  
23 or written anything in the patient's notes or seen the  
24 notes. Would that make a difference to how you would  
25 receive or consider necessarily the accuracy of the

1 summary?

2 A. I have to go back to the point of what actually is the  
3 pragmatic approach to performing post-mortems in a day.

4 Q. I understand.

5 Then in paragraph 6, which is at 236-007-057, it  
6 refers to the fact that:

7 "A list of the major pathological lesions  
8 present ... and it is desirable to code these for future  
9 retrieval."

10 And SNOMED is one of them. That's the one you used;  
11 isn't that right?

12 A. We did use SNOMED codes in 1996.

13 Q. You're aware of the need to do that. And what is the  
14 purpose of that in your department?

15 A. I don't really regard SNOMED codes as very useful  
16 personally. Some people do, some people don't. SNOMED  
17 codes are a way of -- if you're doing a research project  
18 or if you're looking for -- say you want to do  
19 a research project on a type of brain tumour so you want  
20 to look for all those brain tumours, you can enter  
21 a SNOMED code into the computer and it will retrieve  
22 that data for you. On a day-to-day basis, it's actually  
23 of very little use in a pathology report. Most  
24 pathology reports who have SNOMED codes -- in fact we've  
25 taken them off our reports in general. They are not

1           even printed with the documents in the majority of our  
2           cases because they're of no practical use on  
3           a day-to-day basis.

4   Q.   But in terms of how the report is retained, if I can put  
5           it that way, do you retain a version of the report with  
6           the codes?

7   A.   Not now, no.  I don't find it useful.

8   Q.   If you wanted to or if somebody asked you the incidence  
9           of a particular condition -- I'm not saying necessarily  
10          the SNOMED code, any particular code -- would that not  
11          assist in retrieving that and seeing what the incidences  
12          of that condition might be?

13  A.   It would.  It would for a research project, yes.

14  Q.   And that might be relevant?

15  A.   To what, a research project?

16  Q.   Not just a research project.  If somebody was concerned  
17          to see the extent to which one had a particular  
18          condition that is now addressed, being addressed  
19          successfully by guidelines or not --

20  A.   I am not saying it's not useful.  And it is useful if  
21          you want to retrieve data, it is.  But for an individual  
22          report, it's not particularly useful.  We do still have  
23          SNOMED and I use SNOMED codes because I do a lot of  
24          brain tumour research.  That's all I can say about the  
25          SNOMEDs.

1 Q. Okay. Then at 7(a), which is also on this page, it  
2 talks about that:  
3 "A commentary should be written in the light of all  
4 the information available."  
5 This is the commentary in the report because that's  
6 essentially what these guidelines are dealing with.  
7 When it says "all the information available", do you  
8 take that to mean also the clinical record?  
9 A. I'm not -- I don't really understand the question.  
10 Q. "A commentary should be written in the light of all the  
11 information available."  
12 Do you understand that to also involve all the  
13 information being all of that that is also in the  
14 clinical notes and records?  
15 A. I think the way the -- no, not necessarily, is the  
16 answer to that.  
17 Q. Okay. What is the information you think that that is  
18 driving at?  
19 A. Any results that have become available in conjunction  
20 with whatever history has been provided.  
21 Q. So if we look at (b), which is the reconciliation, does  
22 that mean that what you interpret as the reconciliation  
23 to be a reconciliation between your results and the  
24 summary on the autopsy request form?  
25 A. The document refers to "reconciled as far --

1 Q. I'm asking how --

2 A. I think that's what that refers to, yes.

3 Q. That's how you interpret that?

4 A. That's how I interpret that, yes.

5 Q. And then if we look at page 6, which is at 007-058,

6 at (c), you see:

7 "Audit the time taken for reports to be issued and

8 delivered."

9 So this is the 1993 guidance. You may have said

10 that you weren't aware of it, but can you now recall

11 whether that is something that was being done in the

12 department in 1996?

13 A. It certainly is done regularly. Whether it was done in

14 1996, I don't know. I do it on a yearly basis now. I'm

15 not sure it was done then.

16 Q. When you say that you're aware of one or other of these

17 guidelines, is that because that's your own research,

18 that's your own attempt to keep yourself abreast of

19 things, or is that because your department was ensuring

20 that guidance was brought to the attention of the

21 pathologists?

22 A. I was aware of guidelines because they would be

23 published and I would read them. 16 years on,

24 I certainly don't remember when I was aware of each set

25 of guidelines. There are probably hundreds of sets of

1 guidelines that relate to pathology, and I think it is  
2 very important to remember that they are guidelines.  
3 What is very important also to remember is that local  
4 practice is sometimes more important for some cases than  
5 guidelines. I think it's important also to remember  
6 that particularly -- Professor Allen, at the time in  
7 1996, was or had just been or was to become the  
8 Vice President of the Royal College of Pathologists and  
9 the president of the British Neuropathological Society.  
10 So she was the person in the department who would be in  
11 charge of implementing any guidelines, but also she was  
12 most probably the most experienced neuropathologist  
13 in the country and would be applying her own local rules  
14 to all of these as well, based on her experience, which  
15 of course is a very important thing to consider.

16 Q. No, Dr Herron. I was approaching it from a slightly  
17 different way. What I was trying to find out was the  
18 mechanism of disseminating the guidance, whether that  
19 was something that individual pathologists did as part  
20 of keeping themselves up-to-date with their own  
21 discipline or whether that was something that the  
22 department itself took on board and disseminated such  
23 guidance as it wanted to operate --

24 A. I think both of those are true.

25 Q. Thank you. Then there's the service specification for

1           paediatric and perinatal histopathology. That's 1995.  
2           We can pull that up. 314-017-001. Were you aware of  
3           that?

4   A. I don't think so.

5   Q. That refers at page 5, which is to be found at 007, to  
6           audit. It says:

7                   "Service specification should stipulate  
8           participation in audit, including that of turnaround  
9           times."

10           And then it goes on to discuss audit more generally.  
11           But you weren't aware of that?

12   A. That would not have been a document I'd have been  
13           particularly interested in, given it didn't relate --

14   Q. Didn't impact on what you were doing?

15   A. -- to my specialty, no.

16   Q. I understand.

17           Then more recently and after the time when you were  
18           carrying out the autopsy on Claire's case, there's  
19           "Guidelines on autopsy practice (2002)". The reference  
20           for that is 314-008-062. And although that post-dates  
21           her autopsy, some of what it says is presented as simply  
22           providing what was good practice and what should have  
23           been happening.

24           If we go to paragraph A8.2. It's to be found at  
25           090. I think there's a different ... There you have it

1           anyway. I seem to have a different version. Can we go  
2           to section 8? At A8.2, you can see:  
3           "Death from epilepsy. These deaths [sic] are almost  
4           always performed for a coroner."  
5           Then at A8.2.2.b:  
6           "Status epilepticus. This must be clinically  
7           documented. Status epilepticus is a specific clinical  
8           entity and cannot be assumed from a post-mortem  
9           examination in the absence of good clinical  
10          documentation."  
11          Status epilepticus was one of the very things that  
12          was identified on the autopsy request form.  
13         A. Yes. That's -- as far as I remember, yes.  
14         Q. Were you aware of the fact that status epilepticus is  
15          something that has to be clinically documented, you  
16          can't just assume it?  
17         A. This is a 2002 paper, isn't that right?  
18         Q. Yes, I've accepted that.  
19         A. No, and I don't really understand if it was written  
20          in the clinical summary -- I'm not sure ... I'll answer  
21          your point if I understand it better, but I don't know  
22          that I do.  
23         Q. Were you aware how status epilepticus is to be  
24          established in 1996?  
25         A. That's a clinical question. No, I don't know.

1 Q. You wouldn't know that?

2 A. No, I wouldn't know that.

3 Q. So you wouldn't have appreciated that that's something  
4 you require an EEG for to confirm?

5 A. No, that's a clinical question. It's outside my  
6 specialty.

7 Q. I understand. If we then go to the autopsy request  
8 form, which is at 302-070b-009. Can we pull up the next  
9 page as well? It's a two-page document. What in there  
10 do you think has provided you with a good history so  
11 that you understand what had happened during the course  
12 of Claire's last admission?

13 A. There is a clinical history. She was well until shortly  
14 after admission. It tells us about her cousin, it tells  
15 us Claire had loose stools and some vomiting. It does  
16 give a neurological history, it gives some of her  
17 medication, it tells us about her sodium. It suggests  
18 her inappropriate ADH secretion or respiratory arrest  
19 and that she died. It also lists the clinical  
20 importance -- the clinical problems that we were to  
21 investigate with the autopsy: cerebral oedema,  
22 status epilepticus, inappropriate ADH secretion, and  
23 viral encephalitis. That is a lot better than we have  
24 received in other cases, I must say.

25 Q. From what you said before, do I take it that you simply

1           accept what is written there in the history of the  
2           present illness as accurate?

3    A.   Yes, I do.

4    Q.   It says under the investigations that the charts were  
5           provided.  In fact, Dr Steen's evidence was that the  
6           medical notes and records, the most recent ones, went  
7           with this.

8    A.   I have no way of knowing if that's the case.

9    Q.   And given that the guidance says that one should look at  
10           them, if you can, and the responsibility is yours within  
11           the time available to you, presumably, to make sure that  
12           you fully understand what the clinical presentation is  
13           before you start your work, if the charts are there, is  
14           there any good reason for not looking at them?

15   A.   I've given that answer already.  I would love to have  
16           the time to and the expertise to understand the charts.  
17           You have to appreciate, I'm a neuropathologist, I will  
18           not understand a lot of the issues that are on a child's  
19           chart.  I concentrate on what is presented to me to lead  
20           me into my autopsy.  I discuss it with my consultant and  
21           we form a plan.  Some of the charts -- not Claire's ...  
22           And you said we only got the most recent ones and not  
23           all of the charts.  To delay a post-mortem may  
24           significantly reduce the ability to find anything in  
25           a post-mortem.  There are other reasons that you do

1 a post-mortem as soon as you can, especially in a child  
2 who might have an infection, but also who might have  
3 a metabolic disease, which is one of the things that we  
4 had to consider in this case. Tissue degenerates very  
5 quickly after death. To delay a post-mortem, to read  
6 the notes, to understand the notes, to get other people  
7 to understand the notes would have significantly delayed  
8 the post-mortem. So we do have to rely on this form.

9 Q. But in fact, Claire's notes weren't really very lengthy.

10 A. Well, with respect --

11 Q. I presume you have seen them since.

12 A. I've seen copies of them. They were extremely complex  
13 documents.

14 Q. Sorry, they're not very lengthy.

15 A. But they're complex.

16 Q. If they're complex, so that you don't feel you've  
17 entirely appreciated what's been recorded there, is that  
18 not exactly the circumstance in which you discuss  
19 matters with the clinician?

20 A. It may have been discussed with the clinician, I don't  
21 know that. All sets of notes are complex and I get back  
22 to the point that -- I mean, you've had many years and  
23 many experts to come to different conclusions after  
24 looking at these notes. We have to plan our day, make  
25 sure the post-mortem is done in a proper time and we are

1 very reliant on this in order to make our decisions.

2 THE CHAIRMAN: Sorry, let me intervene for a moment, doctor.

3 This two-page document that's on the screen, you say  
4 that is a more detailed and a more helpful document,  
5 apparently, than you typically receive?

6 A. Certainly. I have had a lot worse than that, yes.

7 THE CHAIRMAN: Does it then follow that the more detailed  
8 and the more helpful that document is, the less likely  
9 you are to start going back through whatever additional  
10 notes are provided?

11 A. You will try your best to gather whatever information.  
12 That may mean you have time to go through the notes, it  
13 may mean that you have a conversation. I can't remember  
14 what happened in 1996. I'll just give you some other  
15 examples of what normally happens. Most post-mortems in  
16 Northern Ireland are done as coroner's forensic  
17 post-mortems. They rely -- and I think most people in  
18 the United Kingdom rely -- on a one or two-paragraph  
19 history from the coroner. I understand my forensic  
20 colleagues don't get the notes at all when performing  
21 their autopsies and that is the normal practice.  
22 We will do our best to gather information, but there is  
23 a very limited time frame in order to plan a post-mortem  
24 and that is the major constraint.

25 MS ANYADIKE-DANES: Yes. This, obviously -- I'm so sorry.

1 THE CHAIRMAN: Mr Fortune?

2 MR FORTUNE: Sir, just to go back to page 27 [draft], line  
3 15, where Dr Herron said that he does not understand  
4 some entries in the charts and then he goes on to say  
5 that the charts. In particular, he refers to Claire's  
6 chart as complex or the entries within them being  
7 complex. Bearing in mind that Dr Herron is, by  
8 profession, a registered medical practitioner, can we  
9 try and establish just what he does understand or what  
10 he doesn't understand? What exactly he may look at  
11 in the charts? Because given his background, there must  
12 be more than just a simple understanding. He should  
13 know his way round the charts and, in particular, the  
14 documents that are likely to give him the best  
15 indication.

16 MS ANYADIKE-DANES: Well, in fairness to Dr Herron, let us  
17 maybe pull them up.

18 THE CHAIRMAN: Well, let's see if we can do it in a shorter  
19 form than going through all the charts.

20 Do you understand the gist of the question which has  
21 been posed from the floor, doctor?

22 A. I am a medical doctor, yes. I'm not a paediatrician,  
23 I'm not an anaesthetist, I'm not a pharmacologist. I'm  
24 a neuropathologist, I understand neuropathology.

25 I think there are certain rules for giving evidence

1 in court. The rule is that you stick to your specialty.  
2 We all know that I'm a doctor. I have never treated  
3 a child outside a very limited amount of time in  
4 a neurosurgical ward. I've never worked in a children's  
5 hospital, I've never prescribed fluids or drugs to  
6 a child. I have never done a X-ray on a child. I'm  
7 a neuropathologist.

8 THE CHAIRMAN: In fact, your point is that you couldn't  
9 possibly be expected to understand all the information  
10 which is in the notes in the charts because that -- for  
11 instance in this case, they come from paediatricians,  
12 they come from a paediatric neurologist, and they depend  
13 on help from each other, so even more so would you  
14 depend on that, if that's what you're going to get into?

15 A. Absolutely. I must stick to my specialty. That's the  
16 rules.

17 THE CHAIRMAN: Yes. Thank you.

18 MS ANYADIKE-DANES: Yes, but maybe you might help us --  
19 I understand that general point, but you might help us  
20 a little bit with this because Claire's notes really  
21 aren't that voluminous. So if you take the four things  
22 that you're asked to look at or at least to see if you  
23 can reconcile those major problems or explain them in  
24 terms of the evidence that you find when you look at her  
25 brain and when you also look at the slides that you make

1 of the tissue from her brain. You are being asked to  
2 deal with cerebral oedema, status epilepticus,  
3 inappropriate ADH secretion, and a query over a viral  
4 encephalitis. And that means presumably, if you're  
5 trying to reconcile, you understand what those  
6 conditions are.

7 A. I understand what those ... I certainly understand what  
8 viral encephalitis and I understand what cerebral oedema  
9 is. I probably would have known a definition of  
10 status epilepticus. Inappropriate ADH secretion, I knew  
11 about, but not a lot of detail about inappropriate ADH  
12 secretion at the time.

13 Q. So if you're trying to reconcile your findings and  
14 provide some explanation for the presentation of that or  
15 how that might have been involved in her demise or  
16 death, then that's something, if you're not quite sure,  
17 you would discuss --

18 A. Yes.

19 Q. -- with a paediatrician?

20 A. At the time of the post-mortem?

21 Q. Yes.

22 A. No. Not necessarily. The autopsy was done according to  
23 the consent and, in light of these, any of those factors  
24 were taken on board in conjunction with the consent that  
25 was available to do the post-mortem.

1 Q. I understand, but what you're trying to do is to try and  
2 see if you can shed any light on those clinical  
3 problems. So the point that I'm putting to you is that,  
4 obviously, if you're trying to do that, you have to have  
5 some understanding of what those clinical problems are.

6 A. Of course.

7 Q. And to the extent that you weren't entirely sure as to  
8 what inappropriate ADH secretion might be, then is that  
9 precisely the thing that you -- either yourself  
10 independently or through your consultant -- would be  
11 seeking to get further information from the treating  
12 clinicians or somebody else who might be able to help?

13 A. Or a textbook.

14 Q. Yes. But whenever it is that you have finalised your  
15 work, you will have satisfied yourself one way or the  
16 other through your own information or through assistance  
17 from somebody else about those clinical problems?

18 A. Sorry, can you say that -- I missed the start of that.  
19 I need you to repeat the question, sorry. I lost track  
20 of it.

21 Q. By the time you have finalised your work and, in order  
22 to do that, you will have satisfied yourself either  
23 because you know what those conditions mean or because  
24 you have got assistance from somebody else who does?

25 A. What happens at the end of the post-mortem is we present

1           our findings with the clinicians and all of the team in  
2           order to come to conclusions in these cases.

3    Q.  No, sorry, doctor, I'm not talking about that period of  
4           time.  I'm talking about the time you have presented in  
5           your own report as your own correlation.  At that stage.  
6           I understand that thereafter you meet with the  
7           clinicians and you have a discussion and you have  
8           a grand round or something of that sort.  But you have  
9           to reach your own view in your report --

10   A.  That's not necessarily true.  I don't think it's  
11           necessarily good practice either.  If you write a report  
12           in isolation, you may miss a lot of the factors that  
13           come to light whenever you do have what we call the  
14           grand round or the CPC.  Quite often I will send a  
15           report out as a discussion document.  These are: this is  
16           what I have found for now, think about this, and we'll  
17           all meet together and come to a conclusion then.  
18           That is, I think, a good practice and it is what we very  
19           often do in Belfast.

20   Q.  Yes, and if you do that, that means presumably the  
21           report that you're sending out isn't necessarily a final  
22           report?

23   A.  That is correct.

24   Q.  Yes.  And if you're going to do that, how do you  
25           distinguish between the report that goes out like that

1 and the report that will ultimately be your final  
2 report? How do you distinguish on the report itself?

3 A. Um ... What I would do now is, after the combined  
4 meeting, add anything that came to light during the  
5 meeting to the report. I think that would be the way  
6 I would distinguish it now.

7 Q. But if somebody was going to look at the report after  
8 the event in the way that happened with Claire --  
9 the coroner looked at the report after the event -- how  
10 would the coroner know that he was looking at what was  
11 actually your final report, which incorporates whatever  
12 may come out of those sorts of discussions, or the  
13 report that went out, which is for, as I think you put  
14 it, discussion purposes?

15 A. I don't think the coroner would have known. But this,  
16 I think, was a highly exceptional set of circumstances.  
17 If you're writing a coroner's report, it's done in  
18 a completely different way.

19 Q. No, I appreciate that.

20 A. What I'm saying is in this particular instance, the  
21 coroner wouldn't know, but this was a rare, atypical  
22 occurrence.

23 Q. Do you know whether the report we've all been looking  
24 at, which is unsigned, is the final report or the report  
25 that might have gone out for discussion purposes?

1 A. I think in 1996 -- I don't think a second report was  
2 done. I think that is the only report.

3 Q. How would you know that? That is what I'm asking you.

4 A. Um ...

5 Q. Without it having "final" on it, or without it being  
6 signed off in that way, how would you know which one you  
7 were looking at?

8 A. I think if there had been another report we would be  
9 able to find it in our system. I think that is the only  
10 report that has gone.

11 Q. There have been a number of drafts and I think your --  
12 we'll come to that in a minute, but now that we are  
13 here. You have given evidence in your witness  
14 statements to the inquiry to say that it's -- at one  
15 stage, you said a report never left the department  
16 unsigned. And then I think latterly you said it would  
17 be highly unusual and what you think might have happened  
18 is there might have been a cover letter. In any event,  
19 the way you would be distinguishing in your mind when  
20 you provided that first explanation for us from the  
21 final report and the discussion report is that the final  
22 report would be signed and that's how you would  
23 know: this is our final report.

24 A. The ... What I said -- and I think it's true -- is, in  
25 my experience, a secretary would never send an unsigned

1 report out of the department. I think I was  
2 misinterpreting some information that I had. It was my  
3 impression that there had been a report in the  
4 patient -- in Claire's notes, but I think that may not  
5 be the case now. Maybe you could help me with that.  
6 It would help me answer the question better.

7 Q. Can I ask you it in a short way? Does that mean it is  
8 possible that this is not the final report?

9 A. No, I think this is the final report.

10 Q. And you know that for sure because?

11 A. Well, I don't know it for sure. I don't know for sure,  
12 but I don't see any reason to believe it's not the final  
13 report.

14 THE CHAIRMAN: So the only point of real questioning is that  
15 it would be exceptional for this final report to have  
16 gone out unsigned?

17 A. I don't think a secretary would do that. If you look  
18 at -- I think I can give you a reference.

19 THE CHAIRMAN: Please do.

20 A. Somewhere around 090-054-178.

21 THE CHAIRMAN: Is that what you're looking for?

22 A. No, it's the draft reports. I think it's part of this  
23 document. Sorry, 186. At the top of this:  
24 "Doctor's copy. Complete and sent 12/2/97".  
25 That indicates that this report was -- this is

1 a secretary's writing -- sent from our department --  
2 I presume to the clinicians -- on that date, and I'm  
3 sure it would have been signed if that had been the  
4 normal procedure.

5 MS ANYADIKE-DANES: Sorry, is this the final report?

6 A. No, it's not. There's a typed copy of this, but the  
7 stuff at the top of that indicates that a report was  
8 completed and sent on 12/2/97.

9 THE CHAIRMAN: Then if we go on and look at that, I think  
10 that compares to 190, does it? Can you keep up 186 and  
11 give us 190 beside it? 190 then looks --

12 MS ANYADIKE-DANES: That has the codes in, Mr Chairman. The  
13 report that we've all been using doesn't have the SNOMED  
14 codes.

15 THE CHAIRMAN: What 190 does, it has typed in under  
16 "anatomical summary" what is handwritten on the  
17 left-hand version.

18 MS ANYADIKE-DANES: Yes.

19 THE CHAIRMAN: Sorry, doctor, maybe I'm misunderstanding  
20 you. Am I right in understanding that you would not  
21 expect the copy on the left to be issued in that form as  
22 the final report?

23 A. No, you'd only get a typed copy sent. My point was that  
24 there's an indication that a report was sent on 12/2/97  
25 from our department and my experience is that

1 a secretary is highly unlikely to have sent an unsigned  
2 copy to a clinician. That's my experience.

3 MS ANYADIKE-DANES: Well, just if we stay with 054-186, if  
4 one goes over the page, you will see that there are  
5 other typographical changes. Then if one goes to the  
6 final page, you see a brainstem section has been  
7 included; do you see?

8 A. Yes.

9 Q. So that's not the final report. Then if you go to the  
10 report that the chairman had put to you, which is at  
11 190, starting there, you can see that in that report,  
12 that has the SNOMED codes above the clinical summary to  
13 the right. Those codes are not present on the report  
14 that has been provided to us and which was provided to  
15 the coroner. If you go to the last page of this report,  
16 192, you see that there are two dates there. They don't  
17 appear on the one that went to the coroner either.

18 So that's why I'm asking you if you're absolutely  
19 sure that the report that we have all been looking at  
20 and treating as the final report is the final report.

21 A. I can't be sure. There are several drafts of these  
22 and ... No, I can't be sure of that.

23 Q. I understand.

24 MR FORTUNE: Sir, can I have a bit of assistance from  
25 Dr Herron? If we look at file 90 at 090-003-003, that

1 is a copy of what may well be the same document as 190.  
2 Why are there two copies in the same file, said to be  
3 the Royal Group of Hospitals' papers? Is anyone able to  
4 help me? Has the Royal received two copies or is there  
5 some other significance that I've missed?

6 THE CHAIRMAN: Superficially, it seems to me, Mr Fortune,  
7 and Dr Herron, that what we have at 003 is the tidied up  
8 version of what we also have at 186 and 190, but without  
9 the codes.

10 MR FORTUNE: Is 003 a final copy or the final report,  
11 I should say?

12 THE CHAIRMAN: Do you know, doctor?

13 A. I think ... It has been quite obvious that in my  
14 evidence that the issue about retrieval of reports has  
15 caused some complications in this case. I'm not sure  
16 how the coroner got a report in 2004, whether it came  
17 from the ward, whether it came from us or who gave it to  
18 him. I've said in all of my statements that when  
19 further material was retrieved from offsite storage,  
20 further copies of reports became apparent, which  
21 indicated that I hadn't written the report. Whether  
22 those were in the more recently found documents or  
23 whether they were there at the start, I can't answer the  
24 order of when things happened.

25 MS ANYADIKE-DANES: I understand that.

1           Mr Chairman, in answer to Mr Fortune's point, it may  
2           be that there weren't two copies of the same autopsy  
3           report in the hospital's files, but we, in fact, have  
4           added it on to a letter that we got when we received the  
5           notes and records. If I can ask that we pull up  
6           090-054-177. That is a cover letter that we got from  
7           the DLS providing a number of things, including,  
8           I believe -- and we can just pull alongside it the first  
9           page, 090-054-190. So you see that's in the same  
10          series. So that particular report may be referenced  
11          in that way because that's how it came to us. And  
12          I think the one that's in the Royal's files is the  
13          090-003-003.

14   THE CHAIRMAN: Okay.

15   MS ANYADIKE-DANES: I think that might be the explanation  
16          for that, but it doesn't take us any further as to  
17          whether it's the final one.

18   THE CHAIRMAN: Let's move on.

19   MS ANYADIKE-DANES: Yes. I wasn't actually going to deal  
20          with signing in that way, but in any event we have done  
21          it now.

22                 Can I just ask you about a point that Mr Fortune was  
23                 asking you about, which is your experience? I think you  
24                 said in your fourth witness statement -- I think it is  
25                 224/4 at page 8. You refer there to having often

1 treated hyponatraemia as a junior doctor before 1996.

2 A. Mm.

3 Q. So in terms of one of the things that you had to look  
4 at, you did have some clinical experience of that.

5 A. In 1987 and 1988 I was a house officer and quite often  
6 patients would come in with hyponatraemia, mostly  
7 related to diuretic therapy and minor things like that.  
8 Nothing to the degree of Claire, but hyponatraemia's an  
9 extremely -- as you know from the paper by Arieff, it's  
10 an extremely common condition and I had treated patients  
11 with very mild hyponatraemia.

12 Q. Yes, but you were aware of the condition; that is the  
13 point I was putting to you.

14 A. I think every doctor is aware of the condition of  
15 hyponatraemia. They know what the word means, yes.

16 Q. Let's pull up 090-022-056. This is a note made by the  
17 senior house officer on the evening of the 22nd, which  
18 is the evening before her collapse. Do you see there  
19 the middle bit:

20 "Hyponatraemia. Query fluid overload and low-sodium  
21 fluids."

22 And another query is "SIADH".

23 If you'd looked at the notes and records, that  
24 wouldn't have stumped you, would it, as to what that  
25 means?

1 A. No, I would have understood that.

2 Q. So you would have understood that? So there's nothing  
3 complex there in terms of understanding what it means.  
4 And if you had read that and you had looked back at your  
5 autopsy request form, you would have been able to see  
6 that all that's being specifically identified as the  
7 problem under the list of clinical problems is  
8 inappropriate ADH secretion, which is actually the  
9 second way in which that hyponatraemia might have arisen  
10 as is recorded on that note, and not the possibility  
11 that it arose in the first way, which is through fluid  
12 overload and low-sodium fluid. Although, if you'd  
13 been -- perhaps if some sort of detailed consideration,  
14 maybe in conjunction with a discussion ... Can we pull  
15 up 090-054-183? There you can see that the serum sodium  
16 dropped to 121 at 2330 hours on the 22nd. And there's  
17 your query of inappropriate ADH secretion. Just below  
18 that, "fluids restricted".

19 So if you'd looked at the notes, you might have had,  
20 as an alternative reason for the development of the low  
21 sodium, fluid overload?

22 A. Yes, I agree with your point, but I still make my point  
23 that we do rely -- the case as presented to us gave us  
24 a reason for a low sodium in the history. That was in  
25 the clinical history provided. She had a "query history

1 of encephalitis", which is known to cause inappropriate  
2 ADH secretion, and I knew that. She had a low sodium.  
3 That would be consistent with or may be consistent with  
4 inappropriate ADH secretion. And the sequence made  
5 sense in her clinical history that that is a sequence  
6 that is possible and plausible.

7 I don't know anything about fluid management, but  
8 I would suspect if there was a low sodium, then the  
9 fluid restriction would be as a treatment of the low  
10 sodium and not because it was considered a cause of it  
11 in that statement.

12 Q. Yes, but if you are trying to investigate -- because  
13 this was not a coroner's autopsy that you were carrying  
14 out, this was an autopsy carried out for teaching and  
15 learning purposes.

16 A. It was ...

17 Q. Sorry, that's the evidence that we heard from Dr Steen.

18 A. I would have considered it possibly more for diagnostic  
19 purposes, but ...

20 Q. But it has a benefit of teaching and learning?

21 A. All autopsies do eventually, yes.

22 Q. So if there is a query as to the inappropriate ADH, that  
23 means it might have been that way. The alternative is  
24 the hyponatraemia might have been caused in a different  
25 way and part of what you have to look at if you're

1 addressing those problems is what else might there be.  
2 We know that she was hyponatraemic because that's what  
3 the 121 tells us. I know that the fluids were  
4 restricted. Is it too much of a query to say, "I wonder  
5 if they were restricted because there was concern that  
6 she was fluid overloaded", which would be another way of  
7 getting hyponatraemia.

8 A. That's not the way I read that. I read that -- in fact,  
9 she had two possible causes for inappropriate ADH  
10 secretion. She may have seizures -- she had three  
11 possible causes for hyponatraemia already on that  
12 form: one was vomiting and diarrhoea; two was seizures;  
13 three was possible encephalitis. So I already had three  
14 reasons to explain the sodium.

15 If that was presented to me, a child coming in with  
16 a sodium of 121, who had been given fluids, I certainly  
17 would have made a bigger fuss about finding out why that  
18 was the case. I haven't read the information recently,  
19 but that is I think how I approached Raychel Ferguson's  
20 case. There was a low sodium indicated on the clinical  
21 request form and I didn't feel there was any explanation  
22 as to how that happened. And I instigated a full  
23 forensic investigation on the basis of that with  
24 Raychel.

25 There were three reasons already to have

1 hyponatraemia as it was presented to me in Claire's  
2 case.

3 Q. So what you're identifying for us is how critically  
4 important it is that the requesting clinician gets these  
5 details accurate because -- correct me if I've  
6 interpreted your evidence incorrectly -- you have only  
7 a limited amount of time to check the details there  
8 in the medical notes and records and you are quite  
9 reliant on this being accurate because this is going to  
10 steer to some extent your line of investigation? Would  
11 that be a fair summary?

12 A. I think that's what I've said all morning, yes.

13 THE CHAIRMAN: I then asked you, doctor -- and I thought you  
14 didn't agree we me -- that since this appeared to you to  
15 be a better and more detailed summary than you normally  
16 get, that would again be a factor that steered you away  
17 from going through the notes and records in any great  
18 detail.

19 A. No, you would love to have the time to go through the  
20 records in every case.

21 THE CHAIRMAN: But you don't?

22 A. You just don't.

23 THE CHAIRMAN: And you're even less likely to create that  
24 time if you have what you regard as a summary which is  
25 fuller and more detailed than usual?

1 A. This was a coherent story to me. It made sense.

2 MS ANYADIKE-DANES: This was a narrative that made sense to  
3 you?

4 A. Yes.

5 Q. The pressures under which your department was working  
6 and you would have been working at that time in 1996 and  
7 therefore the limited time that was available to you to  
8 be, if you like, cross-checking the information that's  
9 given to you, if I can put it that way, is that  
10 something that's likely to be known by the requesting  
11 clinicians?

12 A. It's very hard for me to know what a clinician knows.

13 Q. But you discuss with requesting clinicians. Presumably  
14 you make it known how important it is that you want to  
15 have as decent a history of presenting illness as  
16 possible?

17 A. Of course we want as good a history as possible, yes.

18 Q. What I'm putting to you is that, so far as you're aware,  
19 is it something that experienced clinicians are likely  
20 to know that you are relying on them to get these  
21 details correct?

22 A. Um ... I -- yes, I'm sure they do their best to provide  
23 the information. I've never been on the other side.  
24 I would imagine that they have similar time constraints  
25 in providing information for an autopsy as we have in

1 reading it.

2 Q. I appreciate that. That wasn't the quite the question I  
3 put to you.

4 THE CHAIRMAN: I've got the point.

5 MS ANYADIKE-DANES: But I think the chairman has it.

6 Do you now know from your involvement with the  
7 inquiry and its investigation that there are errors in  
8 this autopsy request form?

9 A. Um ...

10 Q. Let me help you. Let's pull up both parts of the  
11 form -- and if we have the next page as well.

12 THE CHAIRMAN: Sorry, just before you do that.

13 Doctor, you very helpfully referred to the  
14 difference between Claire's case and Raychel's case.  
15 Obviously, we're going to come to Raychel's case next  
16 year. But the fundamental distinction you were drawing  
17 is that, in Claire's case, you were given a list of four  
18 clinical problems which focused you and gave you a steer  
19 on what it was that was believed or suspected to have  
20 caused Claire's death.

21 A. Yes.

22 THE CHAIRMAN: In Raychel's case, such a list was absent,  
23 and that led you, in Raychel's case, to investigate  
24 further; is that right?

25 A. I haven't read Raychel's statements for a long time, but

1 I remember at the time there was a clinical history --

2 THE CHAIRMAN: Yes.

3 A. -- and now the -- please don't --

4 THE CHAIRMAN: I'm not --

5 A. My memory is Raychel came in for an appendicectomy and

6 died.

7 THE CHAIRMAN: Yes.

8 A. As far as I remember from the clinical summary, it did

9 mention a sodium of, I think, 130, something like that.

10 But there was nothing in her history that would cause

11 a low sodium. So there was no coherent reason for

12 Raychel to be hyponatraemic. If that had come to me as

13 a medical post-mortem or a limited post-mortem, I would

14 have immediately had -- I was a consultant then.

15 I would have immediately referred it to the coroner in

16 Raychel's case because it didn't make sense. In

17 Claire's case it did make sense.

18 THE CHAIRMAN: In Claire's case it did seem to make sense.

19 In Raychel's case, in your words, you instigated a full

20 forensic investigation, and that's in contrast with what

21 you did in this case because you were given

22 explanations?

23 A. Yes. There were three explanations for hyponatraemia in

24 Claire's case already.

25 THE CHAIRMAN: Thank you.

1 MS ANYADIKE-DANES: If you hadn't had quite such a clear  
2 steer, if I can put it that way, might you have had to  
3 do more investigation yourself?

4 A. If there wasn't a coherent story, you would take it  
5 further, yes. Of course you would.

6 Q. Thank you. Just to point out some of these things  
7 because I'm not sure you were entirely clear when  
8 I asked if you were aware of the fact there were factual  
9 inaccuracies in the autopsy request form.

10 The date of the admission to the hospital is  
11 incorrect. It's 22 October, when she entered on the  
12 21st as you now know. Then the history of the illness.  
13 Do you see there it says that:

14 "She had been well until 72 hours before admission."

15 Which gives the impression that for some time over  
16 those 72 hours she had been unwell. That is incorrect.

17 A. Okay.

18 Q. Then that she started to vomit, she had a few loose  
19 stools and then, 24 hours prior to admission, started to  
20 vomit. She didn't start to vomit 24 hours prior to  
21 admission.

22 Can we enlarge the history of presenting illness  
23 a little bit? She had a few loose stools. Well, it  
24 says her cousin had vomiting and diarrhoea and she had  
25 a few loose stools. Can I ask you how you interpreted

1           that in conjunction with the information about the  
2           cousin? How did you interpret that information about  
3           Claire?

4   A.   It looked like she had some kind of gastrointestinal  
5           condition.

6   Q.   Did you have the impression that she had diarrhoea as  
7           well? I'm asking you the impression you got from  
8           reading that.

9   A.   Yes, I think I would have gone down that line, yes.

10   Q.   Yes, because that's actually something that was  
11           specifically excluded in her medical notes. She didn't  
12           have diarrhoea; she had a loose stool, but not  
13           immediately proximate to her admission to hospital.

14           Then if, you see:

15                 "Brainstem death criteria fulfilled at 0600 hours  
16                 and 1815 hours."

17                 The "18.15" is incorrect. And if you look at the  
18                 seizures, "seizures from six months to four years", that  
19                 also seems to be incorrect.

20                 If you had not had such a clear picture of what  
21                 seemed to you like a gastrointestinal problem, would  
22                 that have caused you to do a little bit more  
23                 investigation?

24   A.   Well, if there was no clue as to why she was  
25           hyponatraemic, I would have -- I've said that before,

1 I would have looked for a different reason, yes. But  
2 there were clues. I mean, if she had just had the  
3 vomiting -- if her cousin had had vomiting and diarrhoea  
4 and Claire just had vomiting, I would have still thought  
5 that she had a gastrointestinal infection.

6 Q. And what if you appreciated that she hadn't actually  
7 been vomiting for the length of time that's put there?

8 A. I still think that would point towards  
9 a gastrointestinal infection. Exposure to someone who  
10 seemed to have an infection and vomiting would point in  
11 that direction, I think, yes.

12 Q. I understand. Can we then go to the neuropathology day  
13 book?

14 Mr Chairman, I've just seen the time.

15 THE CHAIRMAN: We'll break until 11.40.

16 (11.30 am)

17 (A short break)

18 (11.45 am)

19 MS ANYADIKE-DANES: Just a few things arising out of your  
20 previous evidence, doctor. Some clarification is sought  
21 about your knowledge of hyponatraemia in 1996. You said  
22 that you would have treated children.

23 A. I said I treated patients. I never treated children.

24 Q. I beg your pardon. Did you know that there's a form of  
25 hyponatraemia known as dilutional hyponatraemia that you

1 can get from the administration of too much low-sodium  
2 fluid?

3 A. I would have known that.

4 Q. You would have known that?

5 A. I think so, yes.

6 Q. And did you know that unchecked and untreated, the end  
7 result of dilutional hyponatraemia can be cerebral  
8 oedema?

9 A. I'm not sure what I knew at the time.

10 Q. What did you think would happen if you carried on not  
11 treating the administration of low-sodium fluids?

12 A. I honestly don't know what I would have known in 1996.  
13 I suppose hyponatraemia, severe hyponatraemia, may cause  
14 cardiac disease, pulmonary disease. I'm not sure if  
15 I knew how much it was related to cerebral oedema.  
16 I may have known. I can't remember 16 years ago.

17 Q. I appreciate that trying to figure anything back  
18 16 years ago is not an easy task. I appreciate that.  
19 But if one thinks simply in terms of the physiology of  
20 the things. If you have a child -- or anybody, for that  
21 matter -- to whom you're administering continuing  
22 amounts of low-sodium fluid, the sheer process of  
23 osmosis will mean that there is swelling in the body;  
24 is that not right?

25 A. That is outside my specialty.

1 Q. You wouldn't know that?

2 A. I wouldn't be able to make that leap, no. I think it's  
3 more complicated than that. I'm a neuropathologist.  
4 I know now that hyponatraemia is associated with  
5 cerebral oedema. I don't really know if I could talk  
6 about the intricacies of dilutional hyponatraemia in  
7 a court like this.

8 Q. I wasn't actually asking you to talk about the  
9 intricacies of it, just the basic pattern of it. Did  
10 you know that hyponatraemia could be a serious condition  
11 that needed to be treated?

12 A. I suppose it depends on the level of hyponatraemia.

13 Q. Yes.

14 A. My knowledge of hyponatraemia, I think, would be  
15 reflected in Professor Harding's report, that  
16 hyponatraemia -- the brain disease that I associated  
17 with hyponatraemia and which he specifically mentions,  
18 for the same reasons that I would have thought of it --  
19 and I think Dr Squier mentions it in her report as  
20 well -- is a condition called myelinolysis. That is  
21 what a neuropathologist would associate with  
22 hyponatraemia, and particularly -- it may be wrong  
23 now -- the rapid treatment of hyponatraemia is  
24 associated with a brain disease and certainly that is  
25 something that I would have been thinking of rather than

1 cerebral oedema.

2 Q. As a pathologist. Before you became a pathologist, you  
3 were a qualified physician, were you not?

4 A. Qualified doctor.

5 Q. And you'd have gone through the rotations as a senior  
6 house officer?

7 A. No, a junior house officer.

8 Q. You'd have gone through rotations.

9 A. Yes.

10 Q. When we asked you in your inquiry witness statement  
11 requests for your knowledge of hyponatraemia -- we can  
12 pull that up. It's in your first one, 224/1, page 13.  
13 It's in answer to question 24:

14 "Describe in detail the education and training you  
15 received in fluid management (in particular  
16 hyponatraemia)."

17 And you give your training or education at  
18 undergraduate level. You'd have been taught about it  
19 and you refer to the curriculum at Queen's:

20 "Postgraduate level. I passed a Royal College of  
21 Pathologists postgraduate exam in chemical pathology in  
22 1990."

23 Leaving aside the paediatric aspect of it, you were  
24 treating hyponatraemia, although not as severe as this,  
25 in 1996.

1 A. No, in 1987.

2 Q. 1987, sorry. So if you were doing that, you must know  
3 why you're treating it in terms of what the effects of  
4 it can be if you don't treat it.

5 A. Well, first of all, in 1987 most of the patients were  
6 probably borderline hyponatraemic and the only treatment  
7 was to stop the tablet that was causing their  
8 hyponatraemia. Really, what a neuropathologist  
9 associates with hyponatraemia is this condition called  
10 central pontine myelinolysis, and really that was  
11 probably the only major association and I think  
12 Dr Squier and Dr Harding give their evidence along that  
13 line as well.

14 Q. That's a different point. The point that I'm pressing  
15 you on a little bit is dilutional hyponatraemia and what  
16 I am pressing you about is whether in the course of the  
17 training and education that you have described, and  
18 qualifying as a doctor as you did, whether you were not  
19 aware therefore that there is a condition called  
20 dilutional hyponatraemia, which, if unchecked, can lead  
21 to cerebral oedema.

22 A. I probably didn't know that it caused cerebral oedema.  
23 I would have associated it more, I think, with pulmonary  
24 oedema. Fluid overload in surgical patients tends to  
25 increase your fluid on the lungs, not on the brain, as

1 far as I know. But it was several years previous to my  
2 experience with Claire. It is something that is  
3 taught -- this issue about fluid management really was  
4 to make sure you didn't give enough ... People with  
5 heart failure, people with cardiac conditions that  
6 couldn't deal with fluid. Fluid management was so as  
7 you wouldn't overload their lungs and their heart with  
8 fluid. The brain never really came into the discussions  
9 very much as far as I remember.

10 Q. When Dr Armour gave her evidence, she said that she was  
11 well aware of dilutional hyponatraemia in that respect.  
12 What she wasn't aware of is that it could happen in the  
13 way that it happened with Adam, which is in a relatively  
14 short space of time during the course of surgery, and  
15 that's what led her to publish that paper. But she --  
16 and she was a registrar herself in 1995 and for that  
17 matter 1996 -- was aware of dilutional hyponatraemia and  
18 the fact that it could lead to cerebral oedema.

19 A. I can't say I wasn't aware of it, but it certainly  
20 wouldn't have been top of my mind, and I am  
21 a neuropathologist, so really hyponatraemia means  
22 something else to a neuropathologist in most  
23 circumstances.

24 Q. And just so that we finalise the point I was asked to  
25 clarify with you, which is if you had been reading

1 Claire's medical notes and records, are you saying  
2 therefore that when you got to that page, 090-022-056,  
3 which I have pulled up before, which is Dr Stewart's  
4 entry, you wouldn't, or would you, have appreciated that  
5 link in the first line?:

6 "Hyponatraemia. Query if that arose from fluid  
7 overload and low-sodium fluids."

8 A. I would have recognised that as a cause of  
9 hyponatraemia, yes. I get back to the point about  
10 the -- I would love to be able to have the time to read  
11 and understand hospital notes before a post-mortem, but  
12 pragmatically it's not possible.

13 Q. No. I quite understand, but you have put forward two  
14 different reasons. One is pressure of time to do it and  
15 I think everybody can understand that. You're not alone  
16 on the pressure of time point. The second is whether,  
17 if you had read it or read the notes, you would have  
18 actually understood them. And your second point seemed  
19 to me earlier when you were giving your evidence is that  
20 her notes were complex and you wouldn't have understood  
21 them. And I have been trying to ascertain what it is  
22 you wouldn't have understood. You have quite  
23 a distinguished educational record, medically, if I can  
24 put it that way.

25 A. If I had read that, I can understand the fluid overload

1 causes hyponatraemia, yes, I understand that. And I can  
2 understand how fluid overload would cause hyponatraemia,  
3 yes.

4 Q. So what Dr Stewart is querying is whether Claire's  
5 hyponatraemia of 121 actually arose because she was  
6 fluid overloaded. That's what he's querying. If you  
7 leave aside the second line; the second line is  
8 a different route. That first line is querying if she  
9 could have got to a serum sodium level of 121 because  
10 she was overloaded with low-sodium fluids. I think  
11 you have just said you would have understood that.

12 A. I would have understood that, yes.

13 Q. So if you'd seen that, is that not the very thing that  
14 you might have raised with the clinicians as: where does  
15 this take us? I'm not sure that I fully understand the  
16 mechanism of that, but this is a paediatric clinician  
17 suggesting that that's how she's got to 121, that's  
18 a very serious hyponatraemic level, can we discuss what  
19 the implications of that might be?

20 A. Well, I think that's fair. I think we did say that on  
21 the clinical history, as was provided, there were three  
22 causes of hyponatraemia. As far as I'm aware, that is  
23 the only entry that points towards the fluids --

24 Q. Yes.

25 A. -- as a cause of hyponatraemia. So to find that in --

1           you say it's a short amount of notes, but they are still  
2           quite complex -- would be maybe not as easy to do before  
3           a post-mortem. Also, it wasn't mentioned in the  
4           clinical history. You would think that if it was  
5           seriously considered that it would be offered to the  
6           pathologist as something to consider.

7    Q. But one of the reasons why you're being asked to do an  
8           autopsy at all is because the clinicians don't really  
9           know. There are some differential diagnoses that they  
10          have, but they don't seem to actually know how it is  
11          that Claire has died. They have got some routes to it,  
12          to her cerebral oedema --

13   THE CHAIRMAN: That's the point. The point that you made  
14          earlier was that the main focus of this autopsy is  
15          diagnostic. It's not learning and it's not teaching,  
16          it's diagnostic.

17   A. Yes.

18   THE CHAIRMAN: Because you can't learn and you can't teach  
19          unless you get a reliable, accurate autopsy report,  
20          which diagnoses what went wrong. That then becomes the  
21          learning point, doesn't it?

22   A. We all learn from autopsy, but going back --

23   THE CHAIRMAN: Sorry, the reason why you learn from autopsy  
24          is because you get a result from the autopsy, most of  
25          the time, which identifies what went wrong.

1 A. Yes, which is the value of how we deal with our autopsy  
2 material in Belfast.

3 THE CHAIRMAN: That's exactly the point, doctor.

4 A. Yes. With a combined meeting. On the clinical request  
5 form, the issues that were raised in order of clinical  
6 importance -- there were four issues, all of which could  
7 have caused her presentation and her death. That was  
8 plenty to be going on with to a neuropathologist  
9 starting a post-mortem.

10 MS ANYADIKE-DANES: Very well. The other thing I was asked  
11 to ask you about is how it was, when you were answering  
12 me, you read the information on the autopsy request form  
13 as if Claire did herself had diarrhoea. You did that,  
14 if I remember correctly, with an association between,  
15 I think it was a few loose stools and the fact that the  
16 cousin had diarrhoea.

17 A. And that Claire had vomiting.

18 Q. And that she had vomiting.

19 A. I think the vomiting is very important.

20 Q. Yes, but it's how you got to the diarrhoea point. You  
21 read that as if Claire herself had diarrhoea.

22 A. I don't think that's the way the question was asked.  
23 I think it was asked, "Would it suggest to you that".

24 Q. Yes, sorry. And you said it would have suggested that  
25 to you, I thought. I may be wrong.

1 A. It would have suggested to me that she had  
2 a gastrointestinal infection. The loose stools is  
3 not -- she had no lower intestinal symptoms. She did,  
4 from the history, have lower intestinal symptoms. She  
5 had a number of loose stools --

6 Q. But she didn't have a number of loose stools, other than  
7 is recorded on this.

8 A. As I read. Was I not asked as I read the history?

9 Q. Yes, exactly.

10 A. And as I read the history, that information was there.

11 Q. Which is why I tried to develop it with you a little  
12 further. If that was incorrect, if she hadn't got loose  
13 stools and in fact the association with her cousin is  
14 something that happened, but is not causally related,  
15 let's say, necessarily to her presentation -- if that  
16 connection had been taken away from you and all you had  
17 was a child who had vomited a few times before she was  
18 taken to hospital on the Monday early evening, if that's  
19 what you had then you might have to, might you not,  
20 think more broadly as to whether there is  
21 a gastrointestinal infection? A child can vomit for any  
22 number of reasons.

23 A. Yes, but I think that is not the way the question was  
24 asked. The question was asked first of all with the  
25 cousin being in the picture.

1 Q. Yes.

2 A. If Claire just had vomiting, of course of the whole  
3 differential widens. Yes, it does widen. But as  
4 presented, her cousin had diarrhoea and vomiting, Claire  
5 had vomiting three days later. That's a common  
6 association and I think that's the way the question was  
7 asked.

8 Q. Exactly, that's why I'm putting it that way. So if some  
9 of that is factually incorrect, the point I'm getting at  
10 is that it influences the way you approach your  
11 investigation.

12 A. Yes.

13 Q. Thank you. One other omission from it, which I omitted  
14 to raise with you, is although it talks about the  
15 medication that she was treated with. She was treated  
16 with, it says IV phenytoin and IV valproate, and then it  
17 talks about the acyclovir and the cefotaxime that is  
18 given; it doesn't mention midazolam. In fact, it  
19 doesn't say anything about the quantity or the amount or  
20 the dose or anything of that sort on that anticonvulsant  
21 medication. It now appears that Claire received an  
22 overdose both of the phenytoin and the midazolam. In  
23 fact, quite a significant overdose. If you had known  
24 that, would that have raised any queries for you?

25 A. If I had been aware that Claire had an overdose of any

1 medications then I wouldn't have performed the  
2 brain-only consented post-mortem. I would have taken  
3 advice. Like Raychel, if there's something that points  
4 you in a direction away from a usual hospital consented  
5 post-mortem, then you wouldn't do it. There was nothing  
6 in what was presented to me that led me down that  
7 direction. If someone says to me, "I think Claire or  
8 another patient might have had too much medication",  
9 then that is immediately a referral to the coroner.

10 Q. Thank you. So if you had been told that she had  
11 received an overdose of phenytoin and an overdose of  
12 midazolam, you would not have been happy to have carried  
13 on with a consent-only autopsy?

14 A. I would have passed it to my consultant, but I'm sure  
15 they wouldn't have taken it ...

16 THE CHAIRMAN: Is that who you meant when you said you would  
17 have taken advice?

18 A. A registrar in neuropathology is not going to refer to  
19 the coroner. You pass it up to your consultants.

20 THE CHAIRMAN: The people you would have gone to for advice  
21 were, what, Dr Mirakhur and Professor Allen?

22 A. And I'm sure they would have liaised with the  
23 appropriate authorities. You can't do a consented  
24 post-mortem if you suspect that there is something  
25 untoward in that direction.

1 MS ANYADIKE-DANES: And is that your practice now? As  
2 a consultant, if you'd have that information now, so  
3 you're in the position of your registrar coming to you,  
4 what would be your decision now?

5 A. Oh, I would talk to the coroner. Well, I would talk to  
6 the clinician who had referred the case in the first  
7 instance and suggest they refer the case to the coroner.  
8 I think I wouldn't do it myself. If that didn't  
9 happen --

10 Q. Yes, and I think in your evidence you have said that  
11 in the past you have actually referred cases that came  
12 to you as consent-only autopsies to the coroner.

13 A. Probably more than anybody else in the Trust.

14 Q. Thank you. I just wanted to ask you a few things about  
15 the neuropathology day book, the reference for that is  
16 302-070B-007. That records you as the pathologist.

17 A. Mm-hm.

18 Q. Is there a reason for that?

19 A. That seemed to be the procedure in the department at the  
20 time, that the registrar who did the post-mortem was ...  
21 A chain of events started, a sequence of events that  
22 identified the person who did the post-mortem with the  
23 post-mortem, and the name of the doctor -- in this case  
24 me -- was entered in the various recording devices that  
25 we have. One is the day book and one is the provisional

1 anatomical summary and on the final post-mortem. It was  
2 like a default initiating from the time of the  
3 post-mortem.

4 Q. Sorry, a default from the time of the post-mortem? The  
5 post-mortem hasn't happened at this stage.

6 A. Oh, it has.

7 Q. Ah, it has?

8 A. Yes. Brain only post-mortem. This day book records  
9 when the material is received back in the laboratory.

10 Q. Ah, I see. Does that mean that at this stage you've  
11 received the autopsy request form?

12 A. The post-mortem's already been done.

13 Q. So you have received the post-mortem request form?

14 A. Yes, I think so.

15 Q. Why is it then that her ward number isn't included and  
16 her name is misspelt? Is there any particular reason  
17 for that?

18 A. It's not my entry. I didn't enter it in the book.

19 Q. Who's actually responsible for checking the details in  
20 this book?

21 A. That was 1996. I'm not sure who all the staff were  
22 then.

23 Q. No, I don't necessarily mean the name of the individual.  
24 Who's got the position of checking the entries in the  
25 book?

1 A. I think whoever enters the information should be the  
2 person who's responsible for checking that detail.

3 Q. Okay. There were some further points that I have to ask  
4 you in relation to the clinical notes and records. The  
5 autopsy report itself makes no reference to any of the  
6 clinical documentation from the case record. Is there  
7 a particular reason for that? Because you hadn't --

8 A. Sorry?

9 Q. The autopsy report itself doesn't actually record  
10 anything from the clinical notes and records. Is that  
11 because you hadn't read them, you were relying --

12 A. I think I have made the point since last December that  
13 I didn't write -- I thought I'd written the report  
14 at the time, but it's now my ... I'm pretty confident  
15 that I didn't write the pathology report in this case.

16 Q. Yes. When you were answering the chairman a little  
17 earlier this morning, we saw a number of drafts.

18 A. Yes.

19 Q. And some of those drafts have -- well, we'll ask  
20 Dr Mirakhur whether they're her insertions, particularly  
21 the one that we saw at 090-054-186.

22 Do I understand you to say that you didn't prepare  
23 any of those drafts, that it's all Dr Mirakhur or  
24 somebody else's work?

25 A. I think it's all Dr Mirakhur's work, and I can provide

1           you with an explanation as to why I think that if that's  
2           helpful.

3   Q.   Yes, of course.

4   A.   If we go to 090-054-178, it's a knowledge of the  
5           procedures that occur during post-mortems.  If we start  
6           at "Further blocks, Dr Mirakhur".  What happens during  
7           the examination -- I'm sorry if this is difficult for  
8           Mr and Mrs Roberts here.  It's getting towards  
9           pathology, just so they know that we may be talking  
10          about fairly sensitive issues.

11                 When you examine the brain after death, you do it in  
12                 various stages, and you take pieces of tissue.  That was  
13                 done initially, I think late November or in December.

14   Q.   Maybe just pause a moment.  (Pause).

15   A.   There are various stages of the examination and this  
16           refers to a stage on 31/1/97 where Dr Mirakhur went back  
17           and examined the tissue to make some more observations.  
18           "EBS out to Dr Mirakhur."  This would indicate that the  
19           further examinations she did, the slides were provided  
20           to her on 6/2/97.

21                 Then if we go to 090-054-186, all of this  
22                 handwriting is Dr Mirakhur's handwriting.  Can we see  
23                 more of this document?

24   Q.   Yes, the next page.  Actually, I think it's the last  
25           page you want.  If you bring up the first page and the

1 last page, 188.

2 A. This is her writing as well. And also -- it's not  
3 something I concentrated on at the time, but because we  
4 found these documents, I thought I should explain why  
5 I think Dr Mirakhur has written this. The language,  
6 obviously -- we know how we write our own reports and  
7 that is I think how she writes her language. So the  
8 fact that the slides, the extra blocks, the slides went  
9 out to her, the report is drafted by her and edited by  
10 her. It's her language. But also the material we used  
11 subsequently for the CPC, she has prepared herself and  
12 written on herself. We tended only to present cases  
13 that we had completed ourselves. So when I was making  
14 my point last December, I tried to be as certain as  
15 possible about who had written the report.

16 The other -- if you look at the handwritten bit  
17 under "brainstem", and see how the paragraph starts,  
18 "The sections show ...", each of the previous paragraphs  
19 start the same way. There's consistency of language.

20 THE CHAIRMAN: Is that her handwriting, do you believe?

21 A. Yes, it's absolutely her handwriting.

22 MS ANYADIKE-DANES: You did the cuts, didn't you?

23 A. I was present at the initial post-mortem and I did the  
24 brain cut, but I think everything at the end --

25 Q. If we pause there. Would you have provided her with

1 a summary of whatever you did or saw that she would then  
2 use and incorporate into the final report?

3 A. The brain description --

4 Q. Yes.

5 A. -- was dictated at the time.

6 Q. That's yours?

7 A. I think that's all of mine.

8 MR FORTUNE: Sir, before we leave this particular topic, my  
9 learned friend referred to whether or not -- and indeed  
10 asked Dr Herron whether there would be any reference to  
11 entries in the clinical records. I do not know what my  
12 learned friend had in mind, but was my learned friend or  
13 is my learned friend expecting particular references to  
14 the clinical records and, if so, where should they  
15 appear in the post-mortem report?

16 MS ANYADIKE-DANES: As part of the clinical summary.

17 MR FORTUNE: But in any other part?

18 MS ANYADIKE-DANES: Well, it's not my report. Part of the  
19 clinical summary will give you the background that  
20 you have gleaned, presumably, from the autopsy request  
21 form and anything else you see in the notes and part of  
22 the reconciliation that you're trying to achieve in the  
23 comment may also lead you to refer to them. I'm not  
24 wishing to give evidence from the stand though.

25 THE CHAIRMAN: For instance, if there is something in the

1 clinical summary that you look at that doesn't seem to  
2 be accurate, that leads you to go into the notes more,  
3 then that will emerge in the clinical summary, which  
4 goes into your report? Am I right in understanding that  
5 the clinical summary in this report does not have to  
6 parrot the clinical summary which is given in the  
7 autopsy request form?

8 A. That's quite a complex question. You'll find that  
9 everybody has different techniques. I think it'd be  
10 worth a couple of minutes just to establish that.

11 THE CHAIRMAN: Sure.

12 A. Some people write exactly what is presented to them.  
13 They think they've been provided with a legal document  
14 and they will copy that. Some will use that as --

15 THE CHAIRMAN: That can't be right that that's done, surely,  
16 doctor, can it?

17 A. Some people ...

18 THE CHAIRMAN: When this autopsy report is done, it becomes  
19 the report of the pathologist.

20 A. I'm just saying there are different techniques. Some do  
21 that. Some add to it with various other conversations  
22 that they may have had about a case.

23 THE CHAIRMAN: Okay.

24 A. I think Professor Lucas has said his coroner -- and  
25 I think maybe some of ours -- don't like any history in

1           this bit at all because it's often wrong. And what  
2           a lot of my forensic colleagues will do as well is they  
3           will preface with it a paragraph saying, "I can't stand  
4           over anything that I'm going to write in the next  
5           paragraph". So it's not really straightforward and  
6           there are lots of different ways of presenting the  
7           information there.

8   THE CHAIRMAN: Okay.

9   A. I think the way we get round that is to -- when we do  
10          our combined clinicopathological meeting, the  
11          pathologist doesn't present the history. It is the  
12          clinicians who present the history, not us.

13   MS ANYADIKE-DANES: If you did the brain description --  
14          sorry.

15   MR FORTUNE: Sir, if we look at the clinical summary and the  
16          contents of the autopsy request form history, the two  
17          bear a remarkable similarity, one to the other.

18   THE CHAIRMAN: Yes.

19   MR FORTUNE: The words may have been changed slightly in  
20          some instances, but it may lead you, sir, to the  
21          inference that the clinical summary has effectively been  
22          all but lifted out of the autopsy request form.

23   THE CHAIRMAN: And that's one of the concerns.

24   A. But it is common.

25   THE CHAIRMAN: That's of course one of the concerns,

1 Mr Fortune, because if the clinical summary that comes  
2 to the pathology department is wrong to start with, then  
3 the concern because of time pressures and other issues  
4 raised by Dr Herron -- whether that in essence becomes  
5 a mistaken summary which is taken as read and is  
6 repeated on through. Some of this comes back to much  
7 earlier notes, which go back a few days. So the  
8 difficulty, doctor, seems to be that once an error  
9 creeps into the notes, there's a risk that it's going to  
10 be repeated right through.

11 A. That's a fact of medicine. You'll find that quite  
12 often. I'm not talking about Claire, but in other  
13 cases. If something is mentioned in a letter, you're  
14 reading the letter, like a clinical letter, and it  
15 follows -- I'll give an example. A patient with  
16 inflammatory bowel disease may be called by one person  
17 ulcerative colitis on an impression -- most of us will  
18 know roughly what that means -- and it follows through,  
19 but they may have actually a slightly different disease,  
20 Crohn's disease, which has a different management  
21 structure. Once again, it perpetuates.

22 MR FORTUNE: It takes us all the way back arguably to the  
23 first entry in the Accident & Emergency department.

24 THE CHAIRMAN: Yes, it does.

25 MR FORTUNE: Also, it follows as to whether the charts were

1           actually inspected at any time.

2   MS ANYADIKE-DANES: That is a question and I think, in  
3           fairness, you said you can't remember whether that  
4           happened.

5   A. I can't remember.

6   Q. But it is part of guidance that within whatever are your  
7           time constraints, that that should happen. The last  
8           reference for that is 236-007-077. If you see there  
9           under "Necropsy examination":

10                 "Patient notes and consent forms should be studied  
11                 carefully, particularly in relation to clinical problems  
12                 and then possible limitations placed on the examination  
13                 by relatives."

14                 It's not so much that part because it was  
15                 a brain-only that you were being told to do, but it  
16                 relates to the clinical problems, and you had four of  
17                 them. That's the point that I have been trying to  
18                 explore with you. Then when I had raised with you the  
19                 issue about the medication, although you didn't know  
20                 about the midazolam, other anticonvulsant medication is  
21                 indicated on the autopsy request form under that  
22                 history, isn't it?

23   A. Yes.

24   Q. The phenytoin and the sodium valproate. The second of  
25           the clinical problems you're asked to consider is the

1 status epilepticus.

2 A. Mm.

3 Q. So in terms of trying to confirm whether there actually  
4 was status epilepticus, is it not relevant to know how  
5 well she responded to the drug therapy that was being  
6 administered to her?

7 A. That wouldn't help a neuropathologist in coming to  
8 a conclusion as to whether or not there was  
9 status epilepticus.

10 Q. No, you might be able to say, "I don't see evidence of  
11 it", but you might raise a query as to whether it  
12 existed at all, not only because you can't see any  
13 evidence of it, that's the pathology side of it, but  
14 also if one looks at the medical notes and records, the  
15 child doesn't seem to have responded in particular to  
16 it.

17 A. The way I would have read the autopsy request form was  
18 that she had a clinical history suggestive or that might  
19 raise a status epilepticus -- she was given  
20 anti-epileptic medication, and that was just information  
21 that was provided.

22 Q. Why did you read the history of presenting illness as if  
23 she had a clinical history that might give rise to  
24 status epilepticus?

25 A. No, that's not what I meant. In the list of problems to

1           be considered on page 2, I think status epilepticus was  
2           mentioned.

3    Q.   It is, but ultimately, is not part of what you're trying  
4           to do is to reconcile this evidence with the evidence  
5           that you could find on autopsy with you being told what  
6           the problem is.  So are you not looking to see, "How  
7           does that status epilepticus get in there in the first  
8           place?"

9    A.   It was one of the things that could be considered for  
10           her presentation.  I'm not sure ...  You need to ask me  
11           the question again.  I'm not really sure what you're  
12           asking me.  The history suggested -- sorry.  The list of  
13           clinical problems -- I don't have it in front of me.  
14           One of the causes --

15   Q.   It's okay, it's 090-054-184.

16   A.   One of the issues was status epilepticus and she was  
17           given medication that would treat epilepsy.  It seemed  
18           reasonable as it was presented to me.

19   THE CHAIRMAN:  Okay.

20   MS ANYADIKE-DANES:  Okay.  If we move on now to just prior  
21           to your post-mortem, so you've received the autopsy  
22           request form, you know what it is, whether you glean it  
23           simply from this form or your consultant or you discuss  
24           with the clinician.  You know what it is you're being  
25           asked to look for.  Does anyone mention to you about

1 developmental delay, that that's something they would  
2 like to know the answer to?

3 A. On the clinical history --

4 Q. Yes.

5 A. -- the page previous to this --

6 Q. Yes, it has "mental handicap" under the past medical  
7 history.

8 A. Yes.

9 Q. Then if you look under the clinical presentation part,  
10 it says there is a history of mental handicap. So there  
11 are two references to it, but did you understand part of  
12 what you were being asked to explore, even though it's  
13 not put as a clinical problem, that that is something  
14 you were being asked to address?

15 A. That was addressed, I think.

16 Q. No, did you understand that was one of the things you  
17 were to look for?

18 A. I think of course you would look for it. It's part of  
19 the history.

20 Q. Okay. So you're then at the point of about to start  
21 your work. There was an issue I had raised with you  
22 before about the extent to which there are discussions  
23 with clinicians. And just so that we're clear, the  
24 guidance indicates that that is what should happen,  
25 particularly in a complex case?

1 THE CHAIRMAN: It's wise for it to happen.

2 MS ANYADIKE-DANES: Yes. And I think you have acknowledged  
3 that this probably was a complex case.

4 A. Yes.

5 Q. And I think the only part you're not clear on is whether  
6 such discussion actually took place.

7 A. No, I can't remember.

8 Q. But is your evidence that, just to confirm, that it  
9 would have been a good thing for it to have happened?

10 A. In every case, I would like to have a discussion  
11 beforehand, not just complex cases.

12 Q. I mean this particular case.

13 A. It would have been useful, yes.

14 Q. If it's useful, why in particular would you have thought  
15 it would be helpful in this case to have had  
16 a discussion with the clinicians?

17 A. I get back to my point: in every case it would be useful  
18 so as they can -- if there's something on this that they  
19 could add to, maybe they've got more results back that  
20 aren't listed on this. Just a general talk about the  
21 case in order to help you to focus on what you needed to  
22 do during the autopsy.

23 Q. Let me put it slightly differently to you. Looking now  
24 at the information that's on this autopsy request form,  
25 what is it you would have liked to have discussed with

1 the clinician?

2 A. I would have discussed what was -- nothing more unless  
3 they had something they wanted to discuss with me and  
4 could have added to it. There was enough information on  
5 this form for me to take the case forward.

6 Q. Sorry, then I'm not understanding what you're saying.  
7 I thought you had just conceded that this is a complex  
8 case. Like the guidance says, it's wise in a complex  
9 case to have those sorts of discussions. You had  
10 earlier said that you would have liked to have  
11 a discussion like that if time permitted. All I'm  
12 trying to explore is: had you had the opportunity to do  
13 it, what would you have been wanting to discuss?

14 A. I would have discussed issues around the history that  
15 was provided.

16 Q. In particular, what would you have wanted to know?

17 A. Nothing in particular. The more conversations and the  
18 more information you can get about a case, the better  
19 you can focus your attention on to it.

20 MR FORTUNE: Sir, would Dr Herron have liked to have known  
21 whether a CT scan had been performed or an EEG had been  
22 performed and, if so, with what results?

23 A. If that information was available, yes, that would have  
24 been useful.

25 MS ANYADIKE-DANES: No, would you have wanted to know that?

1 A. I don't think it would have influenced what I was going  
2 to do next in the post-mortem.

3 Q. Well, if there had been a CT scan before her terminal  
4 cerebral oedema developed, would you not have wanted to  
5 be able to compare the before and after, if I can put it  
6 that way?

7 A. I don't think that's necessary. You don't always --  
8 especially in 1996, you didn't have all the results of  
9 every X-ray that was available to you before you started  
10 a post-mortem.

11 Q. That's a different question that you're answering. I'm  
12 asking you: would you have wanted to know if there was  
13 one so that you can compare? For example, in the case  
14 of Adam Strain, there was an earlier CT scan, which they  
15 were then able to compare to see his brain in its normal  
16 state, if I can put it that way, with his brain when it  
17 was grossly oedematous. I'm asking you: would you have  
18 wanted to know if there was a CT scan?

19 A. Any information is useful. If there had been a CT scan  
20 and there was a result of the CT scan, that would have  
21 been useful information.

22 Q. And similarly --

23 A. And a result of an EEG. Any information is useful.

24 Q. Because the EEG would have told you something, would it  
25 not, even if you couldn't yourself interpret it, you

1           could have asked a radiologist to interpret it for you,  
2           would have told you something about the activity in her  
3           brain and the likelihood therefore of it being  
4           status epilepticus?

5   A.   Not necessarily.  Certainly I'm not an expert on EEGs.  
6           The only time I've ever found an EEG useful -- I only  
7           remember one occasion in 20 years where I've found the  
8           knowledge of an EEG result useful before a post-mortem  
9           was when the EEG showed a focal abnormality in  
10          a particular part of the brain that could be focused on  
11          in a post-mortem.  I have never found the knowledge of  
12          it having happened or the result of it useful in any  
13          other case as far as I remember.

14  Q.   Well, if the EEG had ruled out status epilepticus or  
15          made it highly unlikely, presumably that's material to  
16          you?

17  A.   I don't know enough about EEGs to know that that is --  
18          that an EEG, first of all -- I know that a negative EEG  
19          doesn't exclude epilepsy and I'm not sure that an EEG  
20          can diagnose status epilepticus in every case.  I don't  
21          know enough about EEGs, so I don't know how much it  
22          would have helped me.

23  Q.   Precisely, Dr Herron, that's what you'd have done.  if  
24          you ha got it, presumably you would have sent it off to  
25          a radiologist to get their interpretation of what that

1 EEG is showing.

2 A. No, not as a neuropathologist. That is a clinical issue  
3 that can be dealt with by the clinicians --

4 THE CHAIRMAN: Sorry, doctor. Can we bring up the following  
5 page beside 183? Bring up 184. The autopsy request  
6 form is designed at the top of the second page for the  
7 requesting doctor to list in order of importance the  
8 clinical problems.

9 A. Mm.

10 THE CHAIRMAN: And that order of importance presumably has  
11 some weight.

12 A. Yes.

13 THE CHAIRMAN: So if there has been an EEG which has made it  
14 less likely that status epilepticus is the problem, then  
15 status epilepticus goes down the list, if it stays on  
16 the list at all.

17 A. Yes. My point is, I don't know that an EEG --  
18 personally I don't know that an EEG can diagnose or  
19 exclude status epilepticus.

20 THE CHAIRMAN: But the requesting doctor does --

21 A. I'm sure they do. I don't.

22 THE CHAIRMAN: -- particularly because the requesting doctor  
23 here had some support, to put it neutrally, from  
24 Dr Webb, from a paediatric neurologist; right?

25 A. Yes.

1 THE CHAIRMAN: So the doctors who are involved in referring  
2 Claire to you with the consent of Mr and Mrs Roberts for  
3 a limited autopsy only on her brain can give you certain  
4 information.

5 A. Yes.

6 THE CHAIRMAN: Right. And the issue here is that they gave  
7 you information, but there is a significant issue about  
8 the accuracy or completeness of that information.

9 A. Okay.

10 THE CHAIRMAN: And the questions which you are being asked  
11 are focused on the point about the advantages, in  
12 a complex case, of you having some discussion with the  
13 consultants before you conduct the autopsy.

14 A. Okay.

15 THE CHAIRMAN: I understand your concerns about -- if you're  
16 underworked in that time, you seem to be the only doctor  
17 at that time in the Royal who was underworked, so  
18 I entirely accept that you weren't underworked. But in  
19 order for you to be able to carry out your role as best  
20 that you can in the circumstances. You need some  
21 support in a complex case from those who were involved  
22 in treating the dead girl.

23 A. Yes.

24 THE CHAIRMAN: And what doesn't appear, on the face of this  
25 two-page document, which came to you, is some of the

1 information which they had or might be expected to have  
2 had.

3 A. Okay. I understand the point.

4 THE CHAIRMAN: That's the point in a complex case about  
5 creating -- even if it's only a few minutes to speak to  
6 somebody on the phone. This doesn't have to be "I'll  
7 meet you at 10 o'clock on Wednesday morning and we'll  
8 set aside half a hour for it". You can do it much more  
9 conveniently than that, can't you?

10 A. I think I was trying to say I agree with that point,  
11 that any information and any conversation is beneficial.  
12 I can't remember if it did or if it didn't happen in  
13 Claire's case. I mean, you were asking me about what  
14 specific issues -- and I don't know that I'm referring  
15 to any specific issue, just the more conversation, the  
16 more information that I can have --

17 MS ANYADIKE-DANES: I understand.

18 A. -- the more I can focus.

19 Q. I think what I was trying to ask you about on foot of  
20 what Mr Fortune was trying to ask you about is the  
21 extent to which you would want to understand the basis  
22 of the clinician's view that those were the clinical  
23 problems.

24 A. And that's where a conversation is very useful.

25 Q. And that would be very helpful --

1 A. I agree with you, yes.

2 Q. -- to know the strengths of the evidence for any of  
3 those four things.

4 A. Absolutely.

5 THE CHAIRMAN: And you're not saying that there wasn't  
6 a discussion, but only that you can't remember?

7 A. I can't remember if there was a discussion.

8 MS ANYADIKE-DANES: Thank you.

9 MR FORTUNE: Sir, can I just deal with two matters? You  
10 presumed, sir, that Dr Herron would know that Dr Webb  
11 was a consultant neurologist and that Dr Steen was  
12 a consultant paediatrician. My learned friend referred  
13 to the EEG being read by a radiologist. It would either  
14 be a neurologist or a neurophysiologist, by way of  
15 correction. But that report would have been in the  
16 charts and would have told Dr Herron one way or the  
17 other whether status epilepticus had been identified.

18 THE CHAIRMAN: If Dr Herron had ... Sorry, Mr Fortune, the  
19 more I hear this morning, the more it seems to me that  
20 this is the critical form because the amount of time  
21 that Dr Herron has to start going through the records is  
22 limited. It gives it all the more greater weight and it  
23 makes it all the more important that the information in  
24 this is complete. Dr Herron says it's more detailed  
25 than usual, so that's clearly a point in Dr Steen's

1 favour.

2           Unfortunately, in this case, there are parts of it  
3           which are of questionable accuracy and it is still ...  
4           Some of the listings of the clinical problems and the  
5           order in which they are listed or the completeness of  
6           that list is open to question.

7 MR FORTUNE: Sir, just dealing with the omissions -- and  
8           ultimately this will be something for submissions --  
9           there are two things in Dr Steen's favour. Firstly, the  
10          charts are available. Secondly, there must be a general  
11          expectation that anything the neuropathologist cannot  
12          find or wants to know more about, there is indeed the  
13          telephone number at the end of the form.

14 THE CHAIRMAN: Yes.

15 MR FORTUNE: And the expectation is that Dr Herron would  
16          pick up the telephone to one or other of the named  
17          consultants.

18 MS ANYADIKE-DANES: If you think also about the possibility  
19          that there was a viral encephalitis -- that's one of the  
20          things you're being asked to consider. If that's the  
21          case, might it have occurred to you that you might want  
22          to know more about whether there was any systemic  
23          infection in Claire? And if you had wanted to know  
24          that, could that have pointed to the query as to, "Well,  
25          would it not be more satisfactory in terms of getting

1 a better answer not to confine the autopsy to only the  
2 head"?

3 A. The ... If you look at the four things that are listed,  
4 three of those are completely cerebral diseases, and  
5 I'll qualify that in a minute. Inappropriate ADH  
6 secretion is going to be a clinical and biochemical  
7 diagnosis, so the autopsy is not going to help us very  
8 much there. Viral encephalitis with the history that  
9 was provided, the history provided does suggest she had  
10 a gastritis or gastro-enteritis. If the autopsy had  
11 been extended -- and I think Dr Squier maybe makes this  
12 point -- in my own experience and personal opinion --  
13 and it's just an opinion -- I don't think we would have  
14 gained very much more information. We may have done,  
15 I can't rule that out. I don't think we would have.

16 If you had looked at the gut to look for the virus,  
17 unfortunately the tissues in the gut deteriorate very  
18 quickly after death and you can't see. Generally, you  
19 can't see inflammation. If you had found a virus in the  
20 gut, all that would have told you was that there was  
21 virus in the gut. And I'm sure lots of children have  
22 bugs of all sorts there. It may have given you a cause  
23 of the gastroenteritis or the gastritis or the gastric  
24 disease. I still don't think that would have told you  
25 if the child had viral encephalitis or not. It would

1           have confirmed what you probably thought was the case  
2           already, that there was a gastric infection.

3    Q.   Yes, but the viral encephalitis is the only one of the  
4           four which actually has a query over it.  You're right  
5           if you look under the history of the present illness,  
6           there is a suggestion -- and you have interpreted it in  
7           that way -- that something's going on in the gut, if I  
8           can put it that way.  Whether or not that has proceeded  
9           to or developed into a viral encephalitis is something  
10          that they're not actually sure.  There's no question  
11          mark over the first three, but there is over the fourth.  
12          You're right to say that Dr Squier has raised it.  She  
13          queries whether if you were thinking about a systemic  
14          infection, you might want to expand it to a full  
15          autopsy.

16   A.   Yes.

17   Q.   She also says, if one deals with the cerebral oedema --

18   THE CHAIRMAN:  I think -- let's keep the questions tight.

19   A.   It's my personal experience that -- and I've dealt with  
20          cases before that were thought to have gut infections.  
21          It's very unrewarding.  It doesn't take you much  
22          further.  Maybe you would have found something, but  
23          I prefer the explanation of Professor Lucas.  This  
24          presentation, outside the gut, was a cerebral  
25          presentation almost entirely until the end.  You could

1 question whether you could look at the lungs, but when  
2 she came in, she was examined several times. She had  
3 her chest examined and it was normal. There were X-ray  
4 findings in the end, but there wasn't any concern that  
5 she had a chest disease. What happened in the chest --  
6 not as a paediatrician, but I'm offering an opinion  
7 based on similar cases -- was probably a consequence of  
8 everything else that happened. So I don't think we'd  
9 have got very far with her chest, I don't think we'd  
10 have got very far with her gut, and I don't think there  
11 was any disease elsewhere that could be a focus of what  
12 was going on in her head. I can't exclude that, I don't  
13 know, because I haven't looked.

14 But more critically and far more important, as  
15 Mr O'Hara will know from previous inquiries, this was  
16 a consented post-mortem for brain-only and it was the  
17 first time that I had ever seen it underlined,  
18 "brain-only post-mortem." That is consent.

19 THE CHAIRMAN: So if you want to extend it beyond that,  
20 you have to go back to the requesting doctor to get her  
21 to go back to the parents to say, "The pathologist has  
22 raised --

23 A. Mr and Mrs Roberts have already lost their daughter.  
24 They've probably had a very difficult conversation about  
25 consent for a post-mortem. If you raise -- I mean,

1 Dr Steen and the rest are experienced clinicians as well  
2 and they know where to focus, I suppose, the questions.  
3 If someone were to have said to me then, "Would  
4 extending the autopsy have significantly made  
5 a difference?", my honest opinion was I don't think so.  
6 And to say that you must do this, there's an element of  
7 maybe bullying the family into a decision that they may  
8 not want, I don't know about the Roberts family  
9 themselves, for something that may not have any reward.

10 THE CHAIRMAN: In making this point, doctor, are you  
11 distinguishing between the likely reward that you would  
12 get out of extending the autopsy so that if you thought  
13 that there was something potentially important which was  
14 likely to be revealed on an extended autopsy, in that  
15 situation you would go back and say, "I really think  
16 we'll have to go back and do more -- [OVERSPEAKING]"?

17 A. That happens quite often. Dr Steen's obviously very  
18 experienced, but with junior doctors asking you  
19 sometimes, you know -- I had a case two weeks ago: could  
20 you confine this to the chest? It was an adult.  
21 "Could you confine the autopsy to the chest?" I said,  
22 "I could, but you may not get any answers", and you're  
23 then going to get into a situation where you've had  
24 a limited consent for a chest only post-mortem, you're  
25 going to find nothing, and that's going to be

1           unsatisfactory for everybody. I would suggest, doctor,  
2           that before you take consent, that you consider  
3           extending it further. But once consent is taken,  
4           consent is taken and, as I say, this is the first time  
5           I'd actually seen it underlined.

6 MS ANYADIKE-DANES: Can I just pick up on that point? Does  
7           that mean that it's quite possible to have a discussion  
8           between the clinician and the pathologist before the  
9           consent is taken as to what the scope, if I can put it  
10          that way, of the autopsy might be?

11 A. That does happen sometimes.

12 Q. And so effectively, your advice is being sought -- or  
13          maybe in collaboration with a clinician -- if these are  
14          the things we are seeing, you can then offer some advice  
15          as to whether you are likely to produce very much by way  
16          of answers and assistance if it's confined in this way  
17          or confined in that way?

18 A. It tends to happen with very junior doctors who have  
19          never taken consent before. It is possible, but it  
20          doesn't happen so much with senior doctors.

21 Q. Can we just pull up the consent form itself, which is  
22          090-054-185? Did you actually see this form at the  
23          time?

24 A. I wouldn't have started a post-mortem --

25 Q. You would have received it before you started the

1 post-mortem?

2 A. I think so, yes.

3 Q. When you saw that underlined in that way was it your  
4 understanding that it was underlined in that way to  
5 emphasise to you the position of the family?

6 A. I don't know what happened before it was signed. To me,  
7 the brain only is brain only.

8 Q. No, the reason I asked you that is because you said you  
9 had never actually seen one where the "brain only" is  
10 underlined that way. That's why I was asking you what  
11 did that connote to you, it being underlined in that  
12 way?

13 A. I don't know. Whoever underlined it would be the only  
14 person who'd know that, I suppose.

15 Q. Sorry, you seemed to be indicating that it conveyed  
16 something to you because it was underlined.

17 A. Certainly it limited what I could do. That is a very  
18 firm decision: brain only.

19 Q. That's the point that I'm making.

20 THE CHAIRMAN: But do I understand from what you're saying  
21 that it's a very unusual decision?

22 A. No, it's not a very unusual decision, not at all. This  
23 is not -- when the bulk of the pathology or the clinical  
24 presentation is cerebral, a brain only post-mortem would  
25 be common.

1 MS ANYADIKE-DANES: I think the chairman meant to underline  
2 it in that way would be unusual.

3 A. It's unusual to see it underlined, but maybe it was just  
4 to bring it to my attention that this wasn't to be a  
5 full post-mortem.

6 Q. As I understand it, the restrictions are very often ones  
7 that come from the family. They're concerned about  
8 disfigurement and so on and a range of other things.  
9 And if that doesn't compromise the quality of the  
10 autopsy, then obviously, given that it's consent only,  
11 the family's wishes are adhered to. If you had  
12 understood that actually there wasn't such a limitation  
13 from the family, the family were entirely neutral about  
14 that, what they really wanted to know is what happened  
15 with their daughter, and whatever autopsy investigation  
16 had to be carried out to give them the best answer to  
17 that, that is what they wanted to happen. Had you  
18 understood that, would you have had a discussion as to  
19 "well, in that case, let's have a full autopsy"?

20 A. When we receive consent for an autopsy, we must abide by  
21 the consent. I am not in a position, with the short  
22 time we have, to go into all of the conversations and  
23 whys and wherefores that have happened beforehand.  
24 That is obviously a decision that's been made with the  
25 family and with the clinician who knew what the case was

1 and that leads me entirely in my decision making.

2 Q. I put to you a slightly different question: if you had  
3 been having a discussion, which you might have had, and  
4 in the course of that discussion it became clear to you  
5 that the family weren't actually that concerned about  
6 a restriction, they simply wanted to have the best  
7 possible autopsy on their daughter to give them the best  
8 possible answer to what had happened, in those  
9 circumstances might you have considered it appropriate  
10 to suggest a full autopsy?

11 A. If the consent had come for a full autopsy, I would have  
12 done a full autopsy. If it came for a brain-only  
13 autopsy, I would do a brain-only autopsy. The people  
14 taking the consent were experienced paediatricians and  
15 clinicians who knew far better at that stage what the  
16 clinical history and the issues were than I was going to  
17 know with a short reading of the history.

18 Q. If we then move to the conduct of the autopsy itself.

19 I think you have agreed with what you thought the  
20 purpose was, which was to address those four clinical  
21 problems on the second page of the autopsy request form,  
22 and also to look at whatever might be the underlying  
23 reason for Claire's developmental delay or mental  
24 handicap, as it was termed on the form.

25 Your role, I think you have already identified what

1           that was. But can we go to the stages of the autopsy?  
2           If we look at the 1993 guidelines for the post-mortem  
3           reports themselves, it gives some stages. We can see  
4           that at 236-007-060.

5           That's neuropathology. If one looks at appendix 2,  
6           that goes through how one goes about the examination.  
7           Would you broadly agree with this as a guideline?

8   THE CHAIRMAN: It's pretty hard to disagree with it as  
9           a guideline.

10   A. I'm just reading the various bits of it. (Pause). In  
11       general, it's okay, so far.

12   MS ANYADIKE-DANES: There's a second page to it. I don't  
13       know whether it's possible to get that up as well so  
14       that we can just have appendix 2 on the one side and  
15       then the left-hand side of 236-007-061. That might not  
16       be possible.

17           If we start on appendix 2 itself, under (a) it says  
18       the first thing you do is:

19           "A careful examination of the scalp for haemorrhage  
20       or bruising."

21   A. Mm-hm.

22   Q. And presumably the haemorrhage or bruising might  
23       indicate maybe there'd been a fall. That would be an  
24       entirely different cause for some of her presentation,  
25       would it not? Well, it would, wouldn't it?

1 A. Yes.

2 Q. Did you examine the scalp in that way?

3 A. I need to give you some background as to how the autopsy  
4 was done with Claire, I think, in order to understand  
5 why maybe the observations aren't as complete as one  
6 would normally have.

7 Q. Yes.

8 A. You see on my CV that I had spent a lot of time studying  
9 encephalitis in research. The way we do that was --  
10 it's mostly in animal experiments, animal diagnostics,  
11 we were trying to produce vaccines, amongst other  
12 things. We scrubbed, wore suits, space suits, we went  
13 in and did animal post-mortems and we came out, washed,  
14 scrubbed, and out. Even doing that, quite a lot of the  
15 people who were involved developed antibodies to the  
16 virus we were working with. One suspects he got  
17 encephalitis from it and one suspects he got quite  
18 severe cardiac disease.

19 I, at the minute, with Dr Mirakhur for the last  
20 number of years have done all the high-risk post-mortems  
21 in the trust. That includes HIV, CJD and in fact a case  
22 of rabies as well. When you have a case  
23 that potentially is infectious -- one of the things was  
24 Claire had query encephalitis and she died. So we had  
25 to treat this as a case of query encephalitis and death.

1           So we do that in a very different way from how  
2           we would do a normal post-mortem. We do it in a special  
3           room that we have in the mortuary with full protection.  
4           So it doesn't allow for as much observation as would  
5           normally take place, to protect staff.

6   Q.   Doing it in a special room, does that prevent you from  
7           examining her scalp for haemorrhaging or bruising?

8   A.   No, but if it had been there, I would have mentioned it.

9   Q.   I'm only asking you if you did it.

10  A.   Yes, of course I did, yes.

11  Q.   If you do things that rule out, do you not identify what  
12           you have ruled out as well as what you're rule in?

13  A.   You can do. I accept your point that you could --  
14           I mean, a report could be pages of negatives, and  
15           I could have said there was no scalp bruising or  
16           haemorrhage, but none was suspected. This wasn't a case  
17           of traumatic death. If this was a case of a suspected  
18           non-accidental injury or something like that, you would  
19           have had pages of description, but you tailor your  
20           report according to the circumstances.

21  Q.   I'm not for one minute suggesting there was  
22           a non-accidental injury, all I'm suggesting --

23  THE CHAIRMAN: He's not suggesting that either. Dr Herron  
24           is explaining why even though you do something like the  
25           examination of the scalp, as you've asked, you don't

1 necessarily refer to all of that in this report, though  
2 you might refer to it in another report of a child in  
3 different circumstances.

4 A. Where it was relevant, yes.

5 MS ANYADIKE-DANES: Would it be appropriate to record, as  
6 a basic description of the scalp, that there was no  
7 haemorrhaging or bruising on the scalp?

8 A. Not in this case, no. If it was present, you would  
9 certainly mention it, and if it was present, the autopsy  
10 would take a whole different direction.

11 Q. Yes. But in this case, because of the history that  
12 you're given, none of that leads you to suppose that she  
13 might have fallen and banged her head and that might  
14 have been relevant and because none of that is given to  
15 you in the history, therefore it's not relevant to  
16 either look for it or seek to rule it out?

17 A. It's the first thing you're going to see if it is  
18 present because -- I'm sorry, Mr Roberts, about the  
19 detail here. To remove the brain, you have to open the  
20 scalp. If I see -- and it has happened -- if  
21 I investigate a death that is considered to be natural  
22 and I find a haemorrhage, it stops and my forensic  
23 colleagues come in. I could write a report with  
24 hundreds of pages of negatives. They're meaningless for  
25 most. You tailor your report to the disease that is

1 present. I think that is the issue.

2 Q. If we go to the next page, 061, under (b):

3 "Fresh samples should be taken for microbiology,

4 virology or neurochemistry as needed."

5 Did you take any for those purposes?

6 A. Yes.

7 Q. Did you send any for culture?

8 A. Culture would have been probably not relevant in this

9 case. Culture -- first of all, you'd have to culture

10 skin cells and I don't think the permission would have

11 allowed us to do that. Brain cells don't really

12 culture.

13 Q. But did it occur to you that you might want to culture

14 something since we're talking about some sort of viral

15 infection?

16 A. The culture in this means a different thing. I can't

17 see where it says "culture".

18 Q. No, I have asked you if you would have wanted to do

19 that.

20 A. To put it into context, I just need to -- are you

21 reading from somewhere?

22 Q. No, I'm just asking you.

23 A. Of course, we sent CSF for culture. Culture means two

24 different things. In certain metabolic diseases, you

25 can take pieces of skin to send to a genetic lab for

1           culturing. In Claire's case, we sent the CSF, the fluid  
2           around the brain to, the laboratory for culturing.

3    Q. Just so I'm clear -- and the experts will come and give  
4           their evidence in due course -- are you saying that  
5           there would have been no benefit in sending any of  
6           Claire's brain tissue to do anything further with? I'm  
7           leaving aside --

8    A. No, we did do that.

9    Q. Then what I'm asking you is: what did you do with that  
10           brain tissue further?

11   A. We sent it to the bacteriology and the virology labs, as  
12           far as I remember.

13   Q. What was the result of it?

14   A. It's in the record. The culture of the CSF was negative  
15           as far as I'm aware.

16   Q. That's the cerebrospinal fluid. I mean any material  
17           from her brain itself.

18   A. This will come to a point that Professor Cartwright and  
19           others have mentioned. In Claire's case, looking at the  
20           results, they talked about the high protein level and  
21           the discussion about what that meant. In order to take  
22           CSF from the brain, there are a number of ways of doing  
23           it. One is to take the fluid over the surface of the --

24   Q. Sorry, I am going to come to the CSF. I am not quite at  
25           that point yet.

1 A. But this answers part of your question.

2 Q. It might do, but if you could answer this one very  
3 simplistically for me, if that's possible.

4 A. There was brain tissue in the sample that went for CSF  
5 as well so ...

6 Q. So you intentionally took some brain tissue as opposed  
7 to being concerned that there was some brain tissue in  
8 the CSF. Did you take any brain tissue intentionally to  
9 send that off?

10 A. It was mixed with CSF. I didn't do it separately.  
11 I don't remember the exact details, but I don't think I  
12 did it separately.

13 Q. My understanding from the evidence is what you were  
14 concerned about when you got the results back from the  
15 CSF is that actually there was some brain tissue in the  
16 CSF, not that you had taken some brain tissue to be sent  
17 off, but inadvertently, if I can put it that way -- as  
18 I think you said quite fairly, often happens --  
19 inadvertently there was some in that sample in the same  
20 way as sometimes there's a little bit of blood in the  
21 sample.

22 A. Mm.

23 Q. But that wasn't the question that I was asking you. The  
24 question I was asking you is, if you leave a side the  
25 CSF and what may or may not have got into it, did you

1 take some brain tissue intending to send that off to be  
2 studied?

3 A. I knew that in the sample of CSF I had brain tissue as  
4 well. I didn't take any separately because I knew there  
5 was already some there.

6 MR FORTUNE: Sir, forgive me. Would it not be simpler for  
7 Dr Herron to tell us exactly how he carried out this  
8 post-mortem? Because at the moment -- and I speak for  
9 myself -- I am finding this exchange of questions and  
10 answers quite difficult to follow in terms of the actual  
11 order in which Dr Herron took knife to brain or the  
12 surrounding area.

13 MS ANYADIKE-DANES: Yes.

14 A. To do the post-mortem, you open -- I probably didn't,  
15 one of the technicians -- open the scalp. The skull is  
16 opened and the brain is looked at while it is still in  
17 position. There are a number of ways of looking at the  
18 fluid that comes over the surface of the brain. In  
19 children, when the brain is very swollen, it's very  
20 difficult to find some fluid in order to take that. So  
21 you have a number of options. You can put a needle into  
22 an area where there is a lot of brain tissue and extract  
23 the fluid that way, or you can put a needle through the  
24 brain into the centre of the brain that has a space  
25 called the ventricle, and the fluid can come out that

1 way. I think that's what happened in Claire's case.  
2 Then the brain is removed and fixed in formaldehyde for  
3 investigation at a later date.

4 Q. And that's what you did?

5 A. That's what I would have done in a case like Claire's,  
6 yes.

7 Q. In fairness to you, I think you have described what you  
8 did in one of your inquiry witness statements. 224/3,  
9 page 6 onwards. You start there, "... the junior doctor  
10 and consultant discuss ..." and you go on and describe  
11 the process. As I understand it, that's what you're  
12 trying to set out, the actual process. With that in  
13 mind, since you have confirmed that as that is what you  
14 did, I was then seeking to ask you some further  
15 questions that have arisen out of some of the things  
16 that our experts have informed us about.

17 A. Yes.

18 Q. And that's one of the reasons I asked you: did you think  
19 to take any sample? And I think you have given your  
20 evidence which is that some sample was within the CSF.

21 A. Yes.

22 Q. And that's what you did. Well, you've given your answer  
23 to that.

24 Dr Squier has set out the process also in her  
25 report. Maybe it would be easier to see the extent to

1           which you disagree with her. We find that at

2           236-004-003. There it starts off:

3                    "Please explain the various stages of a brain-only  
4           autopsy."

5                    And then there are a number of phases. So she talks  
6           about how:

7                    "You remove [or you are supervised] the brain so you  
8           can identify any abnormalities of the scalp, skull and  
9           the membranes surrounding the brain as these will not be  
10          available after the brain has been removed and fixed."

11                   And would you agree with that?

12   A.   Sorry, I'm ...

13   Q.   It's the first paragraph under (a).

14   A.   That suggests the neuropathologist should be there  
15          at the time of the autopsy, yes.

16   Q.   Is that what happens?

17   A.   Yes, that's what happens, yes.

18   Q.   I'm not sure that you can independently recall what  
19          happened to Claire, but is that what you expect you did?

20   A.   That would be routine procedure, yes.

21   Q.   Then after you open up the head:

22                    "The brain will be removed, weighed, examined and  
23          described, photographed and placed in formalin."

24                    Would you accept that?

25   A.   That would be the routine situation.

1 Q. Yes. Can I then ask you about the photographing.

2 A. For the reason I stated, because this was the case of  
3 possible infection to staff, we omitted a lot of the  
4 situations that could be dangerous to staff members.  
5 You wouldn't photograph --

6 Q. Sorry?

7 A. We would rarely photograph anything at the time of  
8 autopsy. We photograph the brains after they're fixed  
9 for a period of time.

10 Q. So your position would be that you wouldn't have  
11 photographed it at that time, you'd have photographed it  
12 after it had been fixed?

13 A. The only time I would ever photograph it at the time is  
14 if I thought there was going to be evidence lost that  
15 was going to be necessary possibly in a criminal trial.  
16 Our routine would be to photograph it after fixation.

17 Q. I think there's been an issue between you and the  
18 experts in terms of weight and so forth and whether you  
19 do weigh if the brain is very fragile, and I think  
20 Dr Squier has put that certainly from a foetus or a  
21 neonate -- and I presume she would concede if there was  
22 any other reason why the brain was particularly soft and  
23 difficult to handle -- you might miss out some of those  
24 stages.

25 A. You would usually -- I absolutely agree you would

1 usually weigh the brain. For the reason I've stated, we  
2 wanted to -- because of the potential infection risk, it  
3 went straight into formalin.

4 Q. That might be another reason why you would do that.

5 Then after that, she says:

6 "After this, a full and thorough examination of the  
7 cranial cavity is required and, in particular, careful  
8 examination of the dura and the venous sinuses within  
9 it."

10 Would you accept that?

11 A. The dura was looked at, the venous sinuses were looked  
12 at. There was no abnormality of them otherwise it would  
13 have been mentioned in the report.

14 Q. What I am not clear on is the extent to which you  
15 include the negatives in your report because you do have  
16 some negatives in the brain description. So if you're  
17 examining the dura and the venous sinuses and you don't  
18 see any abnormalities, is that not a relevant thing to  
19 record?

20 A. It depends on the case. If this was a trauma case, you  
21 would spend paragraphs describing the dura and the skull  
22 and various other things. My focus at this time was  
23 doing a safe post-mortem. If I had seen any haemorrhage  
24 or inflammation of the dura or any venous sinus  
25 thrombosis, that would have been recorded. Again my

1 focus was slightly different.

2 Q. Then she goes on to talk about the papers that should be  
3 available and any imaging of the head which has been  
4 carried out in life. So from her point of view, that  
5 would be relevant to look at, and you have given your  
6 evidence about that.

7 And then she's asked about the process of fixation  
8 and what effect it has on brain weight. She gives her  
9 evidence on that, which we don't have to go into, and  
10 then she is asked about when the brain is cut, when that  
11 is carried out, by whom, and what does it entail. And  
12 she says -- and just so that we're clear to what extent  
13 you're differing from her on this:

14 "The brain is cut after it is fully fixed and  
15 hardened. The cut is usually carried out by  
16 a neuropathologist with experience in examining brains."

17 Would you accept that?

18 A. Yes.

19 Q. And:

20 "The brain is usually weighed and photographed whole  
21 in its fixed state and the hindbrain is removed, weighed  
22 and cut independently into slices."

23 Would you accept that?

24 A. Yes, in Claire's case we photographed just brain slices.

25 I don't think the whole brain was photographed. But we

1 routinely now certainly photograph the whole brain in  
2 most cases.

3 Q. Is there a reason why you didn't photograph the whole  
4 brain?

5 A. What Dr Squier said is good practice, but I don't know  
6 that everybody practices it. I don't know what the  
7 procedure for the department was in 1996. If there had  
8 been something on the surface of the brain that could be  
9 seen, I would have expected maybe that the photographs  
10 were taken. I can't remember in 1996 --

11 Q. Well, in terms of looking of how oedematous it is,  
12 seeing the level of effacement, that's quite helpful  
13 sometimes to see a picture of the whole brain.

14 A. We do describe it as well. We describe our findings.  
15 And can I tell you how we describe our findings?  
16 Because I know Dr Squier maybe disagrees with me on this  
17 point.

18 Q. Yes.

19 A. We have a special dissection room for brain dissection.  
20 Myself, the registrar at the time, and the consultant or  
21 two consultants -- maybe the professor was there as well  
22 and some other junior doctors would have been there as  
23 well. And again, Mr Roberts, sorry about this detail,  
24 but we have a bench and foot pedal dictaphone. You have  
25 the brain in your hand and you're describing your

1 findings while you're holding the brain in view of the  
2 two consultants and the other staff. So I think the  
3 description of the brain at the time is accurate for  
4 those reasons. You're describing it while you're  
5 looking at it, while other people are looking at you  
6 looking at it. So we have the brain description.

7 The photographs -- if you want to review a case  
8 later on -- help and we do routinely photograph cases  
9 now. We didn't photograph all aspects of every case  
10 then as far as I remember.

11 Q. I was simply asking why you didn't. You have the  
12 equipment to do it. In fact, you took one of two slices  
13 through the brain. I am simply asking why you didn't  
14 take a picture of the whole brain.

15 A. That must have been the routine in the department at the  
16 time.

17 Q. The description that you have given, we can pull that  
18 up. 090-003-004. If we just focus on the brain  
19 description there, this is what I was putting to you  
20 when I was asking you the extent to which you record  
21 negatives. You have recorded some negatives there.  
22 There's no cortical venous thrombosis, no meningeal  
23 exudate. Then you say:

24 "The paraventricular structures, including the  
25 mammillary bodies shows no evidence of necrosis."

1           There's no basal ganglia and so on. So there are  
2           some negatives.

3    A. These are all relevant to Claire's presentation.  
4           Cortical venous thrombosis can be a complication of  
5           infection, meningitis. Meningeal exudate is a feature  
6           of meningitis. The "uncal prominence" and "no necrosis"  
7           is a way of describing how severe the oedema is. The  
8           Leigh's disease, at the bottom, is a metabolic condition  
9           that could present the way that Claire presented. So  
10          some people do -- one of my registrars will do three  
11          pages of the same thing. My reports are short, but  
12          I think they focus on the issues that are relevant to  
13          a particular case.

14   Q. I understand. And then if we go back to Dr Squier at  
15          236-004-003. She talks about the slices that you take:

16                 "They're laid out in order, front to back, and  
17                 examined carefully with the naked eye. Any  
18                 abnormalities are noted and documented."

19                 Would you agree with that so far?

20   A. Yes.

21   Q. And:

22                 "The whole brain and representative parts of it are  
23                 photographed for the clinical record."

24                 You have dealt with that:

25                 "A report of the findings are produced for the

1 clinical record and the documentation available at  
2 brain-cut usually includes the autopsy report and  
3 a summary of clinical history."

4 And then if we go over the page to 004, she talks  
5 about the slides. This is part of what you did, was it,  
6 making the slides?

7 A. No. That's a laboratory aspect of it. In those days,  
8 I think they were called medical laboratory scientific  
9 officers; now they're called biomedical scientists.

10 Q. Do you direct what you want slides of?

11 A. If you go back to the previous page of my description.

12 Q. In your description?

13 A. Yes. Where it starts "histology". Those are the little  
14 tissue blocks that are taken.

15 Q. Yes.

16 A. And then during the dissection -- and then they are  
17 taken by the biomedical scientists for further  
18 processing.

19 Q. No, my question is: is that you directing where you want  
20 those slides taken from?

21 A. I've taken those.

22 Q. Oh, you have done those?

23 A. Yes.

24 THE CHAIRMAN: Sorry, we must have misunderstood you. We  
25 thought that you said a few moments ago that the MLSOs

1           took the slides.

2    A.  No, I dissect the brain and look at the various areas  
3           and take sections of the brain.  They take it from there  
4           for processing.

5    MR FORTUNE:  If Dr Herron looks at Dr Squier's page on the  
6           left-hand side of the screen, come down, I think it's  
7           six paragraphs:

8                   "The blocks for histology and the slides produced  
9           from them are handled by laboratory assistants or  
10          qualified laboratory technicians who are trained to  
11          slice and stain the tissue."

12                   So that would imply that the slides are actually  
13          produced by the technicians.

14   A.  Yes, that's right.

15   MS ANYADIKE-DANES:  And who labels them then?

16   A.  What exactly do you mean?

17   Q.  So that you know when you're looking at the slide, or  
18          anybody coming after you who wants to look at the  
19          slides, knows where those slides -- where the tissue  
20          that they're looking at comes from in the brain.

21   A.  Most neuropathologists have their own pattern of taking  
22          sections.  And also most neuropathologists will be  
23          available to identify when they look down the microscope  
24          most of the areas from where the sections are taken.

25                   For instance, we all know what a cerebellum looks

1           like, a brainstem looks like, the mammillary body looks  
2           like. The different areas of cortex are slightly more  
3           difficult to examine, but we all have our own techniques  
4           of establishing where the sections were taken from.  
5           I think Dr Squier refers to a blocking sheet where you  
6           would record where each of the sections was taken from  
7           individually. That is useful and it could help in some  
8           cases, especially if a pathologist isn't very  
9           experienced.

10        Q. Well, is it not good practice to identify where the  
11        slides are coming from? Both Dr Squier and  
12        Professor Harding say when they looked at the slides  
13        have been provided, they -- obviously, to some extent,  
14        they can work out where they come from, as you say, but  
15        not necessarily for all of them. And would it not have  
16        been better practice to have labelled them?

17        A. It would have helped someone else looking at your case  
18        years later to identify where they were from. But you  
19        would have known at the time, because of how you dissect  
20        the case, where they had come from.

21        Q. Yes. You would have known.

22        A. Yes. When a neuropathologist in 1996 was looking at  
23        a case, he was doing it or she was doing it for them to  
24        look at the slides.

25        THE CHAIRMAN: In other words --

1 A. You weren't taking sections in anticipation of it being  
2 reviewed in 16 years' time. Of course, you would do it  
3 now, but the sections were labelled in the history as to  
4 where they came from. Most of us would know, because of  
5 our routine, where they came from. You could put  
6 them -- now ... The way I do it now, because I do so  
7 much forensic work and a lot of forensic work is  
8 reviewed elsewhere, you would write exactly what part of  
9 the brain they come from.

10 MS ANYADIKE-DANES: And who determines what stains are  
11 applied to the slides?

12 A. There's a routine one to start with, which is an H&E  
13 stain. And then the decision to take it further is  
14 dependent on what you find.

15 Q. So whose decision is it?

16 A. That would be the neuropathologist's.

17 Q. Would that be you or your consultant?

18 A. The way this happened, probably Dr Mirakhur, because she  
19 has written the report. After the H&E sections were  
20 taken, and the routine ones were done, the further  
21 stains that were needed -- I can't remember in this  
22 case. It might have been me, it might have been her.  
23 I'm not sure. But it would be the neuropathologist.

24 Q. Is it something that -- doing the best you can, is it  
25 something that results in a discussion between you as

1 the registrar and your consultant: having seen what  
2 you have seen on the standard H&E stains, maybe it would  
3 be helpful if we applied some more specialist stains?  
4 A. Yes, that's what would normally happen.  
5 Q. That's what would happen normally?  
6 A. Yes.  
7 Q. Are you aware of there being any discussion about the  
8 further staining that might be carried out?  
9 A. Not in this individual case, no. I can't remember so  
10 long ago.  
11 Q. Do you consider at any stage -- either by yourself as  
12 a registrar or with your consultant -- the extent to  
13 which you might want to bring in some further expertise?  
14 A. I always do. I would often send cases away for an  
15 opinion from another neuropathologist in appropriate  
16 cases. It's good practice. I would send a lot of stuff  
17 to the United States for advice.  
18 THE CHAIRMAN: And did you do that from time to time in  
19 1996/97?  
20 A. As a registrar, I wouldn't have done it; that would all  
21 have gone through the consultants.  
22 THE CHAIRMAN: Were the consultants doing it in 1996?  
23 A. I would imagine they were, but Professor Allen had a  
24 large network of people that she worked with as she was  
25 an internationally-known neuropathologist and she was

1 always bringing stuff in and taking stuff out. And  
2 I know Dr Squier said that maybe you should have asked  
3 for advice from another neuropathologist, but I think  
4 you also have to consider that all paediatric  
5 neuropathology in Northern Ireland has been reported in  
6 by only three people in 40 years. So to label somebody  
7 not a paediatric neuropathologist because they aren't  
8 a specialist, because they aren't only  
9 a neuropathologist, I think would be inaccurate.

10 Professor Allen, probably since the 60s until 1997,  
11 was reporting all the paediatric neuropathology.  
12 Dr Mirakhur has extensive experience. I have a lot  
13 experience -- maybe not as much as they have at the  
14 minute. So there's maybe 70 years' experience of  
15 paediatric neuropathology in the department already.

16 If they had wanted advice, of course they would ask  
17 for it, that's good practice, but just because somebody  
18 isn't labelled a paediatric neuropathologist doesn't  
19 mean they don't know paediatric neuropathology.

20 MS ANYADIKE-DANES: No, but along with the discussion as to,  
21 "Maybe we would apply some other stains", could there be  
22 a discussion and are there discussions or, "Maybe this  
23 is one that we'll bring in a specialist"?

24 A. My point is that they were highly specialised --

25 Q. I appreciate that. I'm not really addressing the point

1 of the paediatric neuropathology. For example, might  
2 you have thought to bring in a chemical pathologist?  
3 You have mentioned Raychel's case, for example. They  
4 did bring in a chemical pathologist --

5 A. I did --

6 Q. You did. Exactly. Might that have been -- I know that  
7 you say you're a registrar and it wouldn't fall to you  
8 to bring in a different discipline in 1996 but is that  
9 a conversation or a discussion that you could have had  
10 with Dr Mirakhur?

11 A. I got the impression that when Dr Squier's comment --  
12 that she was suggesting that a paediatric  
13 neuropathologist. I'm not sure, I may have been  
14 mistaken. Professor Allen and Dr Mirakhur had vast  
15 networks of people they could ask for advice and I'm  
16 sure they always did. I remember many conversations  
17 with different departments. And that's all the value,  
18 can I say, of our combined clinicopathological meeting  
19 because very often, when you had a case -- and I'm not  
20 saying for Claire -- that brought in other techniques  
21 and specialities, you brought them to the meeting to  
22 present aspects of clinicopathological correlation. So  
23 it would have commonly occurred.

24 Q. Yes, no, I'm not doubting that. All I am trying to  
25 find -- at the moment, I'm asking you the evidence of,

1 potentially, your side of conversations. Dr Mirakhur  
2 will give her other than evidence; I am simply trying to  
3 find out from you whether, in those days, discussing  
4 whether or not we could perhaps refer this for  
5 a specialist view is something that you engaged in with  
6 your consultant.

7 A. Absolutely, yes.

8 Q. And you are quite right that Dr Squier did refer to  
9 a paediatric neurologist. She does that in her fourth  
10 report, which is 036-007-004, I think. And she goes on  
11 to suggest other specialist advice that you could have  
12 sought, the first of which, at 13(a), is the one I have  
13 just been putting to you, the consultant chemical  
14 pathologist. Then at (b), it was suggested that  
15 a consultant radiologist might have been appropriate to  
16 see, since status epilepticus is one of the clinical  
17 problems you're looking at, whether you can detect any  
18 of that from the CT scan, whether the CT scan was of  
19 a sufficient quality to do it or whether it would show.  
20 And you see her suggestion there that hyponatraemia  
21 might not have been, but it is something that some  
22 consideration could have been given to.

23 Then the paediatric neuropathologist or  
24 a neuropathologist specialising in neurogenics might  
25 have been someone whose advice you could have sought

1 specifically in relation to what you thought you had  
2 detected, which is the neuronal migrational defect or  
3 disorder.

4 A. Of course, we always consider bringing people in, but  
5 I get back to the point that, first of all, the CT scan  
6 doesn't detect status epilepticus, as far as I know.  
7 The paediatric neuropathologist -- we had two very  
8 experienced paediatric neuropathologists in the  
9 department. Also, Professor Nevin was a colleague of  
10 Professor Allen's, and he had seen Claire as a child,  
11 I think, as a geneticist. Those people were there to  
12 ask for advice if necessary.

13 Q. How involved was Professor Allen in Claire's case?

14 A. I don't know, but she was in the department.

15 Q. Why I'm asking you that is, on a number of occasions you  
16 have referred to her perhaps as opposed to referring to  
17 Dr Mirakhur. And until just recently, we had in mind  
18 that Dr Mirakhur was the consultant working with you on  
19 this autopsy and that was the relationship that we were  
20 exploring. I wasn't -- can you help as to the extent to  
21 which Professor Allen may have also been involved in  
22 this case?

23 A. I think she wasn't very involved, but there were only  
24 three neuropathologists in a corridor and while  
25 Dr Mirakhur and I were probably -- the evidence suggests



1 differential diagnoses or clinical problems that you  
2 were looking at to see how they fared in terms of the  
3 evidence that you found one way or the other.

4 If one starts with status epilepticus, I had put to  
5 you the guidelines that that is something that has to be  
6 clinically documented and I think in essence -- please  
7 correct me if I'm wrong -- that your evidence was that  
8 you were taking it that there was sufficient clinical  
9 evidence of status epilepticus, which is one of the  
10 reasons that had been identified as one of the four  
11 problems; is that fair?

12 A. No. I don't think that's correct. Status epilepticus  
13 was written on the form. It's not -- I am not in  
14 a position to know if Claire had status epilepticus as  
15 a neuropathologist.

16 Q. Sorry, I beg your pardon. I thought you were taking it  
17 that there must be some reason for it appearing on the  
18 form in that way.

19 A. Oh, I would understand that, yes.

20 Q. So that's one of the things that you're going to look  
21 and see whether you can see. What is the sort of  
22 evidence that one can find for status epilepticus if  
23 one's looking at it from a pathologist's point of view?

24 A. From a pathologist's point of view, nothing very  
25 specific, to be honest. There are occasional research

1 papers and collections of cases that describe  
2 neuropathological findings in status epilepticus, a  
3 particular pattern of cells that die in the brain.  
4 There are actually quite a few studies on this topic,  
5 but I don't think in any individual case, given that  
6 Claire when she died had another mechanism of causing  
7 cell death, to say that status epilepticus either was  
8 pathologically present or was not present. The features  
9 are very non-specific. There's no one thing you could  
10 say status epilepticus present or not present.

11 Q. Maybe I can ask it in this way: you've got that as one  
12 of the four things that have been identified for you  
13 by -- the referring clinician wants to know. So if  
14 you're going to explore whether there is any evidence to  
15 support a differential diagnosis or to understand the  
16 problem of status epilepticus, what is it that you do?

17 A. We look at the brain microscopically to see if there's  
18 anything present. In status epilepticus, there normally  
19 isn't anything to see.

20 Q. That's what I was actually trying to get at.

21 A. So the first stage is there's very little specific to  
22 see with a macroscopic -- macro with an A -- of the  
23 brain, the whole brain and the slices. There's very  
24 little to see. Then we look at the images down the  
25 microscope -- which are called microscopic or

1 histological images -- and the brain is made up of lots  
2 of different cells, some of these cells are called  
3 neurones. Neurones are very vulnerable cells to any  
4 sort of damage. They are the most sensitive cells in  
5 our whole body to damage of any sort. It could be  
6 infection, it could be swelling, it could be high  
7 temperature, it could be drugs, it could be anything.  
8 And they react in a very specific, typical but  
9 stereotypical way, and by that I mean no matter what the  
10 cause of the damage to the cells is, they will look the  
11 same. So if the damage to the cell is caused by a lack  
12 of blood flow, it will show the same as the damage to  
13 a cell perhaps caused by epilepsy or status epilepticus.  
14 The cell will look the same.

15 The pattern of -- an individual cell, you can't tell  
16 what the cause of its damage is. Sometimes you can see,  
17 if you look at lots of areas of the brain, a pattern  
18 emerging, but in status epilepticus I don't really think  
19 you could say that pattern represents that when you have  
20 another pathology present, especially.

21 Q. Yes, thank you. That's actually what I was trying to  
22 explore with you. So you would be able to say, "I can  
23 see evidence of cell damage", let's put it that way.

24 A. Yes.

25 Q. But what I think you're saying is: I wouldn't be able to

1 tell you whether that resulted from this non-fitting,  
2 which is what status epilepticus is?

3 A. I'm not clear that that's the correct definition of  
4 status epilepticus because I'm not a neurologist.

5 Q. Sorry, one of the things that they thought she had was  
6 non-fitting status epilepticus, but leave that aside  
7 because they haven't helped you by putting "non-fitting"  
8 there.

9 Am I understanding you correctly that you could go  
10 so far as to say you saw evidence of cell damage of some  
11 sort or alterations to the cells -- and we'll come in  
12 a minute to other things that that might point towards.  
13 You could do that, but that would not of itself enable  
14 you to say that you saw evidence of status epilepticus?

15 A. That's correct.

16 Q. Thank you.

17 THE CHAIRMAN: If there's another pathology?

18 A. The only time I think I would diagnose  
19 status epilepticus pathologically -- and this comes up  
20 because I examine a lot of epilepsy-related deaths in  
21 Northern Ireland -- is if someone came into hospital and  
22 had status epilepticus and an EEG, and all the other  
23 features, and didn't have any other features to show  
24 that type of cell damage. It is really that  
25 non-specific. And to be honest, it's really based far

1 more on a clinical history than on a specific  
2 pathological abnormality.

3 MS ANYADIKE-DANES: Yes. I think one of the things that was  
4 described was the subclinical seizures in the history.  
5 What does that mean to you?

6 A. It's really a neurological term and I wouldn't be  
7 confident to say too much about that, to be honest.  
8 It's not a term I would ever use in my practice.

9 Q. Yes, but it still doesn't help as to whether you would  
10 be able to say with confidence that you'd seen evidence  
11 of that.

12 A. Any seizure activity I would never be able to diagnose  
13 confidently without a really confident clinical history  
14 and no other finding for cell damage.

15 Q. And if we go down that track just a little bit, a really  
16 confident clinical history. In order to provide some  
17 support for a diagnosis of that sort, what is it that  
18 you would be wanting to match from your findings on  
19 examination to clinical history?

20 A. A confident, experienced paediatric neurologist telling  
21 me fairly unequivocally that my patient has  
22 status epilepticus. He would be asking me more to  
23 describe -- "My patient has status epilepticus, what  
24 do you see pathologically?", rather than me saying,  
25 "This might be status epilepticus, what was wrong with

1 the patient?" It's really -- it's not a pathological  
2 diagnosis in most cases.

3 Q. I think I was trying to get there by a long route. So  
4 the upshot of the whole thing is you can only describe  
5 what you see, and as it happens with that kind of thing,  
6 that doesn't enable you to say, "I think I've seen  
7 evidence of status epilepticus"?

8 A. That's right.

9 Q. Thank you. But if we stay with what you might be  
10 learning from differences in the brain, you do say that  
11 you detect decided some evidence of neuronal migration  
12 disorder.

13 A. I think that's probably Dr Mirakhur's evidence, if  
14 that is in her report.

15 Q. Can I ask it this way: when you were looking at the  
16 slides, did you see anything that would indicate to you  
17 neuronal migration disorder?

18 A. I was going back through my evidence and what I've said  
19 at various stages. I wasn't specifically asked about  
20 that at the inquest, which is where my evidence is. But  
21 there are 35-millimetre slides which show a photograph  
22 that looks like displaced neurones that would support  
23 that diagnosis. And certainly when I went to the  
24 inquest to give evidence, it didn't occur to me that  
25 anything other than that diagnosis was present. So

1 I think I probably agreed with it at the time of the  
2 inquest, although I wasn't specifically asked about it.  
3 So there are features, certainly in the 35-millimetre  
4 presentation, to support that.

5 Q. We'll come to the detail of the slides in a minute, but  
6 in 1996, can I ask you what your experience, as  
7 a pathologist, would be of neuronal migration disorder?

8 A. It's a very vague term. I don't think it is a specific  
9 term in many ways. It's a term that's all-embracing for  
10 many causes; they can be genetic causes, toxic causes,  
11 environmental causes. To me it just means there's an  
12 abnormality of how the cells have spread through the  
13 brain. How many cases did we have? 34 paediatric  
14 neurology cases in the three or four years before 1996.  
15 Some of them had neuronal migration abnormalities and  
16 I certainly had read long and hard about that diagnosis.  
17 I can't say how many cases I've seen by 1996. I don't  
18 know how many cases I'd seen.

19 Q. Would it be something you might say you had some  
20 experience of?

21 A. Some experience.

22 Q. Would you be confident about diagnosing it without maybe  
23 some discussion and some assistance?

24 A. I would discuss it with somebody more experienced, yes,  
25 in 1996.

1 Q. Now, of course, might be entirely different, but I'm  
2 concentrating on 1996.

3 A. I still think I would discuss it. I'm the only  
4 neuropathologist in the country at the minute. I do  
5 discuss with colleagues all over the place.

6 Q. So even now it's something that you would want to  
7 discuss with a colleague?

8 A. Yes, absolutely.

9 Q. Can I ask you about the stains you used? We mentioned  
10 this a little before. One of the things you said when  
11 you were commenting on Professor Harding and Dr Squier's  
12 own analysis of the slides was that you said they were  
13 looking at slides that were at least ten years old when  
14 they were examined. I'm reading from your witness  
15 statement, 224/4 at page 10. Then you went on to say  
16 that the stains on these glass slides deteriorate  
17 significantly, even after a short period of time.

18 A. I think I can correct myself because what has happened  
19 with Dr Squier and -- possibly, but I'm not sure,  
20 Dr Harding -- she got the tissue blocks herself and  
21 re-cut the slides fresh. I think that is what she seems  
22 to suggest.

23 Q. She did two things.

24 A. She looked at the old ones and --

25 Q. Yes. So we're clear about that, you can find it in her

1 report. It's her addendum of August this year, and it  
2 starts at 236-005-001. You're quite right that she did  
3 make her own slides and stained them. She also looked  
4 at yours -- sorry, whoever's slides they were.  
5 236-005-001. So she explains a little bit about routine  
6 brain sampling and that the sections on the glass slides  
7 are stained and what you can do to improve the  
8 diagnostic process. Incidentally, just pausing there, I  
9 take it that you don't disagree that you can improve the  
10 diagnostic process by the application of different  
11 stains.

12 A. Yes.

13 Q. And then she talks about the review of additional  
14 sections. She says:

15 "I received further sections which apparently  
16 include those reviewed by Dr Harding."

17 And then she gives the numbers of them. So she not  
18 only got blocks from which she made her own slides --  
19 and she has described those in her first report -- but  
20 she also saw all the ones that you had prepared or were  
21 prepared in the laboratory for Claire, and were sent off  
22 to Professor Harding. So she has seen everything.

23 A. Yes.

24 Q. So that just helps clarify that point. But what  
25 I wanted to ask you is about the aging of slides. You

1 say:

2 "The stains on glass slides deteriorate  
3 significantly."

4 If they deteriorate, is that not something that you  
5 can be aware of as a pathologist?

6 A. I think Dr Squier did say in her first report that some  
7 of the slides were a little faded, which is possibly why  
8 she went on to re-stain the slides herself.

9 Q. There are a number of -- if the slide that you're  
10 looking at is so deteriorated that you shouldn't  
11 properly rely on what you are seeing from that slide,  
12 then presumably, as a good pathologist, you make a note  
13 of that and you either don't rely on it or you take  
14 alternative measures?

15 A. What I think Dr Squier did was proper. You shouldn't --  
16 it really depends on the context in which you're asked  
17 the question. You should get the best possible material  
18 from which you can make a report. That's absolutely  
19 right. At the stage when I was writing that, I was  
20 making the point that some of the findings were very,  
21 very focal and if you are making your own slides from  
22 new material, what was present in the original material  
23 may not be in the new material that you're making if the  
24 changes are so, so small. I think that's where I was  
25 going with that.

1 Q. I understand that and, of course, you didn't know at  
2 that time that she had had an opportunity to look at  
3 your slides.

4 One of the things, when one's talking about slides  
5 in this area, is Dr Squier referred to a lack of  
6 hippocampal pathology and she thought there had been  
7 a failure to apply special stains to look for subtle  
8 hippocampal pathology to explain the history of epilepsy  
9 thought to represent neurone migration disorder.

10 The slides, I think -- the stains that you used were  
11 H&E, haematoxylin and eosin, and you said that you might  
12 have discussed or ... In any event, Dr Mirakhur may  
13 have come to the conclusion to apply other stains;  
14 is that right?

15 A. I'm not sure where that has been said.

16 Q. Well -- sorry, I was asking you whether there would have  
17 been a discussion about whether it would be appropriate  
18 to apply other stains.

19 A. It really depends on a pathologist's own experience and  
20 preference. I'll explain that. In 1996, the technology  
21 and the quality of these further tests was not as  
22 advanced as it is today. Many of the stains that we're  
23 talking about were really not very good. They were  
24 present and available in 1996, but I don't think they  
25 were as good as the quality that we have today.

1           The gold standard for making diagnosis is our first  
2           stain, our H&E stain, and most pathology can be seen by  
3           that. I'm not going to disagree with Dr Squier about  
4           the hippocampal pathology. It's a very, very subtle  
5           finding and she may be right. We may be right. I'm not  
6           sure.

7           Professor Harding, however, who I think runs  
8           a world-famous centre for hippocampal pathology  
9           diagnosis in resections, didn't notice the findings, as  
10          far as I'm aware, that Dr Squier noticed.

11        Q. He's going to give evidence about that. I think there  
12          might be a slight difference between those two experts  
13          and yourself as to the extent to which there are  
14          differences in their evidence, and he will give his  
15          evidence on that.

16        A. He said it fairly specifically in his report.

17        Q. But when you say that the stains weren't so advanced, is  
18          one of the stains that you could have applied, is it  
19          GFAP?

20        A. That's right.

21        Q. That was known in 1996, wasn't it?

22        A. It was, and we had it, but it wasn't nearly as good in  
23          quality as the stain that Dr Squier would have now.

24        Q. But that is a more advanced stain or at least a more  
25          particular stain to show, for example, scarring than

1 H&E, isn't it?

2 A. Not necessarily, no. I think in most cases of

3 hippocampal pathology that I've come across, it's seen

4 on H&E. I'm getting to the point that every lab has its

5 own methods of detecting pathology. Dr Squier obviously

6 has her own techniques, Dr Harding will have another

7 technique, and Belfast had its method for looking for

8 this sort of pathology as well.

9 Q. Yes. All I'm pressing you on is the extent to which you

10 could have applied further stains to see the extent --

11 whether you could confirm your original findings. You

12 referred to a paper in your third witness statement,

13 I think, which is -- I call it the "Apoptosis in

14 measles" paper. That's at 224/3. Page 52 is the

15 beginning of the paper, but if we can go to page 55.

16 Under figure 1(a) -- could you see if you can enhance

17 that a little bit? This is a paper that you wrote;

18 is that right?

19 A. I was involved in it, yes.

20 Q. Sorry, contributed to. And it's published in

21 Neuropathology and Applied Neurobiology in 1997. So

22 presumably you're doing the work around this sort of

23 time --

24 A. That's right.

25 Q. -- since the publication isn't instantaneous with the

1 research and the writing of it. In this paper, you are  
2 using GFAP stains?

3 A. We routinely used GFAP stains in Belfast at that time.

4 Q. And you're using them to look at the very thing that you  
5 might have been looking at to see evidence of scarring  
6 or reactive cells, cell death and so forth?

7 A. I still maintain that the stain that we routinely used,  
8 the H&E, shows that pathology as well. Dr Squier also  
9 mentioned -- she criticised for us [sic], as far as I  
10 remember, not doing a myelin stain to look for lysis of  
11 myelin later on. She did it and it wasn't there.

12 Q. Sorry. I'm just dealing with this one at the moment  
13 before we go on to anything else.

14 A. I still think that scarring of the hippocampus can be  
15 seen by the techniques that were used.

16 Q. Given that you've just acknowledged that some of this is  
17 very subtle, if you're dealing with something very  
18 subtle, then do you not seek to enhance the image to you  
19 can see more particularly whether you are getting the  
20 evidence that you think you are seeing on the standard  
21 stains? Presumably that's what these specialist stains  
22 are for and that's what you were using them for in this  
23 paper.

24 A. No, I ... I mean, you look at the hippocampus, you can  
25 either see scarring or you don't see scarring. We

1           didn't see any scarring using the techniques that we  
2           normally use to see scarring is all I can say at the  
3           time.

4   THE CHAIRMAN:   Okay.

5   MS ANYADIKE-DANES:   We'll move on.

6           You haven't actually recorded -- or it is not  
7           recorded -- in the autopsy report what stains were used.

8   A.   That's right, yes.

9   Q.   Wouldn't that be helpful?

10  A.   I think it would, yes.

11  Q.   Do you do that now?

12  A.   Yes.

13  Q.   Then in terms of where you found the --

14  THE CHAIRMAN:   I'm sorry, let's not leave that hanging.  Do  
15           you do that now because you always do it now whereas you  
16           didn't always do it before, before being round about the  
17           mid-1990s?

18  A.   I think documentation in the reports is probably more  
19           complete at the minute.  You may describe a finding, but  
20           not give all the evidence about why you have a finding  
21           in previous days.  Now you would tend to tabulate all  
22           the extra work that you did to show the reasoning behind  
23           your conclusion.  In those days, you may have just said  
24           your conclusion without all of the background  
25           information.

1 THE CHAIRMAN: Thank you.

2 MS ANYADIKE-DANES: Sorry, Dr Herron, I've a point to put to  
3 you, which is just to clarify -- did you say that, using  
4 your H&Es, you didn't see any evidence of scarring?

5 A. I still think it's Dr Mirakhur's report.

6 Q. I beg your pardon. When you were looking at them, you  
7 didn't see any evidence of scarring?

8 A. No.

9 Q. And if you were looking to see if -- well, knowing what  
10 her history was that you've been told, you have been  
11 told that she had epilepsy as a child and so forth, and  
12 that there is -- she's referred to as having a mental  
13 handicap. Might you be looking for scarring?

14 A. Oh, yes. But it's ... Yes, that is one of those  
15 negative points again. If you saw it, you would  
16 describe it.

17 Q. Yes. I appreciate that. What I'm asking you  
18 is: is that something you would specifically be looking  
19 for, knowing that she had a history of epilepsy?

20 A. Yes.

21 Q. You might be looking for scarring?

22 A. Yes.

23 Q. And what you, I think, have confirmed is, yes, you would  
24 be looking for it, but you don't recall having seen it,  
25 using the stains that you applied or that were applied.

1 A. That's correct.

2 Q. Thank you. And you know that Dr Squier has used  
3 different stains and she says she has seen evidence of  
4 it.

5 A. I know that, yes.

6 Q. Then if I can deal with the neuronal migration disorder.  
7 As I understand it, you claim that you saw evidence of  
8 that in neuroblasts. And where I get that from,  
9 Mr Chairman, if you bear with me -- it's being pulled  
10 up -- is 302-168-001.

11 It's in the body of that e-mail, Mr Chairman. This  
12 is an e-mail where you are wanting to identify certain  
13 of the photographs of slides which you thought  
14 particularly evidenced the inflammatory cells and those  
15 are the first two images, and then the neuroblast,  
16 that's the third image. The neuroblasts relate to the  
17 neuronal migration disorder; is that right?

18 A. That's correct, yes.

19 Q. So if we go there and go to witness statement 224/3,  
20 page 77, that's it there, isn't it?

21 A. No.

22 Q. No? Okay.

23 A. I think it was the third image.

24 Q. Then if we go to -- maybe you can identify the one  
25 that is ... Is it 224/3, page 75? Please up alongside

1           it page 76.

2    A.   Yes, 76.

3    Q.   76 is the one?

4    A.   Yes.

5    Q.   Thank you.  Those weren't labelled, but Dr Squier

6           labelled them, so we're just trying to refer back so

7           that we're comparing like with like.  Can we pull up,

8           next to page 76, 236-007-040?

9           That's as it came to Dr Squier and she has labelled

10          that "image 10" because she had no other way of

11          identifying it.  Can you explain how it is that you see

12          the neuronal migration disorder from that slide?

13   A.   Okay.  The left-hand side of the slide is a line we call

14          the ependymal lining.  These dark nuclei just inside

15          it -- I don't have a pointer to get it to you.  The very

16          black dots are cells that don't appear like they should

17          be there.  Our cells have a normal distribution in the

18          brain and these are little nuclei of cells that have the

19          appearance of neuroblasts in an area and in an age that

20          we don't think should be there.

21   Q.   At an age when you don't think they should be there?

22   A.   Yes.

23   Q.   Is this because you associate this migration of cells to

24          the cortex as something that happens within the early

25          weeks of gestation and you wouldn't expect --

1 A. No, I think it continues for quite a long time.

2 Q. Until?

3 A. Probably after one. I wouldn't expect to see this  
4 distribution of cells in someone of Claire's age.

5 Q. Well, Dr Squier's evidence -- and I understand it will  
6 be Professor Harding's, but he can give that himself --  
7 is that there are always residual cells in children.

8 A. There are to a certain extent, but I don't think to this  
9 degree. Can I also say that this is not uncommon in  
10 neuropathology? This is a very, very subtle finding and  
11 people will give different weights to it. Some might  
12 say this is within a normal range and some might say,  
13 no, this is too much. And I accept there is that  
14 spectrum that some might view this as normal. I think  
15 it's excessive. Also, Claire had learning difficulties  
16 and I suppose you want to think of an association with  
17 the learning difficulties and anything you could find  
18 in the brain. It is a very subtle abnormality and I'd  
19 be the first to accept that there is a range of opinions  
20 on this matter.

21 Q. Dr Squier went through and actually prepared -- and I'm  
22 sure you have seen it because it's attached to one of  
23 her witness statements. She prepared a little  
24 presentation of slides, both to show how these cells,  
25 neurones, migrate out and over what period most of them

1 are doing it -- most, but not all of them are doing it  
2 and then she had Claire's slide on the one side and  
3 a slide showing migration disorder on the right.  
4 236-007-030.

5 If we remove the 040. That's the slide that was  
6 image 10. You see that on the left-hand side. On the  
7 right-hand side, she says this is what migration  
8 disorder looks like.

9 A. There are hundreds of different types of migration. You  
10 could show hundreds of different severities of migration  
11 disorder. That's one. That's maybe a bit more severe.  
12 Claire's, if present -- and I think there's evidence  
13 that it might be present -- is in the very, very subtle  
14 end of any abnormality.

15 Q. I think that's her point, that it's so subtle, one of  
16 two things might have happened. One, you might have  
17 applied better staining, more sophisticated staining, to  
18 try and see whether you really were seeing a migration  
19 or not. The other is you might have sought the advice  
20 of somebody more specialist in that area, and you've  
21 mentioned Professor Harding. That's exactly somebody  
22 that you might have contacted in relation to it, to see  
23 whether you're accurately looking at evidence of  
24 a neuronal migration disorder.

25 A. And my point would be that the two consultant

1 neuropathologists in Belfast at the time had a -- I was  
2 only a registrar, so I didn't have as much experience as  
3 them. But certainly the report that you are reading  
4 from and the description of the neuronal migration  
5 abnormality is Dr Mirakhur's. You have asked me if or  
6 not I agree with it and I have given you reasons why it  
7 might be there and why it might not be there. But they  
8 are experienced paediatric and adult neuropathologists.

9 Q. So just to help with this then: is this something that  
10 you saw and took as a description to Dr Mirakhur and  
11 then Dr Mirakhur had a look herself and, as a result of  
12 which, we now have that included in her final report, or  
13 is it something she identified when she looked at the  
14 slides?

15 A. I can't remember specifically, but it's something  
16 that is in her report and she has written it. It may  
17 not be me at all; it may all be her description.

18 Q. That's what I was going to ask you. So it might not be  
19 something that you yourself saw?

20 A. The reason I can't remember it was because the issue  
21 didn't come up at the inquest, so there's nothing  
22 recorded for my opinion about it at the inquest at the  
23 time.

24 Q. I understand. We are just dealing with possibilities  
25 and probabilities. So I suppose it is possible that it

1           wasn't something that you yourself identified.

2    A.   It's possible.  I can only see what's on record from the  
3           inquest.

4    Q.   Just so that you have it and so that you have an  
5           opportunity to comment on it, her evidence is that  
6           you have described:

7           "... the focal collections of neuroblasts in the  
8           sub-ependymal zone and focal collections of neurones in  
9           a haphazard arrangement in the deep white matter."

10           That's one of the ways that it's described.  Not you  
11           personally; the report describes it in that way, which  
12           I think you said, when you looked at it from the  
13           inquest, you didn't see any reason to demur.

14           She says you do not describe "any associated  
15           malformation in the overlying cortex", which is  
16           something she would have expected you to -- whoever was  
17           identifying that -- if that was there; would you accept  
18           that?

19    A.   I think in very subtle abnormalities, the cortex -- the  
20           surface of the brain -- may be normal with these subtle  
21           abnormalities deeper in the brain.  I wouldn't  
22           necessarily expect any abnormality of the overlying  
23           cortex.

24    Q.   She also says that whoever has described it in that way  
25           has described it as "haphazard cells" and that could

1           simply be normal paraventricular nuclei or residua in  
2           the germinal matrix. That could just be normally there.

3   A. I do think this is really Dr Mirakhur's evidence.

4   Q. Well, Professor Harding, just so that you have his view,  
5       refers to:

6           "Occasional neurones are present in the --

7           Sorry. I'm reading from 096-027-359, but we don't  
8       have to pull it up -- it's a very short report.

9           He says:

10           "Occasional neurones are present in the white  
11       matter. This is a normal finding. The only substantive  
12       abnormality is the presence of scattered neurones  
13       showing hypoxic change."

14           That's what he thinks is abnormal, the hypoxic  
15       change. Do you have a comment on that?

16   A. That's his opinion, yes, and it differs from  
17       Dr Mirakhur's opinion.

18   Q. Well, they will give their evidence on that. You have  
19       seen her -- I'm not going to go through all her  
20       comparative images, but she has produced other images to  
21       do with these ependymal dark cells. For reference  
22       purposes --

23   THE CHAIRMAN: I think --

24   MS ANYADIKE-DANES: I'm not going to take you into it.

25   THE CHAIRMAN: If the doctor's deferring to Dr Mirakhur's

1 view on this, let's move on.

2 MS ANYADIKE-DANES: Encephalitis. Is that something that

3 you think you saw evidence of?

4 A. I think it would be useful to see the way I have said

5 this in the inquest to show you how I weighted the

6 evidence.

7 Q. 091-005-019. Then we can move through the relevant

8 pages.

9 A. It's the handwritten part of the deposition.

10 Q. There's a second bit.

11 A. It starts, "there was mild inflammation of the brain".

12 Q. "I did not find any virus to cause this, though that

13 does not exclude a virus."

14 A. And then you can skip a line. And then:

15 "... with a little inflammation of the brain. In

16 a typical case of encephalitis, the degree of

17 inflammation is more severe."

18 I'll explain my interpretation of that because

19 I think it's important.

20 Q. Yes.

21 A. As I mentioned before, I had done a significant amount

22 of research in encephalitis and had quite a lot of

23 experience of encephalitis. What I learned from that

24 was that any inflammation in the brain that cannot be

25 explained must be mentioned and obviously correlated

1 with the history as well. So there was inflammation  
2 in the brain. It was not typical of what other people  
3 have called acute fulminant encephalitis. It was very  
4 mild. If I was to put it on a scale of 1 to 10, it'd be  
5 1 or 2, but nonetheless it was present and therefore  
6 must be mentioned.

7 There were a lot of clinical queries in this case.  
8 One of them was encephalitis. I think I, in my  
9 deposition, and Dr Mirakhur, in a slightly different way  
10 in her report, said: right, there's inflammation, in  
11 generic terms this is meningoencephalitis. If there's  
12 inflammation of the meninges, it's meningitis; if  
13 there's inflammation ... encephalitis. We both said  
14 there were reasons why it may not be infectious  
15 encephalitis or viral encephalitis. We didn't find the  
16 virus. We also opened the opportunity to consider other  
17 diagnoses such as the -- we couldn't make or diagnose  
18 epilepsy. We said metabolic disorders may be included.

19 Because the inflammation was not typical of a case  
20 of lethal encephalitis, we had to open the possible  
21 diagnoses. So I think there was certainly mild  
22 inflammation in the brain. How one interprets that  
23 further, I can go into at any stage, but it must be  
24 mentioned.

25 Q. What did you think had produced it?

1 A. I thought the most likely cause was a virus. I've said  
2 that at the bottom of the report. No one has ever asked  
3 me, I think, because I'm not an expert witness in this  
4 case, of what I think has happened to Claire. I'm quite  
5 happy to give that opinion if I'm asked. You've asked  
6 me what I think has caused the inflammation of the  
7 brain. And can I answer it slightly as an expert, with  
8 my knowledge of the case?

9 Q. Yes, of course.

10 A. I think Claire had a viral infection that affected her  
11 tummy. Whether it was upper tummy or lower tummy,  
12 I think there was a virus inside her gut somewhere. And  
13 the reason I think this and others -- I should also  
14 mention I'm not a paediatrician or a neurologist or any  
15 of those things. Claire was significantly unwell when  
16 she came into hospital from a neurological point of  
17 view. If Dr Scott-Jupp and some of the others are to be  
18 believed, she had a sodium -- and please correct me if  
19 I've missed some of the information -- of 132 on first  
20 measurement. Dr Scott-Jupp and the others would say  
21 that should not be associated with a significant  
22 neurological compromise. And I think she wasn't obeying  
23 commands, she was ataxic, there were various things, if  
24 that's accepted.

25           Something must have happened to Claire before she

1           came into hospital. There could be an infection, it  
2           could be a seizure, and I can't comment on that. It  
3           can't be the fluids because she wasn't given any before  
4           she came into hospital. So I think -- and this is how  
5           I tend to put cases together when I'm trying to explain  
6           them. The primary -- and I'm not saying the only cause  
7           of Claire's ultimate illness -- must have occurred  
8           before she got into hospital to bring her into hospital.  
9           So what could that be? Others seem to have excluded  
10          seizures. I can't do that, I don't know if that's right  
11          or wrong. I think she has had a gastrointestinal  
12          infection. She has very mild inflammation in her brain.  
13          One of the causes of mild inflammation in the brain is  
14          when the virus spreads to the brain.

15                 I think the most likely thing, but I can't say for  
16          sure, is that this virus, in some way, has caused some  
17          inflammation of the brain. What I think has happened  
18          next is -- and this is just my own opinion. Claire had  
19          a vulnerability to the effects of this virus or to any  
20          damage that was in her brain because of her previous  
21          history of epilepsy/seizures. It may be that because of  
22          whatever developmental or non-developmental abnormality  
23          caused her learning difficulties, she was a susceptible  
24          individual. I think Professor Neville and Dr Squier  
25          will say that as well.

1           So she's more vulnerable to a minor degree of brain  
2           injury. I think the infection, the virus, possibly  
3           a degree of meningitis, has set in chain something else.  
4           What happens next? I don't think this is a severe  
5           encephalitis. So I think there must be another factor  
6           going on. What is the other factor? Things I can't  
7           exclude or include are the things I've already  
8           mentioned. Her sodium dropped quite rapidly.  
9           Infections are known to cause a drop in sodium according  
10          to the other experts; I have no personal experience of  
11          that.

12          So the issue of fluids is obviously very important  
13          here -- and please acknowledge that that's outside my  
14          territory, but I want to make a suggestion of how  
15          I understand it. If it was the case that thousands of  
16          children, millions, all over the world were given this  
17          fluid regime and didn't have the severe reaction that  
18          Claire had, there must be something different about  
19          Claire, and I suspect that's the inappropriate ADH  
20          secretion that is associated with this infection that  
21          took the sodium down.

22          So if you follow what I'm saying, she's had an  
23          infection. Maybe just stomach, maybe not diarrhoea --  
24          it doesn't matter, the same bugs are going to cause both  
25          of them. She's had a very mild encephalitic illness,

1 not one that would normally cause a normal child any  
2 damage and it has set a chain of events in place,  
3 probably with inappropriate ADH secretion. Beyond that,  
4 I can't really make it any further. But the combination  
5 of all of them has led to brain swelling. And I will  
6 reiterate that that's just an opinion.

7 THE CHAIRMAN: I understand, doctor. Thank you.

8 MS ANYADIKE-DANES: Thank you very much.

9 The inflammation cells that you see, in terms of  
10 trying to see, working backwards, what caused them, then  
11 you're trying to look at what is the character of that  
12 inflammation, I suppose?

13 A. Yes. That's right, yes.

14 Q. From the perspective of Professor Harding and Dr Squier,  
15 they don't see any kind of infiltration. That's one of  
16 the things that they would be looking for, that kind of  
17 response, and they don't see that. So even though you  
18 describe it as a "low-grade sub-acute  
19 meningoencephalitis", their view is that it's not that.  
20 But if, and I'm not saying it was your conclusion that  
21 it was that -- that might have been the conclusion of  
22 Dr Mirakhur based on the description that you provided  
23 of what you saw. But if it had been that, so if you got  
24 only a low grade -- which I think you've described as  
25 maybe 1 to 2 on a scale of 1 to 10 -- doesn't it become

1 all the more important to know a little bit about her  
2 clinical history? In fact you've drawn on some of that  
3 actually to try and characterise what is going on: know  
4 a little bit more about her clinical history, discuss  
5 a little bit more with her clinicians as to how a low  
6 grade sub-acute meningoencephalitis can, as what you see  
7 on the cells, end up with a fatal cerebral oedema.

8 A. Yes, and I think that was done.

9 Q. Sorry?

10 A. I think that was done in --

11 Q. You think that was done?

12 A. I've got good evidence that the case was discussed at  
13 one of our grand rounds or CPCs, one of our meetings.

14 Q. We'll come to what might have been the outcome of that  
15 in a little bit. But in any event, I think you're  
16 agreeing that all of that points to a further  
17 discussion.

18 A. Yes.

19 Q. Could you have improved the knowledge of the  
20 inflammation of the cells that you saw by applying  
21 different stains?

22 A. Yes, now. I'm not sure that we could have done it any  
23 better in 1996. The first stage in looking at the cells  
24 is, again, with this routine stain that we use for  
25 everything. We do it for everything because it does

1 help us with everything. This was an H&E stain and it  
2 showed lymphocytes in the brain. Lymphocytes are  
3 characteristic cells for many things, including  
4 encephalitis. Nowadays, I think you would try and  
5 sub-type those. I certainly would now. I'm not sure if  
6 it would have been helpful or even available in 1996.  
7 I can't remember.

8 Q. Professor Lucas provided a report for the inquiry. The  
9 reference for that is 239-002-011. If we pull up 012  
10 alongside it because I think that's where he's  
11 discussing it. He says at the bottom:

12 "I am a little surprised that no one, even in  
13 retrospect, has performed specific immunohistochemical  
14 stains on the tissue slides to determine for sure the  
15 presence/absence of inflammatory T-cells or reactive  
16 astrocytes and microglia. In my book, infiltrating CD8+  
17 T-cells are necessary to diagnose encephalitis in most  
18 cases and they are either there in the brain or they are  
19 not. In they are not, then it is not encephalitis."

20 A. Yes. And of course Professor Lucas isn't  
21 a neuropathologist. He has his opinion. Not all cases  
22 of encephalitis have CD8. In my experience, not all  
23 cases of encephalitis have CD8+ cells. They are common.  
24 I think the inflammatory infiltrate was so mild in  
25 Claire's case anyway that it probably wasn't going to

1 help. I would say, if I was doing this case now in  
2 2012, I would have a whole battery of material that  
3 I would use on the case, yes.

4 Q. But I think, even from 1996, what Dr Squier is saying --  
5 whose territory we're in, if I can put it that way, and  
6 for that matter Professor Harding -- and she is saying  
7 that there has been no -- if we look at 236-007-005.  
8 She says:

9 "There has been no attempt to confirm the  
10 observations made with additional studies. No Gram  
11 stains were done to look for bacterial cause."

12 Then she goes on later on in one of her other  
13 reports to talk about the stains that were applied and  
14 the stains that she applied. The upshot in  
15 236-003-010 -- her conclusions were from OX15, which is  
16 mid-brain were:

17 "That there is no substantial tissue infiltrate,  
18 whereas in respect of OX16 [which is the pons], there is  
19 no excess of macrophages in the meninges and no evidence  
20 of meningitis or encephalitis."

21 Professor Harding puts it quite cryptically in his  
22 report. He says at 235-002-001:

23 "My experience does not support this contention.  
24 Given the marked degree of brain swelling noted  
25 clinically (including papilloedema and CT scan) and

1 confirmed at post-mortem, I consider it extremely  
2 unlikely that microscopic evidence of encephalitis would  
3 not be evident by three days. I have seen it occurring  
4 within 36 hours."

5 In other words, he's saying if it was there, he  
6 would have seen it and he doesn't agree that it is  
7 evident.

8 A. I think if you look carefully at what he was asked,  
9 "whether in your experience an acute and fulminant  
10 encephalitis" -- which is not what we said.

11 Q. I accept that.

12 A. That's a completely different --

13 THE CHAIRMAN: You're saying he's answering a different  
14 question?

15 A. Yes, he is.

16 THE CHAIRMAN: And your point about encephalitis is that you  
17 put the scale of inflammation of the brain -- on a scale  
18 of 1 to 10, you put it at 1 to 2, and that's what led  
19 you to tell the coroner that in a typical case of  
20 encephalitis the degree of inflammation is more severe?

21 A. Absolutely.

22 THE CHAIRMAN: Therefore, to be concluded from that -- or  
23 I conclude from that -- that you're raising this as  
24 a possibility rather than anything more certain?

25 A. Yes, and Dr Mirakhur did the same. If you read her

1 evidence, she says it is possible, I think.

2 MS ANYADIKE-DANES: You're quite right about the question  
3 he was put. He was put that question because I think  
4 Professor Cartwright posed it. In his own evidence,  
5 when he looks at the slides -- and he did this report  
6 for the PSNI at 096-027-359 --

7 A. He said there's no evidence. What he said was --

8 Q. If we pull it up there, he's dealing with a microscopic  
9 examination there, and he talks about the numerous  
10 blocks that are taken. He says:

11 "In these sections, there is no evidence of  
12 meningitis or encephalitis, inflammation of the brain  
13 and its coverings."

14 And then he goes on to say the other things that  
15 there wasn't or isn't any evidence of, and what he does  
16 see -- and then he says the point that I read out to you  
17 before:

18 "The only substantive abnormality is the presence of  
19 scattered neurones showing hypoxic change."

20 And his summary is:

21 "Acute hypoxic damage to nerve cells [in amongst  
22 other things], probably terminal."

23 If one goes over the page to 360, he says at (a):

24 "There is no evidence of acquired infection,  
25 meningitis, or encephalitis."

1           And down at the bottom at paragraph 4 he says:

2           "I consider meningoencephalitis excluded, both by  
3           microbiology and the post-mortem neuropathology."

4   A.   Yes.   Can I comment on that?

5   Q.   Of course.

6   A.   My experience of working with encephalitis is that any  
7           inflammation should be mentioned and quantified.  
8           I think I have done that.  I've also commented on  
9           reasons why encephalitis -- why other diagnoses should  
10          also be considered because the degree of inflammation  
11          was so mild.  I find it interesting that  
12          Professor Harding, who is a neuropathologist, says,  
13          "I consider meningoencephalitis excluded by  
14          microbiology", when, as far as I have read  
15          Professor Cartwright's evidence, who is a professor of  
16          clinical microbiology, he seems to take a different view  
17          of that in respect of encephalitis.  I think he has been  
18          the strongest and most ardent proponent of encephalitis  
19          in many of his statements and he is a professor of  
20          clinical microbiology.  For Professor Harding to make  
21          the statement about "excluded by microbiology" I think  
22          is significant.

23                The other point about Professor Harding's  
24                evidence -- and of course he's going to give his  
25                evidence -- is I think at one stage he called the

1 cerebral oedema "mild", and in that other report I think  
2 he called it "severe". I'm not too sure about that.  
3 It's not an issue in this part of it.

4 If you go to his conclusion, number 5, and maybe if  
5 we can either see all of it in one section or even in  
6 two halves:

7 "Hyponatraemia has been identified from the chemical  
8 pathological data. There is a history of vomiting,  
9 which may result in severe electrolyte disturbance.  
10 Hyponatraemia is known to produce brain swelling."

11 He seems to have excluded seizures. He seems to  
12 have included encephalitis. None of us really thinks  
13 this is a bacterial meningitis. If I read that, the  
14 only suggestion that he is coming up with is the  
15 vomiting. I think Mr Roberts and the others would say  
16 there was only vomiting in the few hours before Claire  
17 got into hospital --

18 Q. Yes.

19 A. -- and that the sodium was 132, which wasn't a cause of  
20 concern. So I don't think Professor Harding has gone  
21 any way to explain why Claire was in hospital with her  
22 neurological deterioration.

23 Q. The sodium was 132 from a sample taken at about 9.30.  
24 By that time, she had been vomiting practically every  
25 hour.

1 A. Mm-hm. But her sodium was in a range that others  
2 weren't particularly concerned with in a normal child.  
3 I'm talking about clinical issues that aren't really my  
4 territory, but you understand why I'm saying this.  
5 I think we have to try and explain why Claire was in  
6 hospital.

7 Q. Yes, well, in fact I think in your most recent witness  
8 statement, 224/4, page 7, you do concede it's possible,  
9 I think, that Claire did not have encephalitis in all  
10 the circumstances:

11 "But I cannot comment on the specifics of her  
12 death."

13 A. I'd really need to see how the question was asked.

14 Q. Have I misread that?

15 A. No, I think it is possible. I haven't made  
16 a categorical diagnosis of infectious encephalitis, I've  
17 left it open. I think it is possible that she had  
18 a very, very mild encephalitis, but other diseases  
19 I couldn't exclude.

20 Q. You talked about Professor Cartwright's view in terms of  
21 the microbiology as a professor in that discipline and  
22 consultant in that discipline. When you had such  
23 a low-grade inflammation, if I can put it that way, and  
24 yet on the other hand in a relatively short period of  
25 time the child had died, did it occur that maybe we

1           ought to seek some guidance from a microbiologist?

2    A.   Well, there were microbiological reports.  I'm not sure

3           if further guidance was sought from a microbiologist at

4           the time.

5    Q.   If you look back on it now, could that have been an

6           appropriate thing to have done?

7    A.   I would certainly contact a virologist now, and I do all

8           the time.

9    Q.   But in relation to the information that you have about

10           Claire, might that have been an appropriate thing to

11           have done at the time?

12   A.   I think it would have been an appropriate thing to do

13           at the time, yes.

14   Q.   Then I think the other matter is inappropriate ADH.  The

15           inappropriate ADH secretion is the thing that is tied in

16           with the hyponatraemia, and the issue for the

17           hyponatraemia is whether it's cause or effect.  Would

18           that be an appropriate way to categorise it?

19   A.   Yes, it certainly seems to be an issue, yes.

20   Q.   What role did you think hyponatraemia might have played

21           once you've got your information on the autopsy request

22           form of a serum sodium level of 121 with the knowledge

23           that there was fluid restriction?

24   A.   The way I read that was Claire had hyponatraemia and she

25           was then fluid restricted, which seems to be a sensible

1 treatment for hyponatraemia. I think that's all it  
2 meant to me.

3 Q. Were you able to assess at all or form a view from the  
4 information that you had as to how that hyponatraemia  
5 might have developed?

6 A. Yes. Well, as I had said earlier, there were three  
7 causes of inappropriate ADH secretion.

8 Q. That's one.

9 A. Sorry, which?

10 Q. Inappropriate ADH secretion would be one route.

11 A. Oh, well --

12 THE CHAIRMAN: He's saying something different.

13 A. There were three causes of inappropriate ADH secretion  
14 and that's what I was focused on. That's how it was  
15 presented to me, as a syndrome of inappropriate ADH  
16 secretion causing hyponatraemia, and there were causes  
17 for it. As I said earlier in my evidence, if there  
18 hadn't been a rational cause for hyponatraemia, I would  
19 have done a lot of wider investigation and questioning.

20 MS ANYADIKE-DANES: Yes. In the comments section -- this  
21 might not be your comment -- but it says that  
22 a metabolic cause can't be excluded.

23 A. Mm-hm.

24 Q. What did you understand that to mean? Sorry, what it  
25 says is, "A metabolic cause cannot be entirely

1 excluded".

2 A. When Claire presented, she was encephalopathic.

3 Encephalopathy is really a general term to mean

4 a reduced level of brain function. The metabolic causes

5 are widespread. They could be causes -- abnormalities

6 of your amino acids, abnormalities of your

7 biochemistry, a condition particularly called Reye's

8 disease, hundreds of causes. But that would also

9 include issues relating to any kind of metabolic

10 disturbance of your body chemicals. That's

11 Dr Mirakhur's statement, but I said something similar in

12 my evidence as well. I said a wide range of things

13 could still be considered possible.

14 Q. And if one was trying to sort of tie it together and see

15 where that was taking us, how would that be investigated

16 further? If the clinician sees "can't entirely exclude

17 a metabolic cause", what does that connote to the

18 clinician that they ought to be further considering?

19 A. They're obviously much more used to children who come in

20 with metabolic diseases. There are consultant metabolic

21 physicians, paediatric physicians, in the Royal. I'm

22 not sure if there were then. They would be aware of the

23 different spectrum of diseases that could cause

24 a presentation like this in a child like Claire much

25 better than I could. I think the main one would be

1           Reye's syndrome, but none of us found any evidence of  
2           that in the brain.

3    Q.   That's what I was going to ask you.  If you come to the  
4           view that: well, there might be something metabolic  
5           going on here, how much of that can you actually exclude  
6           from the evidence that you're looking at?  I mean the  
7           particular kind of metabolic cause.

8    A.   There are thousands of metabolic diseases and really  
9           we -- most of them you couldn't exclude.

10   Q.   Most you couldn't exclude?

11   A.   You couldn't exclude.

12   Q.   Do you seek to exclude the ones that can be excluded to  
13           help refine things for the clinician?

14   A.   I think the Reye's syndrome is one.  It's very rare and  
15           I think -- I have seen one or two cases in my life,  
16           maybe in the 80s, early 90s.

17   THE CHAIRMAN:  It almost sounds like a road to nowhere to  
18           start trying to exclude some metabolic disorders --

19   A.   It is not really done by brain pathology in most cases.  
20           If the brain pathology is so non-specific, it's not  
21           really going to take you very far.  These are more  
22           paediatric investigations in a hospital.

23   MS ANYADIKE-DANES:  Sorry, I had put to you a quote:

24            "It's possible that Claire did not have  
25            encephalitis."

1           And I didn't tell you where that came from. It's  
2           224/1, page 10, in answer to question 15(i). If you see  
3           the second sentence:

4           "It is possible that Claire did not have  
5           encephalitis in all the circumstances, but I cannot  
6           comment on the specifics of her cause of death."

7   A. That's right.

8   THE CHAIRMAN: Okay.

9   MS ANYADIKE-DANES: Thank you. Just so that I put it to you  
10          so you can address it because Dr MacFaul is going to  
11          give evidence later on, in his report -- and we don't  
12          need to pull it up -- he regards it remarkable that  
13          there is no reference to the low sodium made in the  
14          report. I characterise it in that way because you were  
15          saying you didn't draft that report, given that you or  
16          whoever is drafting it had access to the notes and to  
17          the autopsy request form completed by Dr Steen --

18   A. I thought it was in the clinical history that the sodium  
19          was 121, in the first paragraph.

20   Q. I think taking it further forward, where the low sodium  
21          takes you, is what I think Dr MacFaul is dealing with.

22          Then the final point is cerebral oedema because the  
23          one fact is that everybody's absolutely clear about --  
24          and I presume you don't demur -- is that she died from  
25          cerebral oedema. The great issue has been: how did her

1 cerebral oedema develop to that extent that she coned  
2 and died. That's been the issue and what you've been  
3 exploring is the various routes to that oedema as were,  
4 for that matter, her clinicians; would that be right?

5 A. Yes.

6 Q. Can I just ask, if that's the end target and the issue  
7 that's been put is that what more could have been done  
8 if you ... Assuming that you weren't under constraints  
9 of time, what more could have been done to shed light on  
10 the cause of that cerebral oedema?

11 A. Do you mean in 1996?

12 Q. Yes.

13 A. That's a difficult question. Um ... Sometimes --  
14 I don't know if I have a good answer for you.

15 In neuropathology and in medicine we only can get to  
16 a certain distance in a diagnosis and it's frustrating  
17 for everybody. It does happen. I think  
18 Professor Neville said that with neuropathology  
19 examinations you shouldn't necessarily expect anything  
20 or a definite answer. I don't think you're asking me  
21 just about neuropathology; I think you are asking me  
22 about the care as a whole. I'm not sure.

23 Q. Both, really.

24 THE CHAIRMAN: Sorry, there's no point in going --

25 A. From --

1 THE CHAIRMAN: From your perspective, do you think anything  
2 more could have been done in 1996 to try to shed light  
3 on the cause of the cerebral oedema?

4 A. No. Thinking back, and obviously you want to give  
5 Mr and Mrs Roberts the best answer you can, but I don't  
6 think we could have really taken it any further then.

7 MS ANYADIKE-DANES: Can I ask the question in a slightly  
8 different way? If you hadn't had such clear pointers,  
9 but all you had known is that this is a young girl who's  
10 come in on 21 October, she had respiratory arrest in the  
11 early hours of the 23rd, and she suffered fatal cerebral  
12 oedema, she coned and died, effectively, and that's all  
13 you really know -- and as I take it from the way you  
14 answered the chairman earlier, sometimes the information  
15 you get isn't terribly detailed. If that's all you had,  
16 what would you have done to try and identify what was  
17 the cause of that cerebral oedema?

18 A. Um ... I would have done a brain post-mortem. I was  
19 taking CSF. I would have ... The first thing I would  
20 have done, I think, would hopefully be to have the  
21 opportunity to have a much more detailed discussion on  
22 all the findings before you had to start a PM. But  
23 that's, in most, cases not possible.

24 Q. That's fine. If we pause there. If you'd appreciated  
25 that the consultant, the named consultant for the child,

1 for various reasons, had not actually much experience of  
2 the child or had seen the child or even treated the  
3 child, but that a paediatric neurologist had, would  
4 you have been wanting to speak also to the paediatric  
5 neurologist?

6 A. I think as I've said before, the more information you  
7 can get in order to pursue along a particular direction,  
8 the better. I'm not sure even know that we would have  
9 got any further in defining a diagnosis. I think the  
10 issues in this case and in other cases are not  
11 neuropathological issues, predominantly, or some of the  
12 issues aren't neuropathological. The issues here relate  
13 to conditions such as inappropriate ADH secretion,  
14 hyponatraemia, fluid balance, obviously. Things that  
15 are not diagnosable by post-mortem. One of the -- with  
16 Raychel ... I don't know, is Raychel's family here?

17 THE CHAIRMAN: No.

18 A. One of the ways of getting to the bottom of Raychel's  
19 case was I made sure that the specimens were seized at  
20 an early stage to investigate her biochemistry --  
21 I can't remember, but I'll come to it -- her osmolality,  
22 all of those things.

23 MS ANYADIKE-DANES: What do you mean by "seized the  
24 specimens"?

25 A. I think Dr Loughrey was able to get samples that were

1 taken either in life or after death to look for  
2 chemistry results. That's what I understand. I do  
3 think really the neuropathology has been slightly  
4 helpful, but a wee bit unhelpful in coming to  
5 conclusions and the answers maybe lie outside the brain  
6 for a lot of what's going on here.

7 Q. So if I understand the sorts of things you think are  
8 most likely to have caused that fatal cerebral oedema  
9 are not necessarily the things that you would easily  
10 find during a brain-only autopsy, or any autopsy for  
11 that matter.

12 A. Or any autopsy; they're not really autopsy answers.

13 Q. So it's not that kind of evidence?

14 A. No.

15 Q. So you have to look far more closely, if you want to  
16 find out and understand what was happening to her in  
17 life during that last admission, and the best you can  
18 with the tests and results that were carried out on her  
19 at that time?

20 A. Yes.

21 Q. Is that what it amounts to?

22 A. I think that's fair, yes.

23 Q. We'll come to the post-autopsy discussions with  
24 clinicians.

25 To some extent you've covered this, although the

1 discussion can happen at any number of times. It can  
2 happen when you first get the referral to make sure  
3 you have got the right end of the stick as to what's  
4 being done and what are the important elements to it, if  
5 the referral form isn't sufficiently detailed, or  
6 presumably at any time when you're actually carrying out  
7 your examination, if you see something and you're not  
8 quite sure how that fits with what the clinicians might  
9 have seen. But is there not another very natural time  
10 to do it, which is when you've got as far with your  
11 investigations as you have and maybe you're at the point  
12 of writing your report, there may be a natural time to  
13 have a discussion with the clinicians at that stage, as  
14 in fact I think you said sometimes you did before you  
15 send out your report?

16 A. I think ... Can I --

17 Q. Of course.

18 A. -- show you 090-054-178, "Urgent for NSU". And I'll  
19 explain what that means.

20 Some of the other commentators have -- maybe  
21 rightly, but I don't think so -- been critical of  
22 various aspects of the post-mortem report. I think, and  
23 this is only my opinion, to take a snapshot of a single  
24 report that's 16 years old and to understand the whole  
25 process of a department and how it deals with

1 pathological information is maybe a simplistic thing to  
2 do. Professor Allen -- she's now Dame Professor or  
3 Professor Dame, I can never remember which way round it  
4 is -- set up the neurology department in 1973 on  
5 international -- to mimic international units. One of  
6 those was the Massachusetts General Hospital in Boston.  
7 The Beaumont Hospital in Dublin, and the Neurological  
8 Hospital in London. And what they do is a grand round,  
9 or we call it -- NSU, I don't know where it came from,  
10 neurosurgical unit, but I think it's where the meetings  
11 started. Our department is geared up for that meeting.  
12 I was there on Tuesday presenting a CPC, I was there  
13 last Tuesday presenting two CPCs. That is the core  
14 function, I believe, of our department.

15 So Claire's case, you can see, was being prepared  
16 for NSU. I have the slides that were part of the  
17 presentation for that and it's something we do with  
18 almost all of our relevant cases. So I am confident  
19 that Claire was discussed at one of these CPC meetings,  
20 which is the natural time, I think, to discuss it. It's  
21 a scheduled meeting, we have a rota for when we present,  
22 and I think that it is a much better -- my experience  
23 over 20 years is that it's a much more critical, robust  
24 way of interrogating information. It takes -- in those  
25 days, 1996, it might have taken me a week to prepare one

1 case for it. I think it was Dr Mirakhur who dealt with  
2 Claire's case.

3 Professor Lucas was very critical that there was no  
4 CPC done in this way.

5 Q. I'm going to come to that in a minute.

6 A. It was mentioned in some of my depositions that this had  
7 been done. I think this is a much better way of doing  
8 a CPC than a couple of paragraphs in a report.

9 Q. I'm going to come to that, but can I just ask you, do  
10 you see where it says "EBs out to Dr Mirakhur" and you  
11 have the date out as "6/2/97". What does "EB" mean?

12 A. She went back to reassess --

13 Q. Extra blocks?

14 A. Extra blocks were supplied to her.

15 Q. So that's dated 6 February. And then the date on the  
16 autopsy report is 11 February.

17 A. That's right.

18 Q. Does that timing suggest that you had the grand round,  
19 the meeting and then, as a result of that, you produced  
20 a report?

21 A. No.

22 Q. Or that's going on, the report goes out and the grand  
23 round is actually discussing what's reflected in the  
24 report and your material?

25 A. That is how I interpret this information.

1 Q. The latter?

2 A. Yes.

3 Q. So in other words, what I was asking you is: there's no  
4 particular evidence of there having been a discussion  
5 between the pathologists and the clinicians before the  
6 report goes out?

7 A. There's no record that I'm aware of. It doesn't mean it  
8 didn't happen.

9 Q. I accept that. What I'm now trying to find out from you  
10 is: how typical was it in 1996 to have a discussion like  
11 that before the report went out and you had your grand  
12 round and so forth?

13 A. I honestly can't remember. It depends, I suppose, how  
14 distant you are from the people you're interacting with.  
15 The Children's Hospital obviously is further away, if  
16 you know the anatomy of the Royal. We're right on the  
17 Grosvenor road site, so you're not going to meet your  
18 paediatricians as commonly. There is the telephone.  
19 Maybe dozens of conversations took place, maybe none  
20 took place, I don't know. But it's a small world, you  
21 do meet and bump into all your colleagues regularly. It  
22 could have happened.

23 Q. One of the things that Dr Squier says at 236-007-004:  
24 "In this case, while two diagnostic conclusions had  
25 been reached in the final report, there remained further

1           uncertainties such as whether the history of diarrhoea  
2           and vomiting may have been associated with CNS infection  
3           or whether there was a metabolic disease. These issues  
4           should have been investigated with the relevant  
5           clinicians prior to finalising the autopsy report."

6    A.   Yes. I think these issues would have been brought up  
7           at the CPC.

8    Q.   Your view is they should be discussed at some point and  
9           it's not material whether it's before you finalise the  
10           report or after you finalise the report?

11   A.   I think what often happens with the report is it goes,  
12           "Think about this, this is going to form the basis of  
13           the subsequent discussion", and then it would be  
14           discussed.

15   Q.   If you wanted to have -- not necessarily you personally.  
16           If it was thought helpful to have a discussion like that  
17           to aid in the finalising of the report, who instigates  
18           that?

19   A.   The ... The CPC or just ...

20   Q.   No.

21   A.   An informal discussion.

22   Q.   For example, would you be saying to your consultant,  
23           whether it be Dr Mirakhur or Professor Allen, "This is  
24           as much as we have found. It might be a good idea to  
25           talk to the clinicians before we actually finalise this

1 report", or would it be one of the consultants who took  
2 that initiative themselves, given --

3 A. I think anybody could do that.

4 Q. Okay. Then if we go to --

5 THE CHAIRMAN: Sorry, is that more likely to emerge as an  
6 option when you have a report which is a bit  
7 inconclusive?

8 A. In 1996, I can't remember specifically. Now, obviously,  
9 it's very different; you e-mail people all the time.

10 THE CHAIRMAN: Yes, but the general point is: are you more  
11 likely to say, "Look this is a child who we do need to  
12 talk about because we've examined this, we've done our  
13 tests here, and we're still not really sure what went  
14 wrong"?

15 A. I think that's a fair point and I think the more  
16 complicated the case, the more likely it is it is going  
17 to be discussed at a group discussion.

18 THE CHAIRMAN: And Claire's case was complicated and --

19 A. And there's nothing clear-cut.

20 THE CHAIRMAN: -- and the outcome is rather inconclusive,  
21 isn't it?

22 A. Yes.

23 MS ANYADIKE-DANES: If we go to the autopsy report itself,  
24 am I right in thinking that the report writing, the  
25 first bit of paper that emerges, is the provisional

1 anatomical summary?

2 A. Yes.

3 Q. And that's at 090-005-007. That initial under the text  
4 on the left-hand side is your initial, isn't it?

5 A. Yes.

6 Q. So does that mean you prepared this?

7 A. Yes.

8 Q. The date of -- in the same way as we were looking at the  
9 request for autopsy, the date of admission is incorrect,  
10 the time of death is incorrect and is the reason for  
11 that because you took your information from the request  
12 form?

13 A. This information would have been transcribed largely  
14 from the request form. There is a mistake, I think it's  
15 of my doing. I think the time of death on the request  
16 form was probably -- could have been interpreted as 6.15  
17 rather than 6.25, although the writing on the request  
18 form is actually less clear on the original than it is  
19 on the photocopy. But I think that should -- I would  
20 have meant that to say 6.15. The date of admission was  
21 taken from the request form.

22 Q. And is your standard form in that format so that you put  
23 the age and you don't have the date of birth?

24 A. Those would have been departmental policies that existed  
25 before I was ever there. I'm not sure why it's like

1           that.

2    Q.  When you release this anatomical summary, what is its  
3           purpose?

4    A.  Its purpose is really ...  I'm a little bit surprised.  
5           I think this was in the hospital notes, wasn't it?

6    Q.  Yes.

7    A.  It is of no clinical value, to be honest.  What we use  
8           it for is to keep in our system, so that our secretaries  
9           know when to list cases for further dissection for the  
10           brain cut.  They keep a record in a rolling order and  
11           they generate -- it's really an internal document to be  
12           quite honest.  It's saying very little that is of use to  
13           anybody except to us.

14   Q.  Where do you get the history of acute encephalopathy  
15           from?

16   A.  Well, she was encephalopathic when she came in.

17   Q.  It's not actually described like that in the autopsy  
18           request form.

19   A.  That's my history.

20   Q.  Yes.  So how do you read the autopsy request form to  
21           describe her history as acute encephalopathy?

22   A.  Well, she was well -- she had slurred speech, she was  
23           drowsy, she had query seizures.  Those are all features  
24           that would indicate encephalopathy.

25   Q.  If you were going to put that history, is there any

1 reason why you wouldn't simply summarise the history  
2 from the autopsy request form?

3 A. This document really is of very little relevance to  
4 anybody except our department. And it's really just to  
5 keep in a list so when we come to do the brain cut,  
6 cases don't get missed.

7 I'll give you a different example. If this was  
8 a full post-mortem and there were lots of different  
9 findings -- maybe somebody with cardiac disease or  
10 something like that -- it would be of more relevance  
11 because you would be listing lots of anatomical  
12 findings. With a brain-only post-mortem that  
13 you haven't really examined at the time, it's really of  
14 no value to clinicians.

15 Q. And then you're up at the top as the pathologist.

16 A. Yes, for the reason I explained. Once the name got  
17 entered, it seemed to continue through the documents.

18 Q. Except this is your form.

19 A. Yes.

20 Q. You --

21 A. Yes. The department produces it, my name goes on it,  
22 yes.

23 Q. Yes, but you're issuing it, so it would have -- and  
24 you've initialled it.

25 A. Mm-hm.

1 Q. Anyway. The purpose of the -- if we move on from that  
2 and deal with the purpose of the autopsy report.

3 Dr Carson, who's the medical director at the time --  
4 sorry, it's his witness statement 270/1, page 7. He  
5 says that the purpose of the report is:

6 "To inform the clinician who may have requested the  
7 autopsy and the family in regard to questions about the  
8 person's illness or the cause of death."

9 Do you accept that that's the purpose of the autopsy  
10 report?

11 A. Yes and no. With a brain-only post-mortem, it's  
12 initially to inform the clinician of the  
13 neuropathological findings, which they can correlate  
14 with all of the other findings in order to inform the  
15 family of the cause of death or the person's illness.  
16 So it's only one part of the process. With a more  
17 substantial post-mortem, like with a coroner's case, for  
18 instance, you'll get a more substantial report with  
19 a definitive diagnosis and cause of death. With  
20 a brain-only post-mortem, it's really just one part of  
21 that process.

22 Q. So if you're doing a brain-only in this context, you're  
23 necessarily going to get into some sort of  
24 reconciliation between what the clinicians have found  
25 and what you've identified as you're only one piece of

1           it?

2    A.   That's right, yes.

3    Q.   Then if we look at the timing of it, the autopsy report

4           is dated 11 February 1997.  Claire died on

5           23 October 1996.  And the brain cut is on

6           28 November 1996.  Why does it take that amount of time

7           to produce the report?

8    A.   Neuropathology reports do take longer than most

9           pathology reports.  I would like them to be slightly

10           faster, but I would like them to be accurate.  I'll take

11           you through the process.  In fact, I think I had a pie

12           chart that might help with this piece of information.

13   THE CHAIRMAN:  You did.

14   MS ANYADIKE-DANES:  You did have a pie chart.

15   THE CHAIRMAN:  224/3, page 74, I think.

16   MS ANYADIKE-DANES:  There it is there.

17   A.   If we start at the very top, there's a very thin red

18           line.

19   THE CHAIRMAN:  Between the blue and the green?

20   A.   Yes.  That's the time -- let's take that as the time of

21           the post-mortem.  The green is the time that the brain

22           is being fixed in formalin, which takes about a month,

23           and I think in Claire's case it was about five weeks.

24           In Claire's case, the major time it took to produce the

25           post-mortem is in the purple.  That, unfortunately, is

1 laboratory processing time. The tissue takes a couple  
2 of weeks to go through the processors and then to have  
3 various stains done through this number of weeks.

4 That is completely dependent on the staffing level  
5 of your laboratory. There are ways to reduce that  
6 purple time by automation and computerisation, so  
7 nowadays we could shave about two weeks off that time.  
8 Then we get to the blue phase, which was Claire's -- the  
9 case was ready for the pathologist, I think on the ...  
10 About 6 February and was reported, typed, and drafts  
11 done on the 11th. So the pathologist time in all of  
12 this was about five days. The whole process might seem  
13 that you're keeping the family waiting and, obviously,  
14 we don't want that to happen. We would like it to be  
15 quicker. We could only take about two or three weeks  
16 off that with all of the techniques we have now.

17 I know there were college guidelines in 1993 that  
18 suggested four to six weeks, but to me those guidelines  
19 were self-contradictory because they also said that you  
20 needed to fix the brain for about four weeks. That  
21 would mean that you were doing all these other processes  
22 in two weeks. In 1996, we didn't have computers,  
23 PubMed, Internet searches. These are complicated cases,  
24 they need time. The fact that we're still talking about  
25 Claire's case 16 years later means that this wasn't

1 straightforward. So the neuropathologist time was about  
2 five days, but unfortunately the whole process takes an  
3 awful lot longer.

4 THE CHAIRMAN: I think you're at one with Dr Squier on this  
5 because she says that she doesn't think that the Royal  
6 College guidelines of four to six weeks are often met  
7 now, never mind in 1996.

8 A. Frankly, I think they're quite dangerous because most of  
9 my practice is forensic and I'm standing in the  
10 Old Bailey or in courts defending cases as important as  
11 Claire's but in a different context. You have to take  
12 your time to do these properly. And I was at one  
13 previous inquiry, the Robert Hamill inquiry, where I was  
14 possibly criticised for taking three months to write  
15 a report as well. I must say that the only  
16 recommendation from the Robert Hamill inquiry was that  
17 neuropathology should be better funded.

18 THE CHAIRMAN: You might find that again for what difference  
19 it makes, but you might also suggest to the Royal  
20 College that they reconsider that part of the  
21 guidelines. If they're unattainable with  
22 the improvements --

23 A. I think they're frankly dangerous.

24 THE CHAIRMAN: And because of improved machinery and  
25 computers since 1996, they are still not achievable?

1 A. No, I don't think so. I wouldn't take a job in a  
2 department that told me six weeks to produce a report.

3 MS ANYADIKE-DANES: I'm not entirely sure that  
4 Professor Lucas feels it's an undue time.

5 A. No, he's not a neuropathologist.

6 Q. What I would ask you is: when you are submitting to  
7 audit, is this one of the things that's being looked at,  
8 not only to look at the times, but also to look at what  
9 might be the reasons for the length of time it takes?

10 A. Absolutely. The reason I have this pie chart was  
11 because I had done an audit, but not from 1996. I do  
12 this every year and it just meant all I had to do was  
13 put Claire's details in it to get a pie chart like this.

14 We have a wide range of inputs from paediatric  
15 pathology, forensic pathology, and our own in-house  
16 cases. One of the reasons to do the audit was to "jizz  
17 up" our forensic colleagues, to get things to us faster  
18 and to speed up the process. We can use audit in that  
19 way. We are able then to show, "Professor Crane, if you  
20 get stuff to us faster, we'll get results to you  
21 faster". We make every attempt to do that within a safe  
22 working environment.

23 Q. Can I ask you two things from that? One, I can see  
24 there is just an amount of time that's taken up with the  
25 stages of laboratory preparation and review and it's not

1 clear that anything that the clinicians do can  
2 particularly helps you with that. But is there any way  
3 in which the better gathering together of the clinical  
4 information and better assistance to the pathologists  
5 from the outset might help that turnaround time?

6 A. It's not really -- it's not external to us, it's an  
7 internal process.

8 Q. Then the other thing is: if it is something that's  
9 looked at in audit and obviously the reasons for it are  
10 reviewed, which presumably is why you break it down  
11 in that way, is it something that you raise concerns  
12 about -- and I will preface it in this way -- because  
13 when Professor Lucas was looking at the case, his view  
14 was, with such a long response time, sometimes the  
15 clinicians get rather dislocated from the process and it  
16 makes it harder to engage in the reconciliation activity  
17 that you want to.

18 A. I see his point, you forget the case. We do have  
19 a schedule about to put this on. One of the things that  
20 I try and use this information for is -- I mentioned  
21 a minute ago that one of the reasons I can't be here  
22 tomorrow is that, at last, I'm interviewing for a second  
23 neuropathologist. I've been single-handed for over two  
24 years for the whole country. So we can use this  
25 information to push that.

1 Q. Of course. Then if I can ask you a question -- you've  
2 already helped us with why the report isn't signed and  
3 so on. But it's a slightly different issue in relation  
4 to that, which is attribution, which is -- you have said  
5 that all along on the headings, because of the way the  
6 thing started, you've been shown as the pathologist when  
7 in fact it's not your report, which is your evidence.  
8 But you, at that stage were, no matter how skilled  
9 a registrar you were, you were effectively still  
10 a trainee and you had a consultant who you were  
11 discussing with and who was also carrying out their own  
12 work in relation to the case. Should the consultant not  
13 sign the report or in some way be formally associated  
14 with the report on its face, if I can put it that way?

15 A. Yes. The consultant ... First of all, I say yes,  
16 I agree with you, but also I'll say it was ... I went  
17 through the pathology records from 1996 and that seemed  
18 to be the pattern that it was only the registrar's name  
19 on it. I don't think we have found the signed copy now.  
20 I suspect Dr Mirakhur will have signed it. You'll see  
21 maybe in the cases to come that two names are on the  
22 front of the page and now, in Belfast, my name is on  
23 virtually every report because I write every report. In  
24 1996, maybe it should have been done, but it wasn't  
25 a policy of the department to do that. It caused, as

1           you know, a lot of confusion for the inquiry and myself  
2           and other people in what happened next.

3   Q.   Yes.  So if the report had been signed, the person who  
4           would be signing it in your experience, in 1996, would  
5           be the consultant, Dr Mirakhur?

6   A.   Yes.  I think so, yes.

7   Q.   What Dr Squier and Professor Lucas both say is -- and  
8           maybe you will see the extent to which you accept this  
9           would have been better practice -- that the consultant,  
10          irrespective of signing, should be identified on the  
11          report because they are ultimately the person who is  
12          taking responsibility for the trainee's work.

13  A.   I agree with that.  It was the policy of the department  
14          then, yes.

15  Q.   If we just go through some of the issues on the report  
16          itself, those details on the top part of it, the formal  
17          part of it, if I can put it that way --

18  THE CHAIRMAN:  I'm going to pause for a few minutes.

19                I'm afraid we're going to have to sit late to try  
20                and complete Dr Herron's evidence because that will  
21                leave the way open for Dr Mirakhur to give evidence  
22                tomorrow morning and Dr Webb to start his evidence  
23                tomorrow afternoon.  So let's take a ten-minute break,  
24                doctor, and we'll come back and do everything we can to  
25                finish your evidence this afternoon.

1 (3.45 pm)

2 (A short break)

3 (3.55 pm)

4 MS ANYADIKE-DANES: Dr Herron, I'm going to take it that  
5 your evidence is that this is not your autopsy report.  
6 You didn't draft it and we've heard your evidence as to  
7 how you think the anatomical summary and clinical  
8 summary -- what their origins are. You though, just so  
9 that we're clear, provided all the information on the  
10 brain description and some for the histology, would  
11 you have?

12 A. I think just the brain description.

13 Q. Just the brain description. And the reason for that, is  
14 it, because Dr Mirakhur had her own examination of  
15 slides?

16 A. I think so, yes.

17 Q. Okay.

18 A. The brain examination occurred in November.

19 Q. Yes, I understand that. Thank you. Then there are  
20 matters that we can take up with Dr Mirakhur.

21 What I would like to ask you about is the issue of  
22 reconciliation. I do understand that it's not your  
23 report, but nonetheless it's a process that the  
24 pathologists have to go through with the clinical  
25 records and also, at some stage, with the clinicians to

1 try to produce a reconciliation, if it can be done, with  
2 what you see and what the clinicians have experience of  
3 in terms of their treatment of the child. And I think  
4 you have said that it would have been helpful to do that  
5 before the report, but in any event the practice at that  
6 time was very certainly to do that after the report.

7 A. That's correct.

8 Q. Would that be fair?

9 A. Yes.

10 Q. The 1993 guidelines say that what you have to try and do  
11 is:

12 "To reconcile so far as possible the major clinical  
13 problem with the pathological findings and to present  
14 any inconsistencies in the findings and suggest any  
15 steps to be taken such as further opinions, audit  
16 meetings and so forth."

17 I just give the reference for that, 236-007-054.  
18 And that is what the guidelines say should be in the  
19 report. So you do the best you can with the  
20 reconciliation. If there are inconsistencies, so if you  
21 can't resolve matters completely, then part of what the  
22 report should do is suggest any steps that can be taken  
23 such as further opinions and audit meetings. That's  
24 what they say, but would you accept that's a reasonable  
25 thing to do trying to achieve in your report?

1 A. I think if you were just producing a report, I think you  
2 should do that. If that was a stand-alone document and  
3 that's all that the clinicians were going to receive.  
4 I still feel that meeting them all in a group with the  
5 radiology and everyone else is a much better method.  
6 I'll give you an example if that's okay.

7 Q. Of course.

8 A. Last week, we met with the team -- it's about 100 now.  
9 Maybe it was 30 or 40 then -- and presented a very  
10 difficult case of a young man who died of a possible  
11 genetic or maybe not a genetic illness. We presented  
12 it, the neurologist who looked after him was there, the  
13 radiologist, the genetics people probably as well,  
14 presented it, a bit like with Claire. This is as far as  
15 we can take it, what can we do next? And that is what  
16 goes on at that meeting, you see what can be done next.  
17 There are more things you can do now than you probably  
18 could have done in 1996. There are a lot more genetic  
19 tests and there are a lot more tests we can source out  
20 around the country and that is what -- I can't remember  
21 what conclusion was reached with Claire, but that is  
22 what we do and that's a reconciliation meeting.

23 With a plan, how to take cases further --

24 THE CHAIRMAN: Just before you go on, do I understand you  
25 correctly that you're talking about this meeting now

1           involving approximately 100 people?

2    A.   It probably is 100 people now.

3    THE CHAIRMAN:  Whereas if you go back 15 years, it's 30 or

4           40 people?

5    A.   From memory, yes.

6    THE CHAIRMAN:  The general groupings are, you'd have the

7           pathologists --

8    A.   Pathologists, the radiologists, the paediatric

9           neurologists, the adult neurologists, the neurosurgeons,

10          the neuropsychologists, the neurophysiologists -- which

11          would include the EEG people -- medical students,

12          registrars from those departments as well.

13   MS ANYADIKE-DANES:  You're describing what happened in 1996?

14   A.   That was in 1996, yes.

15   Q.   Is that in relation to every case where there's

16          a hospital autopsy or does it extend even to coroner's

17          cases?

18   A.   What I do -- that meeting is designed for cases with

19          a neurological aspect because it's obviously

20          a neurological field.  It will depend.  A lot of my work

21          is homicide, so obviously it's not appropriate to take

22          it there.  It will only work if it is appropriate for

23          a group meeting.  The cases that I deal with -- I deal

24          a lot with the post-cardiac surgery deaths.  I go to the

25          cardiac surgeons' CPC and present there.  And people who

1 die in intensive care, I will go in intensive care and  
2 we have a meeting like that as well. So the ones that  
3 the -- the meeting I'm talking about is predominantly  
4 neurological deaths. We do present coroner's cases  
5 there as well.

6 Q. Thank you. That's actually what I'm trying to get at.  
7 I know what you're saying you do now, but I also  
8 understood you to indicate that that's not a recent  
9 practice. Is this something that also was happening in  
10 1996?

11 A. Yes.

12 Q. And in 1996, would that have happened also for  
13 a coroner's case?

14 A. Yes, as long as it wasn't something like a homicide  
15 or --

16 Q. I understand that.

17 A. Yes.

18 Q. Thank you. So that's a routine thing?

19 A. Yes.

20 Q. A meeting for all children -- in this case we're talking  
21 about children. That's the particular focus.

22 A. The focus of that meeting was neurological deaths in  
23 adults or children.

24 Q. I understand that, but I'm just refining that. In our  
25 case, we're looking at the children. So all the

1 children who died with some neurological element to  
2 it -- which cerebral oedema leading to coning,  
3 presumably -- those children would be presented at some  
4 sort of grand round?

5 A. Yes.

6 Q. Thank you. To the extent to which Professor Lucas and  
7 Dr Squier chime with the guidelines in saying that this  
8 attempt at clinicopathological correlation is something  
9 that should be done in the report and then you have your  
10 meeting; is that a difference in local practice?

11 A. I think it does reflect local practice. Doing it now,  
12 we do both. I would have probably a longer final CPC  
13 now as well as the meeting. But really, our focus was  
14 on the sort of international meetings that went on,  
15 that is the way we tended to do it here.

16 Q. So if the NSU or the grand round is going to become  
17 an important part of your clinicopathological  
18 correlation, which it is in the way that you have just  
19 been describing it, then does it not become very  
20 important to record what happens in that grand round  
21 because that is the place where you put together the  
22 pieces insofar as you can?

23 A. Yes. This has been discussed at our meetings quite  
24 often. In 1996, we didn't keep an attendance; we do  
25 keep an attendance now. The reason the meeting isn't

1 recorded or minuted is because it tends to be extremely  
2 critical and confrontational. There are a lot of big  
3 egos and personalities in that room who want to tell  
4 their friends that they know more than anybody else, and  
5 it really is -- I mean, I've been in many courts all  
6 over lots of local countries. It is far worse than  
7 anything I've ever faced in court.

8 THE CHAIRMAN: Worse than lawyers?

9 A. Even worse than lawyers.

10 THE CHAIRMAN: But to move aside from the joke, the point of  
11 the question that you were asked by Ms Anyadike-Danes  
12 was that if this is a contribution towards reconciling  
13 the different views or uncertainties, then in principle,  
14 of course it must make sense to have some sort of record  
15 or minute of the meeting, and surely it might also then  
16 control some of the runaway egos if they know what  
17 they're saying is going to be recorded.

18 A. But it would also stop them asking questions and making  
19 critical comments. I take your point and I agree that  
20 an action plan at the end of the meeting would be  
21 useful, "These issues were discussed and this is what we  
22 should do next in an individual case".

23 THE CHAIRMAN: Let me take it down to a simple level here.  
24 You're fairly confident that Claire's case was discussed  
25 at such a meeting.

1 A. Yes, I am.

2 THE CHAIRMAN: The trouble is that Mr and Mrs Roberts have  
3 no idea what the outcome is. They have no idea what was  
4 discussed, they have no idea about the extent to which  
5 there was or was not agreement. At the inquest, when it  
6 eventually came along, they were left with an autopsy  
7 report which was really quite inconclusive. That's not  
8 to say that the discussion at the grand round would have  
9 been conclusive, but it might have shed more light on  
10 what happened to Claire or might have given them more  
11 information on what happened to Claire. And it is that  
12 lack of knowledge because this isn't just done for the  
13 benefit of the doctors or for future teaching and  
14 training of doctors, it is done for the families, isn't  
15 it?

16 A. I agree with you entirely that what would normally  
17 happen now is that, say the case we had two weeks ago,  
18 this is what we do next and we do those things next.  
19 The neurologist would probably write to the family now  
20 and say: listen, we've all discussed this, these are the  
21 things that were discussed, these are the areas of  
22 uncertainty, these are the areas of certainty.

23 THE CHAIRMAN: Can it lead to a revision of the report?

24 A. Absolutely, yes. Well, if the report isn't ... We find  
25 it very useful sometimes, before you finalise the

1 report, to discuss it with everybody.

2 THE CHAIRMAN: That's what you referred to this morning by  
3 sending out, in effect, a provisional report.

4 A. And then you bring in all the information, this is what  
5 we think so far, give us all your opinions, and we go  
6 on, take it back, or this is what you do next: you send  
7 blood for genetics, you do this, we're not going to take  
8 this any further. But I agree that the families now --  
9 I think they do write to the family. Clinicians will  
10 write to the families, I've discussed this with my  
11 colleagues, and you let them know what's going on.

12 THE CHAIRMAN: So the families are served better by what is  
13 happening now than they were 15 years ago?

14 A. I don't know what individual clinicians would have done  
15 15 years ago. But I think communications in general in  
16 medicine are better now. There's a lot more  
17 communication between doctors and patients' families  
18 now.

19 THE CHAIRMAN: Thank you.

20 MR FORTUNE: Can we find out who exactly decided that there  
21 should be no recording at these meetings? Because if  
22 you recall, the same issue surfaced in Adam's case.  
23 Because if there was a meeting, whether it's called  
24 a morbidity meeting or --

25 THE CHAIRMAN: As I understand it, Mr Fortune, it's not that

1 a specific decision was taken not to record; no meetings  
2 were recorded.

3 A. This type of meeting is not minuted or recorded.

4 THE CHAIRMAN: It hadn't been before and it still isn't, but  
5 the difference now is that you have a --

6 A. We have a register of people who attend and we also will  
7 probably -- it's unfortunate that I wasn't able to trace  
8 records of all the years that we've gone by. But there  
9 will be a paper record or an e-mail record now -- we  
10 send out e-mails to say who will be discussed.  
11 Obviously, that didn't happen in 1996.

12 THE CHAIRMAN: Okay.

13 MR FORTUNE: Even in Adam's case, we had difficulty in  
14 identifying as and when a particular individual was the  
15 subject of any report.

16 THE CHAIRMAN: Absolutely. That what leads me to the view  
17 that what was happening in 1995 for Adam and in 1996/97  
18 for Claire just wasn't adequate. It doesn't lead to the  
19 families finding out much more. There's a question mark  
20 about how much more the doctors learnt.

21 MR FORTUNE: Perhaps it doesn't necessarily lead to better  
22 education for the juniors because --

23 THE CHAIRMAN: To go back to Adam's case, it also raises  
24 an issue about whether anybody actually did face down  
25 Dr Taylor.

1 MR FORTUNE: We will never know.

2 THE CHAIRMAN: If there are big egos and people speaking out  
3 at this -- well, anyway, I've got the point.

4 MS ANYADIKE-DANES: If you're going to have a grand round  
5 like that, are the medical notes available for people to  
6 look at so they can familiarise themselves with the  
7 issues?

8 A. The clinicians present the clinical history at the  
9 meetings, so I would assume they'd have the notes to  
10 use.

11 Q. When you were answering this morning, you gave the  
12 indication, which you have just answered the chairman  
13 now, which is that one way of doing things is to draft  
14 your report as far as you can, have a sort of  
15 discussion, and then produce a final report, which in  
16 some way incorporates all of that. That's one way of  
17 doing it.

18 Another way of doing it is to produce a final  
19 report, recognising that you want to discuss matters and  
20 then having your grand round and then with some sort of  
21 signposting, if that is the way it works, as to where we  
22 may go from here.

23 A. Yes.

24 Q. Either could have been happening in 1996 or both maybe.

25 Both Dr Squier and Professor Lucas are a little critical

1 about the failure to reconcile within the report itself.

2 But anyway, I was moving you on to the importance  
3 that that puts on an effective grand round discussion,  
4 if that's where all that is actually going to happen.  
5 And you've given a very good reason why, at that stage,  
6 people didn't want to have things recorded. And  
7 I understand that. But if there was any sort of  
8 consensus about what we might do, how did that find  
9 expression anywhere? Even if you're not taking minutes  
10 and you're not particularly identifying every person  
11 who's participating, if you have some line as to where  
12 we might be going now with this case, where would you  
13 find the evidence of that?

14 A. In the actions of anybody who was at the meeting. If  
15 there's no record I understand that you're not going to  
16 have a: you do this, you do that. The consensus might  
17 be: have you thought of this, did you do that, maybe you  
18 should have, go and think about that and take it from  
19 there. It really depends in what line the further work  
20 needs to go. If it's a clinical line, the clinicians  
21 will take that with them. If there's something more  
22 we can do pathologically, we will go back and do that.

23 Q. And you will see it in the action that's taken, although  
24 you may not be able to relate that to any particular  
25 discussion. What Professor Lucas says about it -- he

1 puts great store apparently in his report on having some  
2 sort of conference and you can find it at 239-002-012.

3 He said:

4 "Perhaps, had there been a mortality conference  
5 after the autopsy, a bright clinician might have asked,  
6 'But is that enough inflammation/encephalitis to account  
7 the for what happened?', and the initial story would  
8 have unravelled and a focus on other causes such as  
9 hyponatraemia might have emerged".

10 That's one of the benefits of having a meeting like  
11 that, isn't it?

12 A. Yes.

13 THE CHAIRMAN: Sorry, doctor, let me go back to this again.

14 I don't quite understand. You have said if the autopsy  
15 report is prepared in draft or provisional form and it  
16 is circulated and somebody comes up with ideas like  
17 this, then that allows for it to be reconsidered before  
18 it's issued, maybe revised, maybe some more work done or  
19 whatever, but it can alter the content of the final  
20 report.

21 A. I think if new information becomes available, yes.

22 THE CHAIRMAN: Okay. That seemed to be the exception rather

23 than the rule, but the rule was that there would be

24 a discussion at the grand round; okay?

25 A. Yes.

1 THE CHAIRMAN: By that time, the autopsy report has been  
2 issued.

3 A. No, it hasn't been sent. It can be sent to the --  
4 "Listen, we're going to talk about this next week, this  
5 is what the findings are." What do you mean by  
6 "issued", sorry?

7 THE CHAIRMAN: Has it gone to the GP, has it gone to the  
8 family?

9 A. No.

10 THE CHAIRMAN: So even at the grand round stage, it hasn't  
11 gone out yet?

12 A. No, we don't send reports to the GPs and the families;  
13 we only send them to the clinicians involved.

14 THE CHAIRMAN: So even at the grand round, it hasn't been  
15 finalised?

16 A. It depends what sort of case it is. If it was a  
17 straightforward case, it would be finalised. If not,  
18 any further useful information could have been brought  
19 back and added to the report.

20 THE CHAIRMAN: Do you see anything in Claire's case which  
21 makes you think that anything came out of the grand  
22 round to contribute to Claire's report?

23 A. I haven't seen anything that has added -- it's 16 years  
24 ago and it was Dr Mirakhur who, I think, took it to the  
25 grand round. It doesn't seem like anything has been

1 added as a result of that. From a pathology point of  
2 view, I'm not sure.

3 THE CHAIRMAN: Assuming it went to the grand round, none of  
4 the 30 or 40 people who were there discussing Claire's  
5 case seem to have picked up from the discussion at the  
6 grand round any point which then led to the report being  
7 altered or added to before it was issued?

8 A. It doesn't seem to have changed things.

9 THE CHAIRMAN: Is that --

10 A. I don't know what the discussion in Claire's particular  
11 case was.

12 MS ANYADIKE-DANES: Dr Herron, the section where you might  
13 be trying to or where it was trying to reconcile, so far  
14 as it can be done, was in the commentary section, which  
15 is at 090-003-005. And I think you have said that that  
16 leaves certain things hanging because it was just  
17 a piece of the information and you needed to have  
18 further discussion with the clinicians in order to  
19 refine the thoughts, if it could be done, as to what  
20 actually was the cause of her death.

21 What I had asked you actually this morning, when  
22 I realised that you could take this to a grand round and  
23 that the outcome of the grand round could lead to  
24 a revision of the report, is whether it's possible to  
25 tell whether what we've got is the final report with

1           whatever anybody's going to add to it as a result of the  
2           grand round, or if what we've got is the report that was  
3           taken to the grand round. And I think you fairly said  
4           that you couldn't tell.

5   A. Yes, I don't think I can tell you.

6   Q. And given that the grand round doesn't lead to any  
7           minutes or even any clear note of what the outcome was,  
8           from what you're saying it's not really possible to know  
9           what people thought or the extent to which that might  
10          have assisted in any understanding of what happened to  
11          Claire.

12   A. I think that's right, yes.

13   Q. Leaving aside developments that happened since 1996,  
14          standing at 1996, would you not consider that to be  
15          a deficiency in that system?

16   A. It has its benefits and it has its deficiencies. I do  
17          think if -- I suppose there could be some way of  
18          recording outcomes without stifling conversation.  
19          I think that might be the best solution to that.

20   Q. Is that something that was discussed amongst you as to  
21          how to make best use of the grand round system, if I can  
22          put it that way, whilst assisting in communicating more  
23          openly or more directly the outcome of those  
24          discussions?

25   A. I don't think it was ever a formal ... I do remember

1           some discussion several years ago, which was informal,  
2           about whether you should record things at the meeting.  
3           I think it was just like a chat in the corridor, that  
4           sort of discussion, and they said that the reason we  
5           don't is because then people wouldn't voice their  
6           opinions so openly.

7    Q.   Yes, but in terms of Claire's case, Claire's case is  
8           one -- I think it was the chairman's expression -- which  
9           was a little inconclusive going on to further  
10          discussion.  In fact, that's precisely why you wanted  
11          further discussion in relation to Claire's case; would  
12          that be fair?

13   A.   Sorry?

14   Q.   Claire's case was not one where there was a conclusive  
15          outcome.

16   A.   That's right, yes.

17   Q.   So that would be the particular kind of case which you  
18          would want to have discussed at a grand round, leaving  
19          aside what was the normal practice --

20   A.   Yes.

21   Q.   -- with the hope that that could lead to something more  
22          conclusive?

23   A.   Yes.

24   Q.   If that's the case, who's charged with the  
25          responsibility of identifying what the ultimate position

1 is?

2 A. The ultimate position in terms of diagnosis?

3 Q. Yes.

4 A. I think everybody takes their own message away from the  
5 meeting. I don't think anybody is in ...

6 THE CHAIRMAN: For the purposes of the autopsy report, it  
7 has to be Dr Mirakhur, doesn't it?

8 A. Yes, but I thought it was a general question. Yes, if  
9 an issue comes back about the autopsy, then the person  
10 who's writing the autopsy report will take that back.

11 MS ANYADIKE-DANES: If it's not a thing that the pathologist  
12 can help any further with, ie they've made their  
13 contribution and as the discussion emerges it becomes  
14 clear that this is not something that we can get better  
15 evidence from pathology, this is something that  
16 clinicians really need to spend a little bit more time  
17 thinking about from a clinical perspective -- if that's  
18 where it goes then is it then the consultant, the  
19 child's consultant, who's responsible for tying all  
20 those ends up and deciding what the ultimate cause of  
21 death is?

22 A. I think that commonly occurs: that when there's  
23 a consensus of information gathered, whoever learns most  
24 from that will take it and use it to their best ability.

25 Q. I see that, but in a case like this where it's

1 a consent-only autopsy, there are two  
2 purposes: of course, the clinicians themselves hope to  
3 learn something about the way in which the child died,  
4 but as you know, the families are also wanting to know  
5 what happened. So for that consensus or ultimate  
6 decision as to what we think is the cause of death or  
7 best we can do, if the pathologist can't help further  
8 with the pathology, is it then the child's consultant  
9 who determines that and then communicates that to the  
10 family?

11 A. I think the clinicians will take all of the messages  
12 from the meeting, anything that they can learn from it,  
13 and use all of that information to come to whatever  
14 decisions about the case that they can take forward.  
15 That will include pathology, radiology, laboratory,  
16 clinical details, and if that helps them to take things  
17 forward then, yes, they will take that forward.

18 Q. Is there any discussion with you once they've reached  
19 that view -- I don't mean you personally, the  
20 pathologist -- as to this is where we think we are and  
21 this is what we are going to communicate, just to make  
22 sure nothing has been misinterpreted?

23 A. That does come up, yes: this is far as we can go, this  
24 is what we know. Yes.

25 Q. And in fact, there was a communication with the GP and

1 the family. They didn't get the autopsy report, but  
2 they got letters. The GP, Dr McMillan, was informed  
3 that the changes were in keeping with a viral  
4 encephalomyelitis meningitis. And that is at  
5 090-002-002. There we are. That's what the GP was  
6 told. I'm just going to pull up the equivalent for the  
7 family. 001. If we can put the two up alongside.

8 On the left-hand side, the GP is being written to by  
9 Dr Steen; on the right-hand side the parents are being  
10 written to by Dr Webb. You can see how that is  
11 described:

12 "In summary, the findings were of swelling of the  
13 brain with evidence of a developmental brain abnormality  
14 and a low-grade infection. The reaction to the covering  
15 of the brain and the brain itself is suggestive of  
16 a viral cause. The clinical history of diarrhoea and  
17 vomiting would be in keeping with that. As this was  
18 a brain-only autopsy, it is not possible to comment on  
19 other abnormalities in the general organs. No other  
20 structural abnormality in the brain has been  
21 identified."

22 And I have already taken you to the relevant part of  
23 the letter that Dr Steen writes to the consultant.

24 We asked Professor Lucas and Dr Squier the extent to  
25 which they felt that was an accurate representation or

1 summary, if I can put it that way, of what was being  
2 said in the autopsy report. And Professor Lucas' view  
3 was that:

4 "Drs Steen and Webb have overinterpreted infection  
5 pathogenesis compared with the original autopsy report  
6 comment, which was more cautious. So in that sense I do  
7 not agree with it. A depiction of developmental  
8 abnormalities in the brain, whether actually true or  
9 not, would have been of comfort to the families."

10 And that's his position. I should give the  
11 reference. It's 239-002-013.

12 Dr Squier's position was:

13 "These letters used the autopsy diagnoses to explain  
14 Claire's terminal illness and death and appear to  
15 interpret the diagnosis appropriately. There is no  
16 mention of the low serum sodium and how this may have  
17 played a part in Claire's death."

18 The reference for that is 236-007-010.

19 From your point of view, do either or both of these  
20 faithfully or accurately reflect what was in the autopsy  
21 report? Maybe if you start with the one to Dr McMillan  
22 first.

23 A. I think the autopsy report said more and was less  
24 specific.

25 Q. More and less specific?

1 A. Yes. Said more and was less specific than the one on  
2 the left.

3 Q. Does that mean that you have some sort of agreement with  
4 Professor Lucas, who sees the correspondence as having  
5 overinterpreted the infection pathogenesis?

6 A. The letter seems more certain, I think, a little more  
7 certain about that, yes.

8 Q. Than you would have been?

9 A. You asked me about the post-mortem report.

10 THE CHAIRMAN: It's more --

11 A. The report said "possible", but they also gave other  
12 possibilities.

13 MS ANYADIKE-DANES: As a following -- this letter to --

14 THE CHAIRMAN: Sorry, just a moment. You were going to ask  
15 about the right-hand page as well, I think.

16 MS ANYADIKE-DANES: Yes, which is the letter to Claire's  
17 parents.

18 THE CHAIRMAN: How do you think that reconciles with the  
19 autopsy report? This is Dr Webb's letter to the  
20 Roberts.

21 A. I think he is less ... He says it's "suggestive of  
22 a viral cause" and correlates it with the vomiting and  
23 the diarrhoea. It's a matter of semantics. It's  
24 "suggestive of" versus "in keeping with". There's not  
25 a lot, but he has added why, an extra reason why it

1           might be a viral infection, the history of diarrhoea and  
2           vomiting. I suppose it's slightly less specific.

3   THE CHAIRMAN: Okay, thank you.

4   MR FORTUNE: Sir, before my learned friend moves on, is  
5           Dr Herron suggesting that a better course for  
6           a consultant to take when considering the general  
7           practitioner is merely to say, "Here's the post-mortem  
8           report, read it and, hopefully, understand it yourself"?

9   THE CHAIRMAN: I don't think he said that. He wasn't being  
10           asked it, but he was being asked to comment, since  
11           he had some involvement in Claire's investigations after  
12           Claire died. He was being asked to express a view on  
13           how the letter, which your client wrote to the family  
14           GP, sits with the autopsy report.

15   MR FORTUNE: Well, I --

16   THE CHAIRMAN: And frankly, he has said it doesn't sit all  
17           that comfortably.

18   MR FORTUNE: Yes, and following on from that, the question  
19           I'm posing is: how does a consultant then summarise  
20           a post-mortem report in a case that is complex like this  
21           without attracting criticism of the kind proffered by  
22           Professor Lucas?

23   THE CHAIRMAN: Well, sorry, there are a couple of options.  
24           I think you said to me a few minutes ago that typically  
25           the autopsy report is not forwarded to the GP; is that

1 right?

2 A. We only send it to the clinician involved.

3 THE CHAIRMAN: And it's a matter for the clinician about  
4 whether it's sent to the GP or not?

5 A. Yes.

6 THE CHAIRMAN: Right. If you can't help me on this, don't  
7 guess, but do you know how frequently or otherwise the  
8 clinician might send to the GP the autopsy report?

9 A. I don't know. I can't answer that.

10 THE CHAIRMAN: But it does happen, does it?

11 A. Well, what happens, sometimes we get asked to send the  
12 family a report and we don't do it. What we say is,  
13 "We will send it to your clinician, contact them, and  
14 depending on what the relationship is, they can send it  
15 to you or to the GP". It would rarely go straight to a  
16 family because that can be very difficult information to  
17 handle. It does happen, but I don't know how often it  
18 goes to the GP.

19 THE CHAIRMAN: If you don't send the report -- say in  
20 Claire's case if a decision was taken by Dr Steen not to  
21 send a report to Dr McMillan, then the query is how you  
22 would inform Dr McMillan of the reasons for Claire's  
23 death?

24 A. I think that's obviously a decision for the individual  
25 doctor, but she would have more information than was

1           just on the autopsy report and could synthesise those  
2           and send them -- any doctor to a GP -- in a way that  
3           could be understood by the family.

4   THE CHAIRMAN: Thank you.

5   A. But it is up to the individual doctors.

6   MS ANYADIKE-DANES: Just to help, Dr Herron, because  
7           you have said you were aware of the 1991 guidance from  
8           the joint working party. If we pull up this section,  
9           236-007-070. 3.4:

10            "It is important that after the post-mortem, the  
11            results are communicated and explained to the patient's  
12            relatives as soon as possible. This may be done by the  
13            hospital consultant ... In either case, a copy of the  
14            final post-mortem report should be sent to the general  
15            practitioner for information."

16            One of those reasons is because it might be the GP  
17            who is helping them understand it, but in any event this  
18            guidance seems to indicate that the final report ought  
19            to be sent to the GP. By whichever route that goes,  
20            they ought to end up with one.

21   A. Which guidelines are these, sorry?

22   Q. This is the 1991 -- the one I pulled up for you before,  
23           the report of the joint working party.

24   A. I think it's sometimes done, I'm not sure if it's  
25           generally done.

1 Q. I'm not indicating that you as the pathologist do it,  
2 nor do I think the guidance is saying that. They are  
3 simply saying that the report ought to be sent to the  
4 general practitioner.

5 A. That may be the case. I know it is sometimes, but  
6 I don't know how often it is sent.

7 THE CHAIRMAN: Thank you.

8 MS ANYADIKE-DANES: Thank you. The position that Claire's  
9 parents had -- and one can see it in Mr Roberts' witness  
10 statement, I think it is, of 253/2 at page 4. If you  
11 look at the last paragraph, this is a meeting that he  
12 and his wife have on 3 March. As I understand it,  
13 Dr Steen received the report some time after  
14 11 February 1997. So she would have received the  
15 report. At least she's got the results, they met with  
16 Dr Steen to discuss the post-mortem results:

17 "Dr Steen informed my wife and I that the  
18 post-mortem had identified a viral infection in Claire's  
19 brain responsible for the brain swelling, but that the  
20 virus itself could not be identified. Dr Steen  
21 explained to my wife and I how an enterovirus starts in  
22 the stomach and can then spread to other parts of the  
23 body, as in Claire's case. She did not discuss Claire's  
24 sodium levels, hyponatraemia or fluid management."

25 If that is what Dr Steen did in fact explain and

1 discuss with the parents, how accurate a version of  
2 events is that, bearing in mind your own investigations  
3 on the pathology?

4 A. I think the situation is more complex than a viral  
5 infection of the brain. As I said in my -- what I maybe  
6 understood what was going on with Claire was that, at  
7 the most, there was a very little infection of the  
8 brain, which wouldn't have explained her bad trajectory.  
9 So there must be other issues involved as well.

10 Q. To help you, let's pull up that comment, 090-003-005,  
11 that's where the report has it. I wanted that alongside  
12 the previous document. In any event, you can see that  
13 that -- what is being said there is that:

14 "The reaction is suggestive of a viral aetiology."

15 Whereas in fact, if the Roberts have correctly  
16 recalled what Dr Steen was telling them, they were  
17 saying that the post-mortem -- it's 253/2 at page 4 --  
18 had actually identified a viral infection that was  
19 responsible for causing that brain swelling, although  
20 you hadn't been able to identify or isolate the  
21 particular virus.

22 A. Sorry, I understand what you said, but the question  
23 again is?

24 Q. What I'm asking you is therefore how accurate  
25 a representation is it of what you actually found at

1 post-mortem, what the Roberts are recalling Dr Steen  
2 told them?

3 A. I think it just focuses on one of the issues and I think  
4 Dr Mirakhur said "a possibility", but didn't exclude  
5 other causes. It was a bit more focused maybe.

6 THE CHAIRMAN: Okay, thank you. Let's move on.

7 MS ANYADIKE-DANES: Then if I can ask you about a slightly  
8 different point, which is to do with tissue sampling.

9 Obviously, you take tissue in order to make your  
10 blocks and then to cut your thins and prepare your  
11 slides and so forth. Where is it recorded what you do  
12 with that tissue when it's retained after the  
13 post-mortem?

14 A. In a number of day books. In 1996?

15 Q. Sorry, in 1996, yes.

16 A. In an number of day books or one particular day book,  
17 I think.

18 Q. That records all of the tissue that you've retained?

19 A. I think there were documents. There's a book that says  
20 "brain tissue retained" or "brain retained". I think  
21 there's probably two books. Yes, there's a main day  
22 book that will say what we took form the post-mortem, if  
23 I understand your question properly.

24 Q. And therefore what you're retaining?

25 A. Yes.

1 Q. Does it indicate what you're retaining it for or how  
2 long you propose to retain it?

3 A. Not in 1996, no.

4 Q. Are the families told that there is material that's  
5 being retained and what it is being retained for?

6 THE CHAIRMAN: I think "are" or "were". Were they told?

7 MS ANYADIKE-DANES: Sorry, were they told?

8 A. They were aware that there was a brain only post-mortem  
9 and that the brain was being retained. I don't know  
10 what more information was available to them in this  
11 case.

12 Q. No, but who is the person to tell them whether anything  
13 is being retained? The material is being retained  
14 in the neurological department, isn't it?

15 A. Yes.

16 Q. So who then is responsible for communicating either with  
17 the family or with the consultant, to pass on to the  
18 family, the fact that material is being retained?

19 A. That is part of the consent process. When you're taking  
20 consent for a post-mortem, the brain-only post-mortem  
21 would indicate that the brain was being retained for  
22 examination.

23 Q. Yes, but after the examination, after the autopsy has  
24 been concluded and the report is provided, how are the  
25 families to know whether any material is being retained

1 in the department?

2 A. In 1996, I don't think there was a clear procedure for  
3 dealing with that. Claire died before the Human Tissue  
4 Act, before various structures were put in place for  
5 better communication with families. But in 1996,  
6 I don't think there was a good communication line with  
7 regard to retention.

8 Q. Does that mean that the Royal didn't actually have  
9 a policy about how you communicate that information to  
10 the family?

11 A. I don't know that anybody had a policy. I certainly  
12 don't know any policy from the Royal in 1996.

13 Q. You said that it's recorded in a day book. There are  
14 two slightly different descriptions of what happened to  
15 the tissue. 224/3, page 28, which is one of your  
16 witness statements, and that is ... I think it says,  
17 "Out 24/4/97", date of tissue disposal.

18 THE CHAIRMAN: That's question 9.

19 MS ANYADIKE-DANES: The question to you was what that meant,  
20 "out 24/4/97".

21 A. Yes.

22 Q. And you say that refers to tissue disposal. Does that  
23 mean that, as far as you were concerned, the tissue that  
24 was being held in the department was disposed of at that  
25 time?

1 A. Not all of the tissue. When you dissect the brain,  
2 you're left with tissue blocks and slides. And the rest  
3 of the brain tissue that hasn't been used to make into  
4 these blocks and slides is what we call wet tissue.  
5 I think that refers to -- that's what that refers to.

6 Q. So where you refer in 224/3, page 31, John Murray  
7 checked the tissue was present on 6/3/07 -- it's under  
8 (iv). So that meant that at that time you still  
9 retained tissue?

10 A. That was two different things. The main brain tissue  
11 that was used for the examination was disposed of in  
12 1997. We had said that we had a small piece of frozen  
13 tissue that was kept in a freezer and that was still in  
14 the freezer in 2007. This was a piece of tissue that  
15 was a few millimetres in size.

16 Q. Sorry, just so that I'm clear, that meant that it was  
17 checked and that meant you still had some tissue as at  
18 that date?

19 A. In the freezer, yes.

20 Q. Yes. When you said that some of the tissue had been  
21 disposed of on 24 April 1997, is the family ever told  
22 that you're doing that? Do they ever know how you do  
23 it?

24 A. In 1997, I don't think the family is told. It's not  
25 something I would really have been aware of in 1997, but

1 I don't think families were told in 1997.

2 Q. But there are procedures now in place?

3 A. Yes.

4 Q. Can I ask about the referral to the coroner. At any  
5 point in time, presumably if you had formed the view  
6 that this is a case which really ought to be referred to  
7 the coroner, you could have raised that with your  
8 consultant and that could have happened?

9 A. Yes.

10 Q. Apart from the answer you gave me when I asked you if  
11 you'd been aware that there had been a drug overdose,  
12 what might have been your response, leaving aside that,  
13 on the basis of what you've now seen in Claire's  
14 clinical notes and records and what you found, is it  
15 a case that you think ought to have gone to the coroner?

16 A. If I came across this case now?

17 Q. Yes.

18 A. I think this would have been reported to the coroner  
19 now, yes.

20 THE CHAIRMAN: I know you think that because you're now  
21 aware of the overdose of midazolam and phenytoin. Apart  
22 from that, apart from the fact of the overdose, which  
23 you say on their own, if that had been realised, would  
24 have led you to say to Dr Mirakhur or Professor Allen  
25 that you think this is a case for the coroner, setting

1           aside those drug issues is there any other reason why  
2           you, looking at Claire's case now, would believe it was  
3           a case for the coroner?

4    A.   There's a very different bar, if you like, for reporting  
5           cases to the coroner now.  A lot more cases are reported  
6           to the coroner than would have been in 1996.  I don't  
7           know if every hospital death is reported to the coroner  
8           now, but I suspect most of them are.  The way the  
9           case --

10   THE CHAIRMAN:  Has that happened gradually or is it as  
11           a result of some particular episode or episodes?

12   A.   I think everybody ...  I don't know if it's happened  
13           gradually, but it certainly is the case over the last  
14           few years.  Nobody wants to make a mistake and not refer  
15           a case to the coroner, I think.

16   THE CHAIRMAN:  Does it come out of Shipman at all?

17   A.   It might do.  It comes out of governance and various  
18           other things as well, I think.

19   MR FORTUNE:  You might ask whether in fact the mention of  
20           hyponatraemia has contributed to the increase in cases  
21           being referred to Her Majesty's Coroner.

22   THE CHAIRMAN:  Has that affected it?

23   A.   Absolutely.  If hyponatraemia is mentioned anywhere in  
24           a hospital, the coroner is going to be informed.

25   MS ANYADIKE-DANES:  I just have a couple more questions for

1           you and then I'll liaise with my colleagues, who may or  
2           may not have some. One of those questions is to do with  
3           the evidence at the inquest. I think you have explained  
4           that when you saw the report with your name on the  
5           report and given the length of time between when you had  
6           been involved in that case and when it was coming to  
7           light for you, you took the view that you must have been  
8           the pathologist.

9    A. What happened was, Mr Leckey wrote to me  
10           in December 2004. He said, "Information has become  
11           available, do you want to comment on it?" And I wrote  
12           back to him, I think in January or February, saying,  
13           "I've reviewed the case and there's a letter that goes  
14           with it". Then he invited me to go to the inquest.  
15           That wouldn't be exceptional. Even if I had not known  
16           about the document that I subsequently know about,  
17           I probably would have gone to the inquest anyway. Any  
18           member who is involved -- the criteria we use for going  
19           to an inquest are that you're involved in the autopsy,  
20           you're on the coroner's list and that you had reviewed  
21           the material. On that basis I would have gone anyway.  
22           Also, because he had asked me to review the case and  
23           I was now a consultant, it was even more appropriate for  
24           me to go to the inquest.

25    Q. Yes. I don't think Dr Squier necessarily takes issue

1 with that as you were a consultant at the time. The  
2 question is the extent to which you made yourself  
3 familiar with the details of the case. I appreciate  
4 that you have said afterwards that the documentation  
5 from storage or wherever it was archived has come to  
6 light and you therefore appreciated that contrary to  
7 what you thought, and when you gave evidence of it being  
8 "my report", it actually wasn't your report, it was  
9 Dr Mirakhur's report. But what preparation did you  
10 think was appropriate to do before you went to give  
11 evidence at the inquest?

12 A. What I would normally do would be to get the  
13 histological slides. I think Mr Leckey had sent me  
14 other reports that were coming in with regard to it,  
15 maybe Ian Young and various other people's. So I would  
16 have read those, I would have looked at the slides  
17 again, familiarised myself with the case and gone to the  
18 inquest.

19 Q. When you said familiarise yourself with the case, would  
20 you have wanted to actually look at the clinical notes  
21 and records?

22 A. You may do, but they're often impossible to get.

23 Q. Would you have wanted to?

24 A. Not necessarily, no. A lot of the clinical information  
25 was being dealt with by people I would call clinicians

1 in the case. I was reviewing the neuropathology, as far  
2 as I was concerned, for the inquest.

3 Q. Then the final point that I had, before I just check  
4 whether there are any other issues, is that when I was  
5 asking you about the opportunity to discuss the case and  
6 essentially you explained about the grand rounds, and  
7 for other documentation you've referred to the  
8 preparation of slides and so forth for it and extra  
9 blocks and so on. But in the e-mail the inquiry got  
10 from the DLS at 302-169-001, you'll see there it talks  
11 about the clinicopathological correlation and how that  
12 comes about, partly through the comments section in the  
13 report and also partly at the NSU itself. Then it goes  
14 on to say:

15 "I am advised that Claire's case may also have been  
16 discussed at a paediatric mortality meeting, which is  
17 also a CPC."

18 In other words, the paediatric mortality meeting  
19 also provides a forum for a clinicopathological  
20 correlation; is that right?

21 A. Yes, it does.

22 Q. And I think when you -- either it was in answer to one  
23 of my questions or to the chairman's question. You said  
24 certainly -- I think you gave the example of cardiology,  
25 that sometimes you attend those sorts of meetings where

1           you either contribute to the discussion or make  
2           presentations; is that correct?

3    A.   That's correct.

4    Q.   Were you actually aware of the paediatric mortality  
5           meeting in Claire or is it just you think it might have  
6           happened?

7    A.   No, I've said several times that I knew there were  
8           paediatric mortality meetings where cases were discussed  
9           but I don't know if Claire's case was discussed, I had  
10           no record.

11   Q.   Are you aware of who attends those? I mean, as a  
12           pathologist are you aware?

13   A.   I've been at them and it's a broad range of people from  
14           the Children's Hospital.

15   Q.   If we stay with 1996 because that sort of practice may  
16           change over time. In 1996, so far as you're aware, who  
17           were the people who attended a paediatric mortality  
18           meeting?

19   A.   It's hard to remember exactly, but certainly -- mostly  
20           medical, but there were nursing staff and I think there  
21           were people like physiotherapists and paramedical staff  
22           as well.

23   Q.   Did those meetings happen after the grand round or were  
24           they happening independently of the grand round?

25   A.   Independently. They were something that were organised

1 through the Children's Hospital.

2 Q. And was it possible for any information or discussion or  
3 learning that came out of that kind of meeting to either  
4 be brought to a grand round or to be communicated with  
5 the pathologists if they didn't attend it?

6 A. I really don't know too much of the detail of the  
7 mortality meetings. I was at a few of them, but I don't  
8 know what happened to the information afterwards. It  
9 was almost a different hospital to us, if you like.

10 Q. I understand. Could it be possible that you have your  
11 grand round, which is essentially the pathologist-driven  
12 meeting, if I can put it that way, although any number  
13 of other people also attend, including clinicians, and  
14 that the clinicians then, as a result of whatever is  
15 discussed in there, actually use that as part of their  
16 discussion in the paediatric mortality meetings? Can it  
17 happen in that way?

18 A. I'm sure it could happen in that way, yes.

19 Q. And if there's any outcome in a case that you have been  
20 involved in, do you expect to have that communicated to  
21 you?

22 A. I don't know that much -- again, the mortality meeting  
23 is something that I'm not as familiar with as I am with  
24 my own meeting, so I don't know the outcomes and how  
25 things were dealt with at the paediatric mortality

1 meeting.

2 Q. I'm simply trying to ask you whether you would expect or  
3 whether it would be usual to be contacted about a case  
4 of yours where you'd done the brain only, that had been  
5 discussed at the paediatric mortality meeting?

6 A. I don't remember ever being contacted about anything  
7 that had come out of the paediatric mortality meeting.

8 Q. Were you ever invited --

9 A. I had been --

10 Q. Other than you as a consultant being invited to make a  
11 presentation, were you ever invited in 1996?

12 A. Only to do a presentation. I don't think I was --  
13 because I wasn't in the Children's Hospital. This was  
14 a Children's Hospital meeting.

15 Q. I understand. Is it something that your consultant  
16 could be invited to? Could Dr Mirakhur or Professor  
17 Allen be invited?

18 A. She would only be invited to do a presentation.

19 Q. Yes. And that could have happened in relation to -- I'm  
20 not saying it did happen, but a case like Claire could  
21 generate an invitation?

22 A. Yes.

23 MS ANYADIKE-DANES: Thank you.

24 Mr Chairman, I wonder if I might have a few minutes.

25 THE CHAIRMAN: Yes. Just before that, let me take you to a

1 slightly different point. You've been asked, for  
2 reasons which you'll understand, quite a few questions  
3 about what Dr Squier says and what Professor Lucas says.  
4 I get the impression overall that you're not -- there  
5 are some issues on which you disagree with them, but  
6 often that's because they're referring to guidelines and  
7 you're saying sometimes the guidelines are overtaken by  
8 local practice; is that fair?

9 A. I think that's fair, yes.

10 THE CHAIRMAN: You don't appear to take great exception to  
11 what either of them say, though what the two of them say  
12 isn't identical, which is one of the points that you've  
13 made really in your own favour, that they're not saying  
14 identical things, so there's room for some debate or  
15 discussion about what might have been done or what  
16 should have been done, et cetera?

17 A. If there's a specific -- I'm not sure what specific ...

18 THE CHAIRMAN: I'm trying to get an overall picture of --

19 A. If you take a single document and put a set of  
20 guidelines beside it, I don't think that's necessarily  
21 a good reflection of all the work that goes into  
22 a pathology department.

23 THE CHAIRMAN: Right.

24 A. There will be mistakes, I'm sure there will be mistakes,  
25 but that doesn't mean a lot of consideration and a lot

1 of hard work hasn't gone into disseminating information.  
2 So fair enough, take a document, compare it, but I think  
3 there's more to the situation than that. I think  
4 that is what I meant.

5 THE CHAIRMAN: Yes. Can I ask you then in terms of -- do  
6 you know Dr Squier?

7 A. I know of Dr Squier.

8 THE CHAIRMAN: Do you know of her through the shaken baby  
9 cases or is it in some other way?

10 A. I think most neuropathologists will know Dr Squier.

11 THE CHAIRMAN: As a result of the shaken baby stuff?

12 A. Well, for other reasons.

13 THE CHAIRMAN: Okay. And you have known that for some time,  
14 I take it, because these issues have been floating  
15 around for a number of years, haven't they?

16 A. Um ... The only ... Can I ...

17 THE CHAIRMAN: Go on.

18 A. There are certain -- I'm not sure if I want to be on  
19 record talking about this issue.

20 THE CHAIRMAN: Let me explain to you why I'm raising it,  
21 because it seems to me that in the comparatively small  
22 world of pathology you wouldn't be unaware of the issues  
23 which have arisen about Shaken Baby Syndrome, some  
24 controversies in court, some reporting of Dr Squier to  
25 the GMC. Right?

1 A. Yes.

2 THE CHAIRMAN: But that's not new information, that's  
3 been --

4 A. Dr Squier has a particular opinion on a syndrome, Shaken  
5 Baby Syndrome. Not everybody agrees with her.

6 THE CHAIRMAN: It's not her alone, she's on the minority  
7 side?

8 A. Yes, not everybody agrees, and that has caused some  
9 controversy. I'm not going to say who's right and who's  
10 wrong.

11 THE CHAIRMAN: Of course.

12 A. But I think the other issues you mentioned are very  
13 recent, as far as I know, within the last year or so.  
14 The legal aspects of that I think are recent.

15 THE CHAIRMAN: Right.

16 A. So while Dr Squier's well-known to have different views,  
17 the other issues are ...

18 THE CHAIRMAN: Okay. But you've known of those emerging  
19 over the last year or so; is that right?

20 A. Probably just over -- certainly over the last number of  
21 months and maybe a bit longer than that, yes.

22 THE CHAIRMAN: Thank you very much.

23 A. I'm not sure that I knew that Dr Squier was involved  
24 with Adam Strain. I'm not sure if I know that, if the  
25 question is going in that direction.

1 THE CHAIRMAN: That's okay. Doctor, I'm going to wait for  
2 five minutes now because sometimes at the end of the  
3 questioning of a witness there are some other  
4 representatives who want a few more questions to be put,  
5 but it's usually quite short. So if you can bear with  
6 us for a few more minutes.

7 (5.02 pm)

8 (A short break)

9 (5.06 pm)

10 MS ANYADIKE-DANES: I just have two questions, Mr Chairman.

11 The first relates to December 2004. As you I'm sure  
12 know by now, UTV aired a programme in relation to the  
13 deaths of three children, which ultimately led to this  
14 inquiry being established. That programme went out in  
15 October 2004 and there was a meeting with Claire's  
16 parents at the hospital on 7 December 2004. They had  
17 felt they recognised in that meeting something about  
18 their own daughter's condition and death, and they  
19 contacted the Royal directly.

20 The question is this: were you at any time when UTV  
21 were making that programme, or after it was aired, asked  
22 your opinion as to the cause of Claire's death?

23 A. By?

24 Q. By anyone in the Royal.

25 A. The first I heard about it was a letter from Mr Leckey

1 in December 2004. No, I wasn't asked anything. As far  
2 as I'm aware, I don't remember being asked by anybody.

3 Q. And after you got that letter from Mr Leckey, were you  
4 ever asked to participate in any meetings as part of the  
5 preparation, for example, for the inquest?

6 A. I don't think so, no, not from memory. I think I only  
7 liaised with the coroner.

8 Q. You never discussed matters with either Mr Walby,  
9 Dr McBride or Dr Steen or any of the other clinicians  
10 who have been involved in Claire's case before giving  
11 evidence?

12 A. At that stage I was now an agent of the coroner, if you  
13 like, and I don't think I was asked by anybody to  
14 participate in any meetings. Not as far as I remember.

15 Q. Apart from actually participating in any meetings, did  
16 you discuss your views as to the autopsy report and, so  
17 far as you could do it, the cause of Claire's death with  
18 anyone at the Royal before you gave your evidence to  
19 the coroner?

20 A. I don't think so. I don't have a perfect memory of the  
21 time, but I don't think I spoke to anybody. Mr Leckey  
22 wrote to me with -- information had been brought to his  
23 attention, did I want to comment on it. I wrote  
24 a letter back and it was to do with the hyponatraemia  
25 aspect of it. I think I wrote back to Mr Leckey saying

1 I wasn't sure, did this mean it was primary or secondary  
2 hyponatraemia? I don't remember talking to anybody in  
3 the Royal, but I can't say for sure that I didn't.

4 Q. Sorry, this was whether it was primary or secondary.  
5 You mean whether it was --

6 A. Hyponatraemia was mentioned in his letter, I think, and  
7 I wasn't sure, did he mean --

8 Q. You were querying with him?

9 A. Yes, I think that's what it was.

10 Q. And just so that we're clear, I mentioned specifically  
11 Dr Steen and Dr McBride and Mr Walby. What about  
12 Dr Mirakhur?

13 A. No, I don't remember talking to her about it. Mr Leckey  
14 had written to me and I reviewed the case and went to  
15 the inquest. I could have spoken to her, I don't know.  
16 We spoke a lot.

17 THE CHAIRMAN: It would almost be unnatural if you didn't  
18 speak to her about it at all, wouldn't it?

19 A. We talk about so many things.

20 THE CHAIRMAN: Yes, exactly.

21 A. We're in rooms beside each other. We may have mentioned  
22 it.

23 THE CHAIRMAN: And here you have a death, which took place  
24 in 1996, going back to the coroner in 2004, 2005 and  
25 2006, so it'd be very odd if you didn't speak to her at

1 all during that time.

2 A. It could well have come up in conversation, yes.

3 MS ANYADIKE-DANES: Thank you very much.

4 THE CHAIRMAN: Okay, doctor, thank you very much indeed.

5 It has been a long day for you and I'm grateful to you  
6 for sticking it out. I hope very much you find  
7 a successful candidate tomorrow because it sounds as if  
8 you could do with somebody working with you.

9 A. Yes. Can I just say to Mr and Mrs Roberts that I don't  
10 think neuropathology has found all the answers and I'm  
11 sorry about that, but if there's anything that I can  
12 help you with after the inquiry is over, if you have any  
13 questions for me, I would be grateful if they could be  
14 passed on to me.

15 THE CHAIRMAN: Thank you.

16 Mr Lavery, we had raised a query at the break  
17 earlier about whether Dr Mirakhur could start with us  
18 tomorrow at 9.30.

19 MR LAVERY: I have taken instructions in relation to that  
20 and she will be available at 9.30.

21 THE CHAIRMAN: Great. We'll start with Dr Mirakhur at 9.30.  
22 I'm hoping that a lot of this ground has been covered  
23 today, at least in a general sense with Dr Herron, so  
24 we can get through Dr Mirakhur tomorrow and get into  
25 Dr Webb at the least for the afternoon, if not a bit

1           before. Thank you very much. Tomorrow morning at 9.30.  
2   (5.10 pm)  
3           (The hearing adjourned until 9.30 am the following day)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

DR BRIAN HERRON (called) .....1  
    Questions from MS ANYADIKE-DANES .....1

